

## NEW MEXICO OIL CONSERVATION DIVISION

EXAMINER HEARINGSANTA FE, NEW MEXICOHearing Date AUGUST 21, 1997 Time 8:15 A.M.

NAME	REPRESENTING	LOCATION
W. Kellahin	Kellahin & Kellahin	Santa Fe
Donnie E Brown	Manzano Oil	Roswell
Paul Owen	Cambell, Carr, Berge & Sheridan	Santa Fe
Bill Dem's	MARATHON OIL	MIDLAND, TX
Tim Robertson	" "	" "
Michael Shur	West Oil	Santa Fe
James Bruce	<del>West Oil</del>	Santa Fe
Gardner & Horvath	Kerry Petro Co	Midland, TX
MIKE WALLACE	BURLINGTON RESOURCES	MIDLAND, TX
Doug Seams	Burlington Resources	Midland, TX
Rick Gallegos	" "	Midland, TX
Keith Winfree	" "	" "
ROBERT HEFNER	CHESAPEAKE OILFIELD	OKC, OK
MIKE HAZLIP	" "	" "
DAVIS PAYNE	Paloma Park, Corp	MIDLAND, TX
Bill Olson	NM OCD	Santa Fe

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: ) CASE NO. 11,675  
)

IN THE MATTER OF CASE NO. 11,675 BEING )  
REOPENED PURSUANT TO THE PROVISIONS OF )  
DIVISION ORDER NO. R-10,735, WHICH ORDER )  
PROMULGATED TEMPORARY SPECIAL RULES AND )  
REGULATIONS FOR THE NORTH LOVINGTON- )  
WOLFCAMP POOL IN LEA COUNTY, NEW MEXICO )  
)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

August 21st, 1997

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, August 21st, 1997, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

STEVEN T. BRENNER, CCR  
(505) 989-9317

## I N D E X

August 21st, 1997  
 Examiner Hearing  
 CASE NO. 11,675

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>DONNIE E. BROWN</u> (Engineer)	
Direct Examination by Mr. Owen	5
Examination by Examiner Stogner	13
REPORTER'S CERTIFICATE	18

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	13
Exhibit 2	8	13
Exhibit 3	9	13
Exhibit 4	11	13
Exhibit 5	12	13

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Legal Counsel to the Division  
2040 South Pacheco  
Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN P.A.  
Suite 1 - 110 N. Guadalupe  
P.O. Box 2208  
Santa Fe, New Mexico 87504-2208  
By: PAUL R. OWEN

\* \* \*

1 WHEREUPON, the following proceedings were had at  
2 8:20 a.m.:

3  
4 EXAMINER STOGNER: This hearing will come to  
5 order for Docket Number 26-97. Please note today's date,  
6 Thursday, August 21st, 1997.

7 I'm Michael Stogner, appointed Hearing Examiner  
8 for today's cases.

9 At this time I will call Case Number 11,675.

10 MR. CARROLL: In the matter of Case Number 11,675  
11 being reopened pursuant to the provisions of Division Order  
12 Number R-10,735, which order promulgated temporary special  
13 rules and regulations for the North Lovington-Wolfcamp Pool  
14 in Lea County, New Mexico.

15 EXAMINER STOGNER: Call for appearances.

16 MR. OWEN: Paul Owen of the Santa Fe law firm of  
17 Campbell, Carr, Berge and Sheridan, for Manzano Oil  
18 Corporation.

19 I have one witness in this matter.

20 EXAMINER STOGNER: Any other appearances?

21 Will the witness please stand to be sworn at this  
22 time?

23 (Thereupon, the witness was sworn.)

24 EXAMINER STOGNER: Mr. Owen?

25 MR. OWEN: I call Mr. Donnie Brown.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

DONNIE E. BROWN,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. OWEN:

Q. Why don't you tell us your name and where you live?

A. My name is Donnie Brown and I reside in Roswell, New Mexico.

Q. And by whom are you employed?

A. I'm employed by Manzano Oil Corporation.

Q. What do you do for Manzano?

A. I am a petroleum engineer in charge of operation engineering.

Q. Have you previously testified before this Division and had your credentials as a petroleum engineer accepted and made a matter of record?

A. Yes, I have.

Q. Are you familiar with the Application filed in this case for Manzano Oil Corporation in November, 1996?

A. Yes, I am.

Q. Are you the engineer responsible for Manzano's wells in the North Lovington-Wolfcamp Pool?

A. That's correct.

Q. Have you developed data from that pool since the

1 previous hearing in this matter?

2 A. Yes, I have.

3 Q. Are you prepared to share that data that you've  
4 acquired with the Examiner?

5 A. Yes.

6 MR. OWEN: Mr. Examiner, are the witness's  
7 qualifications acceptable?

8 EXAMINER STOGNER: They are.

9 Q. (By Mr. Owen) Mr. Brown, would you please  
10 briefly tell us what Manzano Oil Corporation seeks with its  
11 original Application for this hearing?

12 A. Manzano seeks the adoption of the temporary pool  
13 rules for the North Lovington-Wolfcamp Pool, which provides  
14 for 80-acre spacing on a permanent basis.

15 Q. Have you prepared certain exhibits for  
16 introduction in this case?

17 A. Yes, I have.

18 Q. Why don't we take a look at your first exhibit, a  
19 landmap? Would you please briefly summarize that exhibit  
20 for us?

21 A. Yes, this is a landmap of the development of the  
22 North Lovington-Wolfcamp field.

23 Since the initial hearing in which we had drilled  
24 the Chipshot Number 1 in the north half of the southwest of  
25 Section 11 and the Double Eagle Number 1 in the south half

1 of the northeast of Section 11, we have continued to  
2 develop the field by drilling the Chipshot Number 2 in the  
3 south half of the southwest quarter of Section 11, the Big  
4 Bertha in the south half of the northwest of the Section  
5 11, and we have drilled a dryhole in the south half of the  
6 southeast of the -- I believe that's Section -- What  
7 section is that? I don't have that here. I don't have  
8 that number.

9 Q. You're referring to Section 2?

10 A. Yes, Section 2, Killer Bee.

11 Q. Now, even though it's not noted, are the sections  
12 that are outlined with the yellow highlighter, those  
13 quarter sections, are those within Section 11, Township 16  
14 South, Range 36 East?

15 A. That's correct.

16 Q. What spacing units have been dedicated to the  
17 wells in this pool?

18 A. They've been dedicated on a temporary basis of  
19 80-acre spacing, and that includes the north half of  
20 Section 11 and the southwest quarter of Section 11 of  
21 Township 16 South, Range 36 East.

22 Q. Has the ownership in this section changed since  
23 the hearing in December, 1996?

24 A. As far as I know, they have not.

25 Q. All right, let's take a look at Manzano's Exhibit



1 Number 2, which is the order entered after the previous  
2 hearing in this matter.

3 Would you tell us why we've included this as an  
4 exhibit in this matter?

5 A. This was an order issued on January the 13th,  
6 1997, granting temporary pool rules for the north half of  
7 Section 11 and the southwest quarter of Section 11 of 16  
8 South, 36 East, and it also specified that the data should  
9 be obtained to reopen this in July of 1997.

10 Q. Now, I notice on this order that Manzano merely  
11 asked for the creation of a new pool in the south half of  
12 the northeast quarter and the north half of the southwest  
13 quarter of Section 11. Was more acreage than Manzano  
14 requested included in the pooling?

15 A. Yes, it was.

16 Q. In fact, was the entire north half --

17 A. The entire north half of Section 11 and the  
18 entire southwest quarter of Section 11.

19 Q. Are all of the producing wells which Manzano has  
20 drilled since that hearing within the area that was  
21 created, the pool that was created?

22 A. Yes.

23 Q. Do you have production data from those wells?

24 A. Yes, I do.

25 Q. Why don't we move on to Manzano Exhibit Number 3,

1 and why don't you tell us what you've put together for us  
2 there?

3 A. Exhibit Number 3 is a history of the field  
4 development, starting with the Chipshot Number 1 and  
5 continuing from left to right with the Double Eagle, the  
6 Chipshot Number 2, and the Big Bertha. It also includes  
7 the original pressure of the pool, production with time,  
8 and our results of our bottomhole pressure surveys.

9 The first well drilled to this pool was the  
10 Chipshot Number 1, and it had an original bottomhole  
11 pressure of 3656 on July the 5th, 1996, and that was based  
12 on the first DST pressure, at which time no production had  
13 been produced.

14 On November the 20th, 1996, we completed our  
15 Double Eagle Number 1. Its original pressure was 3646,  
16 some ten-pound pressure drop from the original pressure,  
17 after the Chipshot Number 1 had produced some 16,000  
18 barrels of oil.

19 On December the 6th, 1996, we took a pressure  
20 buildup survey in the Chipshot Number 1, some two weeks  
21 after the completion of the Double Eagle. It indicated a  
22 bottomhole pressure of 3646, the same as the Double Eagle  
23 Number 1. And it also, from our transient analysis of the  
24 buildup curve, it indicated no boundary effect. And I'll  
25 elaborate on this no boundary effect later on in my

1 testimony.

2           On March the 3rd we ran another 72-hour buildup  
3 pressure test on the Chipshot Number 1 and the Double  
4 Eagle. At that time we had produced 38,884 barrels from  
5 the Chipshot Number 1 and 11,087 barrels of oil on the  
6 Double Eagle, for a total of almost 50,000 barrels. And it  
7 showed that our bottomhole pressure had declined from  
8 original down to 3621 in the Chipshot 1 and 3627 in the  
9 Double Eagle, some six pounds difference, and some 32  
10 pounds of decline.

11           And at that time our buildup analysis and model  
12 verification indicated a boundary effect on the Chipshot 1,  
13 and it was concluded that it was due to the production from  
14 the Double Eagle, as opposed to a sealing fault.

15           In April the 28th, 1997, we did another pressure  
16 survey on all three wells shut in at the same time, after  
17 some 74,000 barrels of oil had been produced. The  
18 bottomhole pressure in the Chipshot 1 was 3552 and the  
19 Double Eagle 3559, and then the Chipshot 2, which had just  
20 come on stream and produced 2000 barrels, 3547. All three  
21 wells have very similar pressures, and all three wells  
22 showed a decline from original pressure.

23           In June the 2nd of 1997, we completed our Big  
24 Bertha, and it had a bottomhole pressure from DST of 3509,  
25 after some 95,465 barrels had been produced, again showing

1 a decline from the original bottomhole pressure. And as of  
2 August the 1st, these four wells have produced a total of  
3 some 123,000 barrels of oil.

4 So from the original pressure of 3656 until the  
5 last well, the fourth well, had been drilled, we produced  
6 some 643 barrels of oil per p.s.i. pressure drop.

7 If you can assume that abandonment pressure of  
8 the reservoir is 200 pounds, possible production from this  
9 field is some 2.3 million barrels.

10 Using the same parameters that we did in our  
11 initial hearing of net pay 50 feet, porosity 8 percent,  
12 water saturation 20 percent and primary recovery of 17  
13 percent, this areal drainage is some 896 acres, which is  
14 way in addition to the 80 acres that we're requesting.

15 Q. Have you prepared this same data in a graphical  
16 format for the Examiner?

17 A. Yes, I put this same type of data on a graph that  
18 you can see more visually.

19 Q. Would this be Manzano's Exhibit Number 4?

20 A. Exhibit Number 4, yes, which shows the pressure  
21 surveys with the cumulative production.

22 From original bottomhole pressure of 3656 you can  
23 see that all the wells declined and was within a few pounds  
24 of each other, and all wells showed a decline from original  
25 pressure, indicating that they were producing from the same

1 reservoir and in communication with each other.

2 Q. And finally, have you had a transient analysis on  
3 the production form?

4 A. Yes, in Exhibit 5 this was our model verification  
5 interpretation from our buildup conducted on the Chipshot 1  
6 when it was producing by itself in the field, and I've  
7 highlighted in yellow the conclusion of this model  
8 verification.

9 It reads, "...no indication of boundaries within  
10 the test radius of investigation..." and "...modeled as  
11 being in an infinite, homogeneous system."

12 Now, this same model verification was performed  
13 again after the Double Eagle or the second well had  
14 produced some 11,000 barrels of oil and the Chipshot some  
15 39,000 barrels of oil.

16 And then it concluded that the "...modeled as  
17 being in a homogeneous system with skin, variable wellbore  
18 storage and wedge shaped boundaries within the...radius of  
19 investigation. The boundaries are believed to be due to  
20 offset production, not sealing faults," again establishing  
21 that these wells all -- they're in communication and  
22 produce from the same reservoir and effectively draining  
23 the reservoir on 80-acre spacing.

24 Q. Will adoption of the permanent pool rules for the  
25 North Lovington-Wolfcamp Pool, including 80-acre spacing,

1 as established in the order which is included as Exhibit  
2 Number 2, be in the best interest of conservation, the  
3 prevention of waste and the protection of correlative  
4 rights?

5 A. Yes, it would.

6 Q. Were Manzano Oil Corporation's Exhibits Number 1  
7 through 5 prepared by you or compiled under your direction?

8 A. Yes, they were.

9 MR. OWEN: Mr. Examiner, I'd tender Exhibits 1  
10 through 5.

11 EXAMINER STOGNER: Exhibits 1 through 5 will be  
12 admitted into evidence.

13 MR. OWEN: And that's all I have for this  
14 witness.

15 EXAMINATION

16 BY EXAMINER STOGNER:

17 Q. Mr. Brown, in referring to Exhibit Number 1 --  
18 That was your map.

19 A. Yes.

20 Q. Okay. You had mentioned the dry hole up in  
21 Section 2, the SV Killer Bee Well Number 1?

22 A. Yes.

23 Q. When was that well completed or tested in the  
24 sequence of your Chipshot 1, Double Eagle 1 and so forth?

25 A. It was our last well drilled, just a month ago,

1 and it wasn't tested because there was no reservoir there.

2 Q. Oh, there was just no reservoir parameters,  
3 nothing there?

4 A. That's right.

5 Q. Okay. So -- And that's what I was going to refer  
6 to next, was approximate reservoir limits, and you outlined  
7 it in blue. Is that a -- Does the formation just pinch  
8 out, or is there a porosity --

9 A. It's just gone, pinches out.

10 Q. It just pinches out.

11 A. The reef is gone.

12 Q. Okay.

13 A. Now, I think we've established the northern  
14 boundaries with our Brownfield Trust dry hole that we  
15 drilled three or four years ago and this recent Killer Bee  
16 Number 1.

17 Q. Okay, that Brownfield Trust well, that's the one  
18 that's up in the northwest of the northwest of 11?

19 A. That's correct.

20 Q. Was that drilled primarily to test the Wolfcamp,  
21 or was it a secondary?

22 A. It was drilled primarily to test the Wolfcamp  
23 several years ago, before we had any 3-D, and it -- again,  
24 it just -- no reef there.

25 Q. Was that drilled based on, since you didn't have

1 3-D, surface seismic?

2 A. To tell you the truth, I don't know what it was  
3 based on. It could have been just subsurface geology.

4 Q. Well, they were close.

5 A. Yeah.

6 Q. Looking down there in the northwest of the  
7 southeast quarter, that's the -- It looks like the Hodge?

8 A. Yes, that --

9 Q. Do you have a log on that well, or --

10 A. Yes. I don't have one. I have a log; I've seen  
11 the log.

12 Q. Uh-huh.

13 A. And it's tight with -- it was drilled by -- I  
14 forget who drilled it, but they never did test the zone,  
15 and we're contemplating about going in and trying to  
16 recomplete in our Wolfcamp. It looks like they have pay in  
17 the upper part of it.

18 Q. Are these wells flowing, or do you have them on  
19 pump?

20 A. They're flowing.

21 Q. They are flowing?

22 A. Yes, anywhere from 200 pounds to 850 pounds.

23 Q. How long are you flowing them on a daily basis?  
24 All day long?

25 A. Oh, yeah.



1 Q. Any water?

2 A. The Double Eagle makes about eight barrels a day,  
3 and the Big Bertha make about -- oh, 20 barrels a day. But  
4 they're flowing 200 barrels of water.

5 We have cored these wells, and it shows quite a  
6 bit of fractures. And we've tested the Basin Reef, and  
7 there's water.

8 So we kind of flow them -- They'll flow 400 or  
9 500 barrels a day, but we hold them down to about 200  
10 barrels a day to prevent coning of water through these  
11 fractures.

12 Q. Are these wells being stimulated after they're  
13 drilled or --

14 A. No, every one of them -- We usually perforate and  
15 acid- -- maybe three barrels of acid; it's broke on the  
16 spot. And turn on the valve and get out of the way.

17 Q. Now, Dave Catanach heard the original case. That  
18 first well, your Chipshot Well Number 1, that was drilled  
19 based on a 3-D seismic?

20 A. Yes.

21 EXAMINER STOGNER: I have no other questions of  
22 Mr. Brown.

23 MR. OWEN: That concludes my presentation in this  
24 case.

25 EXAMINER STOGNER: Thank you, Mr. Brown.

1 THE WITNESS: Thank you.

2 EXAMINER STOGNER: You may be excused.

3 Does anybody else have anything further in  
4 reopened Case 11,675?

5 It's my intent to recommend to Mr. LeMay a  
6 continuation of special pool rules, and I'll take this  
7 under advisement at this time.

8 (Thereupon, these proceedings were concluded at  
9 8:37 a.m.)

10 \* \* \*

11

12

13

14

15

16

17

18

19

20


21

22

23

24

25

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 11675  
heard by me on 21 August 1997.  
  
Examiner  
Oil Conservation Division


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                                   )    ss.  
 COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL August 22nd, 1997.



STEVEN T. BRENNER  
 CCR No. 7

My commission expires: October 14, 1998