

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)	
THE OIL CONSERVATION DIVISION FOR THE)	
PURPOSE OF CONSIDERING:)	
)	
APPLICATION OF BASS ENTERPRISES)	CASE NOS. 11,758
PRODUCTION COMPANY TO DRILL AND)	
SIMULTANEOUS DEDICATION, OR IN THE)	
ALTERNATIVE, SIMULTANEOUS DEDICATION AND)	
UNORTHODOX WELL LOCATION, EDDY COUNTY,)	
NEW MEXICO)	
)	
APPLICATION OF BASS ENTERPRISES)	and 11,713
PRODUCTION COMPANY AND SANTA FE ENERGY)	
COMPANY FOR THE RESCISSION OF DIVISION)	
ADMINISTRATIVE ORDER NO. NSL-3745,)	
EDDY COUNTY, NEW MEXICO)	
)	(Consolidated)

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

April 3rd, 1997

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, April 3rd, 1997, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

April 3rd, 1997
 Examiner Hearing
 CASE NOS. 11,758 and 11,713 (Consolidated)

	PAGE
APPEARANCES	3
MEWBOURNE WITNESSES:	
<u>RALPH P. MOORE, JR.</u> (Geologist)	
Direct Examination by Mr. Carr	16
Cross-Examination by Mr. Ernest Carroll	35
<u>BRYAN MONTGOMERY</u> (Engineer)	
Direct Examination by Mr. Carr	55
Cross-Examination by Mr. Ernest Carroll	65
Redirect Examination by Mr. Carr	87
REPORTER'S CERTIFICATE	91

* * *

E X H I B I T S

Mewbourne	Identified	Admitted
Exhibit 1	18	35
Exhibit 2	58	64

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR MEWBOURNE OIL COMPANY:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

FOR BASS ENTERPRISES PRODUCTION COMPANY:

LOSEE, CARSON, HAAS & CARROLL, P.A.
311 West Quay
Post Office Box 1720
Artesia, New Mexico 88210
By: ERNEST L. CARROLL

FOR ARCO PERMIAN:

JAMES G. BRUCE, Attorney at Law
612 Old Santa Fe Trail, Suite B
Santa Fe, New Mexico 87501
P.O. Box 1056
Santa Fe, New Mexico 87504

* * *

1 WHEREUPON, the following proceedings were had at
2 8:32 a.m.:

3 EXAMINER STOGNER: At this time I will call Case
4 Number 11,758.

5 MR. RAND CARROLL: Application of Bass
6 Enterprises Production Company to drill and simultaneous
7 dedication, or in the alternative, simultaneous dedication
8 and unorthodox well location, Eddy County, New Mexico.

9 EXAMINER STOGNER: At this time I'll call for
10 appearances.

11 MR. CARR: May it please the Examiner, my name is
12 William F. Carr with the Santa Fe law firm Campbell, Carr,
13 Berge and Sheridan. I represent Mewbourne in this matter.

14 And at this point in time I have witnesses here,
15 but I still have an exhibit that isn't here, and I wonder
16 if it would be possible to take the unopposed Amerind case
17 first so that the exhibits can arrive.

18 EXAMINER STOGNER: Okay. If there's no
19 objections, then we will skip over the 11,758 and 11,713.
20 At this time we will go to the Amerind case to allow Mr.
21 Carr to have some time also, because he's representing
22 Amoco.

23 (Thereupon, a recess was taken at 8:33 a.m.)

24 (The following proceedings had at 9:05 a.m.)

25 EXAMINER STOGNER: At this time I'll call Case

1 Number 11,758.

2 MR. RAND CARROLL: Application of Bass
3 Enterprises Production Company to drill and simultaneous
4 dedication, or in the alternative, simultaneous dedication
5 and unorthodox well location, Eddy County, New Mexico.

6 MR. ERNEST CARROLL: Mr. Examiner, I'm Ernest
7 Carroll of the Artesia law firm of Losee, Carson, Haas and
8 Carroll, and I am here on behalf of the Applicant Bass.

9 Mr. Examiner, if you'll realize, this case has
10 already been heard before Examiner Catanach. Therefore, I
11 have no direct witnesses to put on today. I do have a
12 couple of Bass representatives, depending on the case Mr.
13 Carr puts on.

14 EXAMINER STOGNER: Mr. Carroll.

15 Mr. Carr?

16 MR. CARR: May it please the Examiner, I believe
17 in this matter, the cases -- this case and Case 11,713 were
18 called six weeks ago.

19 MR. ERNEST CARROLL: That's correct.

20 MR. CARR: They were consolidated --

21 MR. ERNEST CARROLL: -- and consolidated.

22 MR. CARR: -- at that time.

23 EXAMINER STOGNER: So I guess it's in order for
24 us to call also 11,713?

25 MR. ERNEST CARROLL: I think so, Mr. Stogner.

1 MR. CARR: Yes, sir.

2 EXAMINER STOGNER: At this time I'll call Case
3 Number 11,713.

4 MR. RAND CARROLL: Application of Bass
5 Enterprises Production Company and Santa Fe Energy Company
6 for the rescission of Division Administrative Order Number
7 NSL-3745, Eddy County, New Mexico.

8 EXAMINER STOGNER: I assume, Mr. Carroll, that
9 you're making an appearance in this case --

10 MR. ERNEST CARROLL: Yes, sir.

11 EXAMINER STOGNER: -- and all that you have
12 stated earlier holds true for this one?

13 MR. ERNEST CARROLL: Yes, sir.

14 EXAMINER STOGNER: Mr. Carr?

15 MR. CARR: And I have my appearance in those
16 cases as well, I believe, Mr. Examiner.

17 And I also believe there may have been a motion
18 filed in this case.

19 MR. BRUCE: Mr. Examiner, Jim Bruce representing
20 ARCO Permian, specifically in Case 11,758. I was contacted
21 by ARCO Permian late yesterday, and I faxed over a motion
22 for continuance. I believe all the witnesses are here, and
23 we have no desire to delay things further.

24 However, I think the matter should be continued
25 after evidence is put on today so that ARCO has a chance to

1 consider this matter and put on evidence if necessary.

2 EXAMINER STOGNER: Okay. First of all, when was
3 this matter heard by Mr. Catanach?

4 MR. ERNEST CARROLL: Approximately six weeks ago,
5 Mr. Examiner, February --

6 EXAMINER STOGNER: -- 20th?

7 MR. ERNEST CARROLL: -- 20th, 1997.

8 Mr. Examiner, I would also at this time present
9 the two certificates of mailing with respect to the matters
10 Mr. Catanach asked us to give notice on. They're for both
11 of the cases.

12 I would point out, Mr. Examiner, in response to
13 Mr. Bruce's statement of request, that this case -- after
14 we heard it on the 20th of February it was set for hearing
15 at the -- It was set in March 20th, I believe. ARCO
16 received notice of that, of that case setting.

17 Then I do not have it as an exhibit but I do have
18 the return receipt card. When we got notice of the exact
19 date, March 20th, we sent them notice of the March 20th
20 date, and they received that on February 28th.

21 It would appear to me, and I think we would
22 argue, that ARCO has had more than sufficient time to
23 prepare for this case, and we would oppose any motion to
24 continue it.

25 I would also state -- and if the Examiner wishes

1 to hear evidence on -- Mr. Wayne Bailey of Bass has had
2 communications with ARCO concerning this matter. They are
3 a latecomer to opposition.

4 And two days ago, a landman -- and I do not have
5 that name, but Mr. Bailey can give it if the Court -- if
6 the Examiner is even interested in it -- but ARCO indicated
7 that the reason they were wanting to oppose this matter was
8 because they were waiting on a log from a well that is
9 drilling in Section 34, just to the west of the proration
10 unit that Mewbourne has made their Application, 11,713.

11 So Bass has to argue because of those
12 communications that this is just a matter for ARCO to delay
13 things until they get a little more information from a log.
14 And for those reasons we have to oppose it.

15 MR. CARR: May it please the Examiner, Mr.
16 Carroll and I, Mr. Ernie Carroll and I, are in agreement on
17 this issue.

18 Mewbourne proposed this well in December of last
19 year. The matter has been presented various ways to this
20 Division since that time. ARCO has had notice. We
21 discussed with ARCO and with Bass earlier this week whether
22 or not it was desirable to continue the case. Bass
23 opposed. We have some information on the well we will
24 present today.

25 But we believe we've reached a point where the

1 time is at hand to get this matter finally resolved, and we
2 would oppose any further continuance of the hearing.

3 EXAMINER STOGNER: Mr. Bruce?

4 MR. BRUCE: Mr. Examiner, my reasons are set
5 forth in a letter. The notice letter that Mr. Carroll has
6 submitted doesn't give a specific hearing date.
7 Furthermore, the application submitted by Bass for
8 simultaneous dedication doesn't give a specific well
9 location. I think that's defective under Division rules
10 and procedures.

11 MR. ERNEST CARROLL: Mr. Examiner, I will -- I
12 agree with Mr. -- Gosh, I'm sorry.

13 EXAMINER STOGNER: Bruce.

14 MR. BRUCE: Bruce.

15 MR. ERNEST CARROLL: -- Bruce, that the letter
16 that is this exhibit, but as I stated, there was an
17 additional letter which I have the return receipt card,
18 which advised them of the March 20th date which this thing
19 was continued from last, and that letter was received
20 February 28th, 1997, almost -- Well, it was 20 days prior
21 to the hearing that they were advised by us, return
22 receipt, that that hearing would go on.

23 EXAMINER STOGNER: How many letters are we
24 talking about?

25 MR. ERNEST CARROLL: Two different notice

1 letters.

2 EXAMINER STOGNER: Two different notice letters,
3 okay.

4 MR. ERNEST CARROLL: Yes, there's the notice
5 letter that we prepared for exhibit. I had already left
6 the office yesterday when Mr. Bruce entered his appearance,
7 so I did not have -- I have the return receipt card here
8 and a copy of the letter, but I did not make an exhibit of
9 it. And Mr. Stogner, if you'd like, I can certainly
10 furnish that afterwards.

11 EXAMINER STOGNER: Yes, I'd like it. But in the
12 meantime, could you bring that forward?

13 MR. ERNEST CARROLL: Okay, let me find it here
14 sir.

15 EXAMINER STOGNER: Mr. Bruce, do you want to --
16 Why don't you come on up here, Mr. Bruce, and sit in that
17 chair over there so you'll be a little bit closer. You
18 won't be considered a witness. It might help the
19 transcriber a little bit.

20 I'm assuming that you're going to be saying some
21 additional items anyway, so.

22 MR. BRUCE: I don't have anything further than
23 that, Mr. Examiner.

24 EXAMINER STOGNER: Well, let's put it this way:
25 I'm going to be asking you some stuff.

1 MR. ERNEST CARROLL: This is the letter --

2 MR. BRUCE: And I probably don't know.

3 MR. ERNEST CARROLL: -- dated February 26th,
4 notifying them of the March 20th date and return receipt
5 cards. That letter went to Art. That's just a
6 representative -- and here's to -- I'm sorry, I should have
7 pointed that out.

8 EXAMINER STOGNER: Okay.

9 MR. ERNEST CARROLL: And I tore it off right
10 there.

11 MR. RAND CARROLL: And what did they receive?

12 MR. ERNEST CARROLL: That's the Application
13 notice and the Application.

14 EXAMINER STOGNER: Mr. Bruce, on number 3, item
15 number 3 in your letter of April 2nd, which was yesterday,
16 that ARCO had insufficient time to prepare for the hearing,
17 but they received notice -- at least something was going on
18 in this area -- on March 10th.

19 MR. BRUCE: Mr. Examiner, I am just going on what
20 ARCO told me. As you know, ARCO is usually represented by
21 Mr. Carr. There's a conflict in this. I was contacted by
22 Dave Percy at ARCO approximately noon yesterday. Because
23 of preparation for another hearing today, I only had a
24 brief phone conversation with him. He said they needed
25 more time to prepare. That's what that is based on.

1 As I said, I don't object to the presentation of
2 witnesses here today.

3 EXAMINER STOGNER: Mr. Carr, do you have -- Are
4 you going to present some witnesses?

5 MR. CARR: Mr. Stogner, I'm prepared to present
6 two witnesses, very brief presentations.

7 EXAMINER STOGNER: Okay.

8 MR. CARR: If -- And we would prefer to get this
9 resolved today. I think the worst thing that could happen
10 to us is to continue to round-robin this where we make a
11 presentation today and then we all come back in a month and
12 do ARCO. I think we really need to decide if we're going
13 to do it today and wrap it up or if we're going to come
14 back and wrap it up at one specific time. We're prepared
15 to wrap it up today, if that's what the Division desires we
16 do, and we think we can. And we think ARCO has that time.

17 And that's the posture we're in. I think it's
18 more of a question of not committing everybody to, you
19 know, another hearing. If we're going to have another
20 hearing, then we ought to all come back at that time.

21 You need to know that there is a well offsetting
22 the acreage at issue, the well was logged, I believe, on
23 Tuesday, although I'm not sure I know exactly the date.
24 There is information becoming available. And we can
25 present it as it is -- I mean drill stem test information

1 from yesterday, the log the day before -- or we can come
2 back after we've had a chance to analyze the data.

3 We do feel like, though, we're in a position to
4 go forward with the hearing if you desire.

5 MR. ERNEST CARROLL: Mr. Stogner, I echo the same
6 sentiments Mr. Carr made.

7 I would say one thing on the record, on behalf of
8 Mr. Bruce. He did get into it extremely late, and I did
9 not have a chance to communicate with him. I only got word
10 of his entry after I had -- well, it was late last night,
11 my secretary tracked me down. And so I didn't have an
12 opportunity --

13 MR. BRUCE: And --

14 MR. ERNEST CARROLL: -- and Jim is -- and my
15 comments --

16 MR. BRUCE: -- I didn't have an opportunity to
17 even call Mr. Call because of the press of time, Mr.
18 Examiner.

19 MR. ERNEST CARROLL: Mr. Bruce is -- I'm sure he
20 was caught off guard by my remarks. He didn't know what I
21 was going to say because we'd had no opportunity. And
22 while I am not begging any mercy for ARCO, I think Mr.
23 Bruce deserves a little.

24 MR. CARR: I would not beg mercy for ARCO in this
25 circumstance either, as their usual attorney, because Mr.

1 Bruce did agree to step in yesterday when a conflict
2 developed, and he is here on short notice.

3 EXAMINER STOGNER: I'm sure your remarks don't
4 surprise many people whenever you do talk, Mr. Carroll. I
5 love the way you put that.

6 I feel like I just walked into a hornet's nest
7 here, and please forgive me. Let me clarify something.

8 How come ARCO was eliminated or not notified, or
9 some of the other parties -- why was there additional
10 notification needed?

11 MR. ERNEST CARROLL: I can answer that, Mr.
12 Stogner.

13 ARCO was originally notified of the Case 11,713.
14 In fact, Bass even contacted them to get them to oppose
15 with them and put a joint opposition together.

16 ARCO at that time advised Bass they weren't
17 interested in opposing Mewbourne because they -- They just
18 had a policy with what we were told, Mr. Bailey was told.
19 We were then very taken back by surprise when it -- And
20 frankly, there were conversations between George Hillis and
21 ARCO some three or four weeks ago about this, and we were
22 taken quite by surprise that all of a sudden ARCO changed
23 its position, indicated they would come in and oppose our
24 Application.

25 And then we learned that they were partners in

1 the well in Section 34, and I guess somehow they got
2 involved in that well and that changed their whole
3 position.

4 But my position is, they have had adequate time
5 to prepare a case. I -- Quite frankly, the conversation
6 between the ARCO people and Mr. Bailey two days ago was to
7 the effect that, you know, we're waiting on the results of
8 that well, and if it's a bad well we don't want to do
9 anything.

10 So it really is, I think, a poor use of the
11 objection process by ARCO, and that's why we're so
12 steadfast in opposing any further delay for these matters.

13 EXAMINER STOGNER: Mr. Bruce, in -- I haven't
14 sufficient time this morning because when I got in this
15 letter was on my desk and I've been talking to Mr. Rand
16 Carroll.

17 I'm going to deny your motion to continue at this
18 time. And we'll note your appearance here today, and of
19 course you are a party of record now in these instances.

20 So with that, Mr. Carr --

21 MR. CARR: Yes, sir.

22 EXAMINER STOGNER: -- you may present your
23 witnesses.

24 MR. CARR: At this time, Mr. Examiner, I would
25 ask that two individuals be sworn, Ralph Moore and Brian

1 Montgomery.

2 (Thereupon, the witnesses were sworn.)

3 RALPH P. MOORE, JR.,

4 the witness herein, after having been first duly sworn upon
5 his oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. CARR:

8 Q. Would you state your name for the record, please?

9 A. My name is Ralph Moore.

10 Q. Where do you reside?

11 A. Midland, Texas.

12 Q. By whom are you employed?

13 A. Mewbourne Oil Company.

14 Q. What is your position with Mewbourne?

15 A. I'm exploration manager, but I'm functioning as a
16 geologist on this particular prospect.

17 Q. Have you previously testified before this
18 Division?

19 A. I have.

20 Q. At the time of that testimony, were your
21 credentials as an expert witness in petroleum geology
22 accepted and made a matter of record?

23 A. Yes.

24 Q. Are you familiar with the Applications filed in
25 each of these consolidated cases by Bass and Santa Fe?

1 A. I am.

2 Q. Have you made a study of the area which is the
3 subject of these consolidated hearings?

4 A. I have.

5 Q. And are you prepared to share the results of that
6 study with the Examiner?

7 A. I am.

8 MR. CARR: Are the witness's qualifications
9 acceptable?

10 EXAMINER STOGNER: Any objections?

11 MR. ERNEST CARROLL: No objections.

12 May I ask, do you have a set of exhibits that
13 you're going to be using?

14 MR. CARR: We're going to -- Our exhibits we're
15 going to work through one at a time. We're still
16 assembling part also --

17 MR. ERNEST CARROLL: Okay.

18 MR. CARR: -- because we have well data that
19 we've only had for an hour.

20 Mr. Moore's first exhibit is simply the plat
21 which was attached to the administrative application filed
22 in December.

23 Q. (By Mr. Carr) Mr. Moore, would you briefly
24 summarize what Mewbourne seeks in this hearing?

25 A. Mewbourne seeks an order which denies the request

1 of Bass and Santa Fe Energy to rescind Administrative Order
2 NSL-3745 and further seeks an order denying the request of
3 Bass for an unorthodox location and simultaneous well in
4 the east half of Section 2, Township 19 South, 28 East.

5 Q. In essence, what we're doing is asking the
6 Division to let the administrative order we obtained last
7 December stand?

8 A. That's correct.

9 Q. Could you identify what has been marked Mewbourne
10 Exhibit Number 1?

11 A. Yes, this is a map of the lower Morrow gross
12 orange sand. Orange sand, in our shop, is an internal
13 classification. It's usually one of the first sands below
14 the top of the lower Morrow.

15 The map is contoured on ten feet gross, and --

16 Q. This is a gross isopach?

17 A. This is a gross isopach. And wells that have
18 produced from this particular orange sand are colored in
19 orange.

20 Q. And this is the same map that was submitted in --

21 A. This is the same map that was submitted earlier.

22 Q. With the administrative application?

23 A. With the administrative application.

24 Q. And this map basically shows a fairway in the
25 Morrow; is that correct?

1 A. Yes, we use a gross sand isopach in here, picking
2 what we consider to be potential reservoir-quality areas.
3 It is nothing more than a fairway predictor. As everybody
4 knows, the Morrow is quite variable. And we don't do too
5 much in terms of net sand at the prospect level because the
6 gross section is difficult enough to predict. And there's
7 usually not a clearcut, in my opinion, relationship between
8 how much gross and net you will have.

9 Q. Now, what we have indicated on this exhibit is
10 the proposed Mewbourne spacing unit in the west half of the
11 section; is that correct?

12 A. That's correct.

13 Q. Where would the nearest standard location be?

14 A. The nearest standard location would be north,
15 1650 from the south and 1980 from the east.

16 Q. And that nearest location is indicated on this
17 exhibit by an X; is that correct?

18 A. That's correct.

19 Q. So we're unorthodox under these pool rules,
20 because the location is farther to the south on the standup
21 unit than allowed?

22 A. That's correct.

23 Q. What is the Bass spacing unit that we're
24 discussing in these proceedings?

25 A. It's a 320-acre tract, being the east half of

1 Section 2.

2 Q. Okay. There is a well on that tract?

3 A. There is a producing well on that tract in Unit
4 2H.

5 Q. Is the proposed location for the Mewbourne
6 Scanlon Draw 35 State Well Number 1 indicated on this
7 exhibit?

8 A. It is.

9 Q. And that is 660 from the south, 1980 from the
10 west line?

11 A. That's correct.

12 Q. What basically does this exhibit show about the
13 proposed Scanlon location?

14 A. The proposed Scanlon location, we anticipate,
15 will be in the center of a depositional fairway, as
16 indicated by the gross section.

17 The trend throughout this area is a depositional
18 pattern which is northwest to southeast. And you can see,
19 if you look to the north, the wells in 26 and 27, the
20 relationship between the well in 35F and 2H. And further
21 the south I would point out 10B and 11I, I believe. These
22 all have a northwest-southeast depositional pattern which
23 is consistent with the industry's interpretation.

24 However, as I stated earlier, this is a very
25 variable gross section and an even more variable net

1 section. Very difficult to predict.

2 Q. At the previous hearing on these Applications,
3 there was testimony concerning whether or not the trend of
4 this fairway was consistent with the standard mapping in
5 the area. Are you aware of that testimony?

6 A. Yes.

7 Q. I would like you to refer to a set of exhibits
8 that were presented by Bass in the earlier hearing.

9 A. Okay.

10 Q. I would first like to direct your attention to
11 what was introduced as Bass Exhibit Number 10. Are you
12 familiar with this?

13 A. Yes.

14 Q. Have you reviewed the testimony presented
15 concerning --

16 A. I have.

17 Q. -- this exhibit?

18 Basically, can you explain to Mr. Stogner what
19 this exhibit is designed to show?

20 A. Well, I believe, after looking at the exhibit and
21 reading the testimony, this is a copy of the map that I've
22 been talking about, our gross orange Morrow sand, with the
23 Bass interpretation of the same data superimposed on top of
24 it.

25 Unfortunately, these are black-and-white copies.

1 I would point ours out as being similar to the large map
2 that I previously discussed, and there's a bit of a north-
3 to-south component through Section 35 and 2. They would --
4 That would be the Bass interpretation, as I understand it.

5 Q. If we look just at this exhibit, and we look at
6 the information available, say, in December of last year,
7 how does the trend you have mapped compare with other
8 trends, Morrow trends, in the immediate area?

9 A. The trend that I have mapped, I believe, is
10 consistent with the industry interpretation of the area. I
11 think, as I pointed out, we have -- or as Bass had
12 mentioned, there are three pods in here. I would disagree
13 that they trend east-west. I believe the trend is
14 northwest-southeast, as I've already discussed.

15 In addition to that, if we look at the Bass
16 interpretation and the Mewbourne interpretation up in 27
17 and 26, there's somewhat of a consistency there of
18 northwest to southeast. If we look down to the south, it's
19 a little different but there is basically -- and I'm
20 talking about in Section 10 and Section 11, we have a
21 northwest-to-southeast depositional pattern which is
22 consistent with industry and our regional mapping.

23 If you look in the north half of Section 11 and
24 the south half of Section 3, you'll see a depositional
25 northwest-southeast depositional pattern that Bass has

1 interpreted, which is nearly parallel to our interpretation
2 in 34 and 35.

3 The only information on the Bass that I think
4 seems inconsistent is the northwest -- I'm sorry, north-
5 south depositional trend connecting 26, 35 and 2. I think
6 this is in error and inconsistent with the industry
7 standards.

8 The well in 35F was originally drilled as a
9 straight hole. It was on a previous Bass exhibit. It was
10 nonproductive. We interpreted this well to have three feet
11 of net sand greater than 7 -- about 7 percent, over 8 feet
12 of gross.

13 Anadarko offset this well with a directional hole
14 to the southeast and encountered a substantially -- south
15 about 120 feet, and encountered a significantly different
16 zone, which produced about a half BCF and looks very
17 productive on the log and, it's my understanding, had some
18 good flow rates initially.

19 And what this is, I'm just trying to show how
20 quickly this varies from well to well, and here we have a
21 significant variation between 120 feet.

22 Q. Now, Mr. Moore, before we go on with that --

23 A. Okay.

24 Q. -- on Exhibit 10 you have mapped the fairway in
25 which you're proposing to drill a well --

1 A. That's correct.

2 Q. -- trending northwest-southwest --

3 A. That's correct.

4 Q. -- in the center of this exhibit?

5 A. That's correct.

6 Q. North of you, Bass has mapped a fairway moving
7 generally northwest-southeast?

8 A. That's correct.

9 Q. South of you, Bass has a fairway trending
10 northwest-southeast?

11 A. That's correct.

12 Q. Yet over the subject area Bass has mapped the
13 deposition trending from north to south?

14 A. That's what it appears to me.

15 Q. If -- Mewbourne has recently drilled and is
16 completing a well in this area, is it not?

17 A. Yes.

18 Q. Where is that well located?

19 A. That well is located in 340.

20 Q. Which would put it --

21 A. I believe it's 660 off the south line, and I
22 believe it's 1650 from the east line, but I'm not sure of
23 that particular distance.

24 Q. It puts it in the center of the orange sand as
25 mapped on your original exhibit?

1 A. That's correct.

2 Q. If we look at Exhibit 10 and look at the Bass
3 contours, that location would be outside the reservoir,
4 since they've mapped it north-south through that area; is
5 that not right?

6 A. That's correct.

7 Q. What information do you have on that well in 34
8 at this time?

9 A. The well encountered some orange sand, and it
10 drill stem tested last night at 8 million cubic feet of gas
11 a day. It has excellent pressures. We're still awaiting
12 the data, but it has clearly hit the northwest-southeast
13 trend that I was working on.

14 And I believe it has compromised the Bass
15 interpretation, because on the Bass interpretation anything
16 west of the west half of 35, which obviously would include
17 Section 34, would have no sand. And that particular sand
18 has tested 8 million a day.

19 Q. And that well --

20 A. We believe, however, that there's such
21 variability in here that our maps have been modified --
22 will have to be modified to accommodate approximately 12
23 feet of section.

24 Q. A well that produces -- or that has 10 million a
25 day at the location of the new well in 34, is that

1 inconsistent with the Bass interpretation?

2 A. Well, it tested 8 million and, yes, it is -- It's
3 inconsistent with the Bass interpretation.

4 Q. Does it confirm the interpretation you presented
5 with the administrative application?

6 A. We believe it does, with some modification.

7 Q. Let's take a look, in the exhibits that I've
8 handed you from the previous hearing -- We've just looked
9 at Exhibit 10.

10 A. Yes.

11 Q. Let's go to an exhibit which is the gross isopach
12 map that Bass presented on the Palmillo prospect on top of
13 the lower Morrow, the Barnett marker. Do you have that in
14 front of you?

15 A. I have that in front of me.

16 Q. What does the new well information -- or how does
17 that fit with this exhibit?

18 A. Well, I think that if you look in the southeast
19 quarter of 34, the contouring there by Bass would suggest
20 some sort of northwest-to-southeast depositional pattern.

21 I believe we've confirmed that particular
22 interpretation of the depositional pattern, and we used the
23 same mapping technique. I didn't see the north-south trend
24 that they have in the east half of 35.

25 But I believe this particular exhibit is probably

1 -- we've confirmed this particular exhibit, is that yes,
2 there is -- We only logged it down just below the base of
3 the orange sand, so I don't have a lower point that I could
4 plug in here. And as a matter of fact, I have seen the
5 logs but I don't have a copy with me.

6 We use this technique, and we think that Bass, in
7 using this technique themselves, forecasted the potential
8 of a good well in the southeast quarter of 34. We don't
9 agree with, necessarily, the rest of the interpretation.

10 Q. But your well confirms that portion of this
11 interpretation?

12 A. That's correct, I believe that this --

13 Q. All right. Let's go to the next exhibit, Bass
14 Exhibit 14. What is this?

15 A. Well, they're a little out of order. I would
16 prefer to go to Exhibit -- I would prefer to go to Exhibit
17 15, which should be right behind --

18 Q. All right, go to the next exhibit. This is a
19 Bass Exhibit 15, introduced February 20th?

20 A. That's correct.

21 Q. What is this, now?

22 A. This, I believe, is the same interval that we're
23 looking at, what we call the orange sand; it's called the
24 lower Morrow sand in here.

25 They have a northwest-to-southeast depositional

1 pattern through Section 26, 35, and down into 2, and they
2 have a northwest-southeast depositional pattern through 3
3 and 2, and they would show no lower Morrow deposition
4 anywhere in 34.

5 We believe that the well, as I've just mentioned,
6 having -- I believe it has 12 feet -- and testing 8 million
7 a day, compromises this map --

8 Q. All right.

9 A. -- in the local area of 34 and 35.

10 Q. All right, let's go to the next exhibit, and
11 which one do you want to go to next?

12 A. I want to go to the one you previously mentioned,
13 which was --

14 Q. -- which was Number 14, the net clean sand?

15 A. Yes. This is the depositional fairway, as well
16 as the clean sand, where potential reservoir rock lies.

17 And I made a mistake back here, I'm sorry, on
18 Exhibit 15. These have changed a little bit since I first
19 put them together. That's actually a net isopach of the
20 lower Morrow sand with the porosity influence of it and
21 indicating the height in relationship to the porosity where
22 we predict a reservoir that we would encounter.

23 14 is probably the one I needed to talk to
24 earlier, and you can see this is consistent. I have -- On
25 this particular map I've drawn a dot in 340, where our

1 location is approximately, and you can see this map would
2 indicate we would drill a dry hole with no sand for this
3 particular zone. And I think that this compromises the
4 Bass interpretation on a local level.

5 Q. Let's go to Exhibit Number 11.

6 A. Exhibit Number 11 is a structure map of the lower
7 Morrow. It shows southwest -- northwest-to-southeast dip
8 trend to it. Bass has used this particular map in
9 conjunction with the fault in Section 2 and Section 1, and
10 down into Section 3, to support their case.

11 I would point out this is approximately a 36-
12 square-mile area. It happens to be the only two faults on
13 the map. We think that the -- and I'll get into it in a
14 little while -- that these permeability barriers that Bass
15 is seeing in their -- through their testimony and we've
16 seen throughout our effort, represent stratigraphic
17 changes, not necessarily faulting.

18 Q. Mr. Moore, the data that you have obtained in the
19 last day and a half on the well you are completing in 34,
20 does -- you testified that that data is inconsistent with
21 the presentation made here by Bass in February of this
22 year; is that right?

23 A. That's correct.

24 Q. What does that data do to your interpretation
25 that you submitted with your original administrative

1 application?

2 A. Well, as I said in my original comments, is that
3 the Morrow is a very, very treacherous thing to map on a
4 consistent basis. It has great variabilities within the
5 sands. By its very depositional trends, there's good
6 variability.

7 We think that while we didn't encounter a big,
8 thick Morrow section, lower Morrow section, orange sand,
9 objective, at our location, the initial results from drill
10 stem tests of 8 million a day and the pressure data that
11 I've been told about confirms that we are, in fact, on the
12 western edge, locally, as I have it drawn here, of a
13 northwest-southeast-trending pod. And we believe that by
14 drilling our location in 35N, we will be in the -- It's our
15 interpretation that we will be in the same pod.

16 Q. Mr. Moore, if Mewbourne was required to drill a
17 well in 35 at a standard location, what impact would that
18 have on the Mewbourne plan?

19 A. Well, as we -- as I said earlier, is that I --
20 because of the great variability in the net versus gross
21 sand sometimes, we want to get in the thickest part of the
22 channel, of the sand.

23 And yes, you can have a -- you can have a good
24 well with less than 28 feet. But the risk of that
25 happening becomes very high. We want to hit the highest

1 point of the -- thickest point of the sand, and it needs to
2 be drilled at the location we've proposed.

3 Q. In your opinion, is that location the best point
4 to efficiently produce the Morrow reserves under the
5 dedicated acreage?

6 A. That's correct.

7 Q. You've generally described the Morrow in this
8 area as being channel sands and a number of separate pods
9 or reservoirs, when you start mapping or looking at this on
10 a net basis.

11 You then testified about the experience with the
12 well in Section 35, unit F..

13 A. Right.

14 Q. Let me hand you copies of a cross-section that
15 was presented by Bass in the February hearing. Would you
16 initially just identify what that is?

17 A. This is the cross-section for the Palmillo
18 prospect in Eddy County, the lower Morrow cross-section,
19 and --

20 Q. I'd direct your attention to the two log sections
21 on the left side of the exhibit. What well are those logs
22 from?

23 A. These particular logs are from the same surface
24 location. The well has the same name. The original
25 straight-hole location was drilled on the left side.

1 And I'd like you to look at the lower Morrow, and
2 you can see a gross sand section developed down
3 approximately -- 10, 20, 30, 40, 50 -- about 60 feet,
4 you'll see a gamma-ray response out to the left. This, in
5 our opinion, is the orange sand. But it virtually has one
6 foot of potential reservoir-quality rock on this particular
7 exhibit, we agree with that.

8 The well to the right of that is the sidetrack
9 hole, and you can see Bass has outlined that particular
10 orange sand, you can see the gas effect associated with it.
11 And it's just a very much better, high-quality sand.

12 That well produced, I believe, about a half a BCF
13 from this well. It was commingled -- or it was -- it did
14 produce from the upper Morrow sand, but let's just talk
15 about this orange sand for our purposes right now.

16 You can see that within 128 feet -- Well, when
17 let me be specific. The bottomhole location for the
18 sidetrack is 128.5 feet south and 60.5 feet east. I'd like
19 to point out that the largest distance is to the south, not
20 to the east, which means on my map we would be moving
21 towards better quality rock; and I believe Bass's
22 interpretation would require better -- a well drilled
23 directly to the east to encounter that.

24 But anyway, they move south, towards our
25 location, in the middle of a major orange sand fairway.

1 And let me say again, this is a fairway, and it could be
2 quite variable within it.

3 Then the second well on the -- third well on the
4 cross-section is the Bass Turkey Track 2 State Com Number
5 1. You can see the orange sand is perforated in that well.
6 It's in the same stratigraphic interval as the sidetracked
7 Anadarko well.

8 However, Bass has a fault to the west of this
9 well. I don't believe a fault is necessary for the
10 permeability barrier that they've encountered, in their
11 testimony, that I'm aware of.

12 If you just look at simple relationship between
13 the two Anadarko wells, straight hole and side hole, 128
14 feet, you've got a drastic change in reservoir-quality
15 rock. It's been my experience and Mewbourne's experience
16 in developing Morrow prospects and exploring for the
17 Morrow, you can change reservoirs very quickly. They're in
18 the same stratigraphic interval, but there's great
19 stratigraphic variability.

20 And I would point out again, if you go back to the
21 Bass Exhibit 10 with the location that we've just drilled
22 in Section 34, you know, every time Morrow wells are
23 drilled, everybody's maps change. Our maps are not
24 necessarily better than theirs on a regional basis. But we
25 feel on a local basis, 8 million a day confirms that

1 location. And it's better explained by a change in the
2 reservoir as well as the gross sand.

3 Q. Mr. Moore, you've reviewed the testimony
4 presented in February by Bass, have you not?

5 A. Uh-huh, yes.

6 Q. You've made your own study of this reservoir; is
7 that right?

8 A. Yes.

9 Q. You're the geologist who recommended the well be
10 drilled in 34, are you not?

11 A. I am.

12 Q. The results on that well, in your opinion, you've
13 testified, confirm your interpretation; is that right?

14 A. They do, yes, with some modification. We didn't
15 get quite as thick as that one we had. But what we were
16 trying to do was predict the fairway of the reservoir and
17 the trend, and we think that's been confirmed.

18 Q. Do you see any geological evidence, based on your
19 study and the information you've reviewed, that would
20 support the existence of a fault traversing Section 2 as
21 Bass suggests?

22 A. No.

23 Q. Was Exhibit 1 prepared by you?

24 A. Yes.

25 MR. CARR: At this time I would move the

1 admission of Mewbourne Exhibit 1.

2 EXAMINER STOGNER: Any objection?

3 MR. ERNEST CARROLL: No.

4 EXAMINER STOGNER: Exhibit Number 1 will be
5 admitted into evidence.

6 MR. CARR: That concludes my direct examination
7 of Mr. Moore.

8 EXAMINER STOGNER: Thank you, Mr. Carr.
9 Mr. Carroll?

10 CROSS-EXAMINATION

11 BY MR. ERNEST CARROLL:

12 Q. Mr. Moore --

13 A. Yes.

14 Q. -- the new well that is over in Section 35, I
15 believe you -- What is the name of that well?

16 A. Well, let me correct you. The well is in 34.

17 Q. 34, excuse me, I --

18 A. I believe the well is the Scanlon Draw 34 Federal
19 or State Number 1, I'm not sure of that.

20 Q. Is that a Mewbourne-operated well?

21 A. That's correct.

22 Q. Who are your partners in that well?

23 A. Well, the major partners would be ARCO and
24 Marathon, and then there's a list of smaller people.

25 Q. I'm not -- The major suits me, thank you, Mr.

1 Moore.

2 The -- You said that there was a drill stem test
3 that occurred in that well last night?

4 A. Yes.

5 Q. Okay. This well was previously logged prior to
6 the drill stem testing; is that correct?

7 A. That's correct.

8 Q. When was it logged?

9 A. Let's see. I believe I reviewed the logs on
10 Tuesday.

11 Q. Tuesday of this week?

12 A. Tuesday of this week.

13 Q. All right. You then, I suppose, picked the
14 interval for testing from those logs; is that correct?

15 A. That's correct.

16 Q. What was the interval -- the footage interval
17 that you tested?

18 A. I cannot tell you that directly, because I left
19 to come up here prior to that decision to be made. I can
20 tell you that the orange sand -- do you know the -- It was
21 in the orange sand.

22 Q. Did you test any others, such as the middle?

23 A. We looked at the middle Morrow on RFTs. And
24 since I've been on the road out here I haven't looked at
25 the data directly, but I understand they had some pressure,

1 and it looked encouraging.

2 Q. What was the length of the test, the flow test
3 that you got the 8 million from?

4 A. The length of the flow test, the first flow test
5 period, was 15 minutes.

6 Would you excuse me just a second? I believe I
7 can get some additional notes that might help us.

8 The initial flow period was for 15 minutes. I
9 can give you the numbers. The initial hydrostatic was 5399
10 pounds.

11 Q. All right.

12 A. There is an initial flow period of 15 minutes.
13 We were immediately to the bottom of the bucket on the
14 surface. And within -- at the end of that period, that we
15 had 1500 pounds surface pressure. The rate was 2.2 million
16 a day.

17 Now, please remember, I'm getting this third-
18 hand; I'm not looking at a chart.

19 Q. I understand.

20 A. The initial flow pressures during the 15-minute
21 period, 1767 to 2482. It is my understanding that the well
22 was shut in for 60 minutes. It attained a pressure of
23 4401, which was described to me as instantaneous, in a
24 straight line, indicating excellent permeability, which is
25 consistent with these good lower Morrow sands.

1 The second flow period was for 33 minutes. The
2 pressures were 1767 to 2704. I was told 8.4 million a day.
3 However, we shut the tool in at the end of 33 minutes,
4 because we had a hole in the drill pipe, and mud was coming
5 to the surface.

6 We pulled -- Let me finish.

7 The final flow period of 33 minutes, I believe I
8 said, 1767 to 2704. The final shut-in -- it was shut in
9 for four hours -- it also was equal to the initial shut-in
10 of 4401, and it's been described to me as instantaneous,
11 indicating further good reservoir.

12 Now, our drill stem test was compromised because
13 of a hole in the drill pipe, and this is the only
14 information I have, so it was a very short drill stem test,
15 but in a very permeable orange sand.

16 Q. Did you calculate what the porosity was for the
17 interval that you tested prior to running your drill stem
18 test?

19 A. Yes, I believe -- I'm working off memory now. I
20 believe we were talking about 8 percent, plus or minus.

21 Q. You don't have the logs with you, do you?

22 A. I do not have the logs with me.

23 Q. How many feet did you calculate for that 8-
24 percent porosity?

25 A. I'll tell you what, I'm going to let Mr.

1 Montgomery, who's a reservoir engineer, answer that.

2 Q. Does he have those numbers, then, to your
3 knowledge?

4 A. I believe he may have those numbers.

5 Q. All right.

6 A. I might also add, on the -- while I don't
7 remember the exact porosity numbers and the feet, I can
8 tell you that the water saturations for this zone, I
9 believe, were approximately, depending on the R_w used -- I
10 believe we used .07 -- were about 70 to 100 percent.

11 We were a bit surprised that it did this. But
12 this is consistent with some of the other wells in the area
13 having high water saturation.

14 Q. All right.

15 A. And I might point out specifically, the well in
16 3F looks very wet in the lower Morrow. It also tested
17 well. Didn't last very long, but it tested well.

18 Q. Now, Mr. Moore, with respect to the reported
19 pressure of this well that you got after shut in, 4401,
20 that's very close to virgin pressure, is it not?

21 A. I believe it is. Let me defer any additional
22 reservoir questions to Mr. Montgomery, under his testimony.
23 He's more qualified to discuss them than me.

24 Q. Now, Mr. Moore, you indicated that you thought --
25 well, with respect to your Exhibit 1, that this depicted a

1 northwest-southeast-trending depositional trend?

2 A. That's correct.

3 Q. Now, just so that I fully understand the -- In
4 looking at your Exhibit 1, you have the 40-foot interval
5 colored in kind of a red. The next step down, the 30 feet,
6 is colored in orange. Now, that would be the main body of
7 the channel that you're showing; is that correct?

8 A. That would be the fairway of the gross sand
9 potential. I promise you, there's going to be great
10 variation within those. This is a fairway.

11 I think that -- we -- We're hoping for 40 feet of
12 sand at our particular location, but I don't really know
13 how much sand is going to be there. I just know it should
14 be the thickest part, and I expect this to be very
15 discontinuous in its reservoir nature.

16 Q. Now -- And I don't remember if I asked you or you
17 made a statement in your testimony that you thought you had
18 12 feet --

19 A. That's correct.

20 Q. -- in the well in Section 34?

21 A. That's correct.

22 Q. Now, is that gross sand?

23 A. That would be -- My number on this map would now
24 be a 12.

25 Q. Your number on the map --

1 A. Yes.

2 Q. -- would now be a 12?

3 A. Yes, if I put this location in Section N, where
4 we drilled it --

5 Q. All right.

6 A. -- I will have to change this map, which further
7 confirms the variability of the reservoir, to 12.

8 Q. But -- And what I want to fully understand the
9 12, the number that you testified to, that is a gross sand?

10 A. That's what we call our gross sand.

11 Q. Gross sand, all right.

12 In the group of exhibits that you were testifying
13 to which have been previously introduced by Bass --

14 A. Yes.

15 MR. ERNEST CARROLL: Mr. Carr, I want to make
16 sure that -- The second page did not have an exhibit
17 number. I have looked through my exhibits, and I want to
18 make sure you agree with me. That is half of Exhibit 12,
19 from what I saw.

20 MR. CARR: That's --

21 Q. (By Mr. Ernest Carroll) There were some logs
22 that showed the lower Morrow on the Barnett marker; is that
23 correct?

24 A. That is correct.

25 MR. ERNEST CARROLL: All right. So, Mr.

1 Examiner, you might want to note that on the second page of
2 this group of exhibits that were handed out, that is part
3 of Exhibit 12 in the original Bass exhibits.

4 Q. (By Mr. Ernest Carroll) Now, in looking at -- Do
5 you have that exhibit with -- out there in front of you,
6 that page from 12?

7 A. From Exhibit 12?

8 Q. Well, it's the second page in the group. It is
9 the gross isopach --

10 A. Show me what it looks like.

11 Q. Okay, the gross isopach map, top of the lower
12 Morrow Barnett marker. You may have yours shuffled around
13 somewhat. Do you have it?

14 A. I've ended up with an awful lot of maps, but not
15 the one I need. Excuse me a minute. I believe this is it?

16 Q. Yes.

17 A. Okay?

18 Q. All right. Now, there is a notation in
19 handwriting that is -- points to -- has an arrow that
20 points down to what appears to be some nosing that would be
21 going through up -- starting in the lower southwest corner
22 of Section 35 into Section 34; is that correct?

23 A. Well, I wouldn't describe it as nosing. I would
24 describe it as a re-entry where a Morrow potential sand
25 might be deposited.

1 I would describe the nosing a little bit to the
2 north. That's a re-entrant much like Bass's interpreted
3 re-entrant where that arrow is in the north half of 35.

4 Q. Well, and I apologize for using the nosing.

5 A. Certainly.

6 Q. I was looking at it in reverse.

7 A. Okay.

8 Q. Now, is that your handwriting that --

9 A. That was my handwriting. I was reviewing some of
10 these exhibits. And what that says, it says "channel
11 fairway". That's what my intention is, "channel fairway".

12 Q. All right. And you will agree with me that your
13 Section 34 well is in that fairway that is depicted on this
14 map, is it not?

15 A. It's my opinion, and the southern boundaries --
16 and I'm talking about this, if we follow the 160 around
17 through the well in 34G which has "166" written on it --

18 Q. Yes.

19 A. -- and we swing that thing south, I believe my
20 location will be very near that line, right on the edge.

21 Q. Now, I'm sorry, I didn't follow which line you
22 were talking about.

23 A. Okay.

24 Q. Would it be very close -- it would be --

25 A. Do you see the well in 34G?

1 Q. Yes.

2 A. It has a number "166" on it.

3 Q. That's correct.

4 A. The contour to the north of it is contour 160.

5 Q. That's correct.

6 A. If we follow that contour around to the
7 southwest --

8 Q. All right.

9 A. -- I believe our location would be very close to
10 that contour which is a part of this, and it's highly
11 subjective in the south half of 34, but it confirms this --
12 I mean, it's a channel fairway coming through there. The
13 exact southwest edge of it is a little bit unknown, as you
14 can see from the contours.

15 Q. Now, in your examination of the previous
16 testimony that was rendered by the Bass people, did you
17 give any -- You've made the statements that you do not feel
18 there is any evidence of faulting.

19 Did you give any consideration to the pressures
20 that were testified to, or is that something that you are
21 leaving to the other --

22 A. Well, I'll leave it to Mr. Montgomery, but I can
23 make a general statement.

24 We believe the pressure data, when you look at
25 it, you can't tell whether you're looking at a fault or a

1 permeability barrier that is stratigraphic in nature. And
2 we believe a stratigraphic barrier would be more consistent
3 with the depositional pattern associated with the Morrow in
4 here, in its great variability, than a fault.

5 Q. Well then, are you saying that the Bass well in
6 the west half of -- excuse me, the east half of Section 2,
7 then, is in a different, isolated stratigraphic pod from
8 the rest of Section 2 or the wells that -- the other wells
9 that have been drilled out here?

10 A. I believe that it is in the same stratigraphic
11 unit. It is an orange sand. But much like we looked in
12 the cross-section to the west, or some direction, there's a
13 reservoir deterioration.

14 And yes, it would not be in the -- It would be in
15 a unique reservoir pod.

16 Q. Did you consider the fact that the well that was
17 drilled over in Section 1 had a very rapid depletion --

18 A. Yes.

19 Q. -- once it was put on line?

20 A. Yes.

21 Q. How do you explain that, if you have a rapid
22 depletion then?

23 A. Might I call your attention to the Anadarko well?

24 Q. Which Anadarko well?

25 A. The Anadarko well on your cross- -- in the Bass

1 cross-section in 35 F.

2 Q. You're talking about up in Section --

3 A. Right.

4 Q. -- 35.

5 A. There's a drastic -- The well to the south, the
6 sidetrack well, made about a half a BCF, I believe, from
7 this zone. The well to the north has got no sand,
8 reservoir-quality sand, in it. It produced very little.

9 Q. Did you study to see what pressures that both of
10 those wells came on at initially?

11 A. I don't have that information available to me.

12 But there appears to be on the Bass
13 interpretation the answer -- the relationship between the
14 straight-hole original Anadarko well, and the sidetrack
15 well. The answer is reservoir variability, stratigraphic
16 change. There's no faulting between those wells that I can
17 see.

18 And we think it's easier to carry that
19 stratigraphic separation down to the Bass well in Section
20 2, in the east half, to explain any pressure anomalies, or
21 any other ones.

22 Q. All right. Bass in its presentation, of course,
23 on some of its map, it shows a number of the wells down in
24 Section 12?

25 A. That's correct.

1 Q. During that testimony, there was -- it was
2 testified that there was water updip in the northeast
3 quarter of Section 12, and then the pressures -- and we
4 contrasted that to the well south of that.

5 Have you determined why or what the explanation
6 is of why you find water updip, gas down?

7 A. Yes. Now, I can't talk specifically for those
8 wells, but I can tell you stratigraphic barriers and
9 reservoir changes that are stratigraphic in nature will
10 produce the same occurrence. And we can't tell whether
11 they're faulting or stratigraphic in nature.

12 And the Morrow would be more easily --
13 consistently explained through depositional variations of
14 stratigraphic inconsistency, as opposed to faulting.

15 Q. Have you looked at any of the seismic data that
16 would run through, in particular, the areas of Section 2
17 that we're concerned with?

18 A. I haven't looked at it in Section 2. But we have
19 followed with great interest Amoco's and ARCO's seismic
20 exploration of the Morrow sand in Eddy County, and I can
21 report to you that it's been a disaster.

22 They have -- And Amoco, I've been told by their
23 landman, is not participating in that anymore, because they
24 have found seismic to be an ineffective tool in exploring
25 for the Morrow.

1 Q. Did you review the testimony of the Bass
2 witnesses concerning the use of seismic in helping pick the
3 fault that they show on their maps.

4 A. I looked at it. I can't say that I'm an expert
5 at it.

6 Q. All right. Did you find anything in particular
7 wrong with the statements, or any confirmation that Bass
8 had problems with the seismic that you are alluding to,
9 that Amoco has been telling you about?

10 A. I don't know whether Bass has looked at the
11 Amoco/ARCO seismic shoot.

12 This particular seismic that's made reference to
13 in here, I believe the testimony talked about it being
14 reviewed on a QC nature; is that correct?

15 Q. I think so.

16 A. And QC is when you go in and kind of glance at
17 it, but you don't work it, as far as I understand would
18 define QC. And if it wasn't -- If it was more than that, I
19 need to be -- I will stand corrected.

20 Q. Now, you will agree with me that Amoco was using
21 the seismic to find channels, these Morrow channels, rather
22 than faulting?

23 A. Amoco is using these -- the seismic to find
24 basically what would be Exhibit -- give me a minute -- the
25 one you questioned me about with my handwriting on the side

1 of it. I don't have the number, Mr. Carr.

2 MR. CARR: That would be Exhibit 12 from the
3 original application.

4 THE WITNESS: Amoco is using this basic
5 technique, to the best of my knowledge, to define these
6 fairways, and they have had mixed results in finding the
7 fairways. And one thing they can say is that they can't
8 predict the sand.

9 Mewbourne Oil Company has had a specific instance
10 where we drilled a dry hole -- it was called our Diamond A
11 prospect -- in the northwest corner. I'll use this by
12 example. It was a dry hole with no sand. Amoco -- ARCO
13 drilled a west half of the other section. It hit a sand
14 and produced okay. And they offered Mewbourne an
15 opportunity to participate right between the two, our dry
16 hole and their producing well.

17 We saw lower pressures and a barrier in the well,
18 in that particular well. It was the ARCO Dorothy. We
19 stayed out of the proposal right between them. I believe
20 the name of the well is the Evelyn 35.

21 It didn't have any sands. It was a seismic
22 opportunity, exploration opportunity in the Morrow. We
23 believe that because of the poor performance of the Dorothy
24 well, that it was stratigraphically limited much like
25 ARCO -- Anadarko original hole and sidetrack hole in the

1 well.

2 We stayed out of the well, it was a dry hole,
3 they encountered no sand.

4 Q. (By Mr. Ernest Carroll) Mr. Moore, let me ask
5 you just a few more questions and wrap this up.

6 Returning to your Exhibit Number 1 --

7 A. Certainly.

8 Q. Now, the pod that you -- You've shown a pod here,
9 and I -- on your isopach of 40 foot.

10 A. Right.

11 Q. Can you tell me what well anywhere in this area
12 has a gross sand of 40 feet?

13 A. I can't point to a specific well. But I can tell
14 you that if you look at the relationship between the Bass
15 well in 2, the 2H well, and the well in 1 -- I believe it's
16 L -- with 18 feet on that map, is a rapid stratigraphic --
17 was a rapid thickness, and it appears to be the only 35 one
18 in the pod.

19 Q. Well --

20 A. I wouldn't have predicted that either. But the
21 Morrow is an elusive, very variable animal.

22 Q. I understand. Now, can you show me -- You show
23 no wells or no points of location to show or establish that
24 you have this pod, this thickening here, this gross isopach
25 thickening, laying almost east-west, do you?

1 A. Please ask the question again.

2 Q. All right. What I'm trying to delineate is,
3 where you get the orientation from well data of this
4 thickness that you show running in an east-west direction
5 here on Exhibit Number 1.

6 A. Okay. I believe that we look in Section 1, we
7 see a well in location -- It has 25 feet on it. We have a
8 well with 18 feet on it in there. And we have the Bass
9 well in 2H with 35.

10 We have established somewhat of a northwest-
11 southeast depositional pattern that is a little bit more
12 east-west of north than north. I projected it up through
13 our location and I brought it out to the west. And I think
14 you would agree with me that if we look in 34, that well
15 has four feet. The well in 16F -- I'm sorry, 3F -- has 16
16 feet in it.

17 Now, to continue that depositional pattern in
18 strictly a northwest pattern would not honor the data
19 points. I have to come south a little bit, which puts a
20 little bit of an east-west wave in there. But it's highly
21 interpretive.

22 Q. Well, that's the point, and what I would like --
23 I guess really my last question here is that how would
24 you -- you would have to totally reinterpret -- You have
25 this 10-foot contour line and a 20-foot contour line that

1 extend way out past -- to the west of Section 34. You now
2 know from your log that the location of this well in 34,
3 you have 12 feet?

4 A. Well, that's correct. What I'm going to have to
5 do is, I'm going to put a 12 there. And what's going to
6 happen is that this western or northwestern end of it is
7 going to slide to honor that point.

8 And I'd like to point out that we have 12 feet of
9 sand. If we go back to the Bass exhibit, they forecasted
10 zero feet of sand. And I said that this was a highly
11 variable sand. So the fact that we have 12 feet, we
12 recognize that it's variable, but we had sand. Under the
13 Bass map, this would have been zero.

14 Q. Well, Mr. Moore, you recognize that the
15 interpretation that Bass did was based on porosity, rather
16 than your gross sand, do you not?

17 A. Well, Exhibit 10, Exhibit 10, where I have my --
18 the map is under mine, I believe they've honored my data
19 points. So this would be the gross sand. They've
20 reinterpreted my calls to do that. I think these will be
21 pretty consistent. May I show you?

22 If we look in 3, unit F, 16 feet on both maps, 16
23 feet on the well to the east.

24 If we look up in 35 -- I'm just going to take a
25 couple of these. If we look up in 35, if we look in H, 17

1 feet, 17 feet on this map.

2 They've recontoured my map. It's got nothing to
3 do with porosity. In my opinion, this is truly what's
4 happened.

5 Q. Now, just one last question.

6 A. Is that correct?

7 Q. Excuse me?

8 A. Is that correct?

9 Q. I'm sorry, I didn't --

10 A. I said, they've recontoured my map; it doesn't
11 indicate --

12 Q. That Exhibit 12, I believe, is what we were
13 looking at.

14 A. Oh, I was looking at Exhibit 10.

15 Q. Oh, Exhibit 10? There was -- when we return -- I
16 think the testimony reflected, Mr. Moore, that they used
17 your data to recontour the map on --

18 A. I --

19 Q. -- that one with the lines overlaying.

20 A. That's correct. And we believe that map that
21 Bass has recontoured has been proven in error by the well
22 in 34 because it accommodates no sand whatsoever.

23 Q. You had Exhibit 14 as one of these group of
24 Exhibits?

25 A. That's correct. On Exhibit I believe it's the

1 net clean sand?

2 Q. Yes. But that doesn't show a zero, does it, like
3 you were indicating a minute ago?

4 A. Well, let me show you. Do you see Section 34?
5 Do you see the dot? Are we looking at the same map?

6 Q. Well, now I've -- Here it is.

7 A. Do you see the dot? I believe --

8 Q. I see -- What you're talking about is the well in
9 34?

10 A. That's right. Bass has forecasted that it would
11 be very similar to the well in G. That's a zero. This map
12 is incorrect.

13 Q. Well, Mr. Moore, doesn't that map -- the --
14 You're actually getting into an area where there are no
15 contour lines and there are no data until you drilled this
16 well, correct?

17 A. My exhibit forecasted some sort of sand trend
18 through the location.

19 Q. -- no data to show or to -- that you used to
20 infer that forecasting on?

21 A. I just believe it's the proper interpretation.

22 MR. ERNEST CARROLL: You just believe. All
23 right, thank you. That's all.

24 MR. CARR: No redirect, no questions.

25 EXAMINER STOGNER: Mr. Bruce?

1 MR. BRUCE: No questions.

2 EXAMINER STOGNER: I don't have any other
3 questions.

4 MR. CARR: At this time I would call Bryan
5 Montgomery.

6 BRYAN MONTGOMERY,
7 the witness herein, after having been first duly sworn upon
8 his oath, was examined and testified as follows:

9 DIRECT EXAMINATION

10 BY MR. CARR:

11 Q. State your name for the record, please.

12 A. Bryan Michael Montgomery.

13 Q. Where do you reside?

14 A. I reside in Tyler, Texas.

15 Q. Mr. Montgomery, by whom are you employed?

16 A. Mewbourne Oil Company.

17 Q. And what is your current position with Mewbourne?

18 A. I'm the manager of evaluations and reservoir
19 engineering.

20 Q. Have you previously testified before this
21 Division?

22 A. Yes, I have.

23 Q. At the time of that testimony, were your
24 credentials as a reservoir engineer accepted and made a
25 matter of record?

1 A. Yes, they were.

2 Q. Are you familiar with the Applications filed in
3 these cases by Bass and Santa Fe?

4 A. Yes, I am.

5 Q. Have you made a study of the Morrow reservoir i
6 the subject area?

7 A. Yes, I have.

8 MR. CARR: Are the witness's qualifications
9 acceptable?

10 EXAMINER STOGNER: Any objections?

11 MR. ERNEST CARROLL: No objection.

12 EXAMINER STOGNER: So qualified.

13 Q. (By Mr. Carr) Mr. Montgomery, have you reviewed
14 the exhibits and testimony offered by Bass at the February
15 20th hearing in these consolidated cases?

16 A. Yes, I have.

17 Q. Have you reviewed the approach that they used in
18 modeling this reservoir?

19 A. That's correct.

20 Q. Are you in agreement with the methods employed by
21 Bass to model the reservoir?

22 A. Not in full.

23 Q. And where do you differ from Bass's approach?

24 A. Where I differ is, there are some inconsistencies
25 with the methodology they used and with the conclusions

1 they reached.

2 If I might elaborate just a little bit, their
3 engineering firm, Platt, Sparks and Associates, did a
4 reservoir history match, so to speak, of the Bass geology.

5 What they did was input the actual flow rates and
6 try to match the initial pressures of offsetting wells,
7 which is a good first step. But it didn't go far enough,
8 and that's why I have a problem.

9 They did not -- By not going far enough, it
10 damages the conclusions that they reach.

11 Q. What more should they have done?

12 A. Well, they should have tried to obtain additional
13 pressures to substantiate their model. They operate wells
14 in this field, they could have easily got those pressures,
15 but they did not.

16 There were other inconsistencies in the actual
17 data. We weren't here to cross-examine them, but I found a
18 few inconsistencies.

19 Most damaging is the inability to predict for the
20 wells to actually recover what they show on their own
21 volumetric exhibits.

22 In part of their testimony they list volumetric
23 exhibits that show 77-percent recovery. And in the same
24 exhibit they show that the cumulative production from the
25 11 wells is 15 BCF. They expect about 22 BCF, and the

1 volumetrically gas in place, initial gas in place, is 45
2 BCF. That's 50-percent recovery. Their maps are too big.

3 They tried to run Mewbourne's maps through there,
4 but erroneously used a gross map, not a reservoir net map
5 to be used for history matching.

6 So they just fell short. They began well.

7 Q. All right. When Bass testified in February, they
8 testified they expected their Turkey Track State Well
9 Number 1 in the east half of Section 2 to recover about 2.5
10 BCF.

11 A. That's correct, that was --

12 Q. Do you agree with that?

13 A. To some degree. I'd use 2.7 BCF, but that's
14 within, I think, engineering accuracy. Both numbers are
15 probably the same thing.

16 Q. Would you refer to what has been marked for
17 identification as Mewbourne Exhibit Number 2?

18 A. Okay.

19 Q. Would you explain to Mr. Stogner what this is and
20 what it's designed to show?

21 A. This is designed to show the drainage area and
22 volume of the well in 2H.

23 Q. This is the Bass well?

24 A. This is the Bass well in 2H.

25 Q. And how did you go about estimating the drainage

1 area?

2 A. What I did was -- And I studied the whole area;
3 this is one of the wells that I studied. I tried to use
4 typical parameters for the lower Morrow, honoring the gross
5 trends and, using a volumetric equation, backed into a
6 volume that is being felt by this well.

7 And as you can see, the porosity, water
8 saturation, et cetera, we don't need to go through all
9 these. They're very, very similar to what is in Bass's own
10 exhibits.

11 And I believe what we see here, the conclusion is
12 that there is 4138 acre-feet being felt and drained
13 adequately by this well. These reservoirs drastically
14 change in thickness, and the well is 30 feet thick, net, in
15 my estimation. Using an average of 15 feet, which seems
16 reasonable over the total drainage area, would yield 275
17 acres.

18 Q. Is your acreage in Section 35 at this time being
19 drained by the Bass well?

20 A. It's too hard to tell because between wells it's
21 difficult to pin exactly where everything is going on, but
22 it looks like if it is, it's just slightly so.

23 Q. Have you been able to make any estimate of the
24 productive acres that are available to Mewbourne in Section
25 35?

1 A. Yes, I believe that in the south half of 35,
2 extremely to the south, we may encounter a thick net
3 reservoir, and that by placing a well there we will be able
4 to drain the whole 320-acre unit that we have, the standup
5 unit, to the extent that it's already had a well producing
6 and there will be some drainage encountered there.

7 So several -- Hopefully, if the maps are right,
8 there is 320 acres available.

9 Q. Your Exhibit 2, in fact, shows that there is a
10 large area that is currently being drained by the existing
11 well in Section 2; is that right?

12 A. Large in relation to some other wells that have
13 smaller numbers when you do the same thing, yes, it's
14 relatively large.

15 Q. From the data that is available to you on this
16 well, and your review of the data that was presented by
17 Bass, can you see any evidence of a fault traversing
18 Section 2, as Bass has placed that fault?

19 A. Absolutely not.

20 Q. Can you locate a fault in this section without
21 additional geological support?

22 A. No.

23 Q. Do pressure tests in the Morrow show you,
24 generally, a boundary effect?

25 A. Yes, pressure testing in the Morrow, especially

1 in high permeability, can find boundaries, and do almost
2 all the time.

3 Q. Is a boundary -- A fault is a boundary, is it
4 not?

5 A. That's correct, it's one type of boundary. There
6 are many types.

7 Q. Change in permeability would be another?

8 A. That's correct. And normal pinching out of the
9 sand would be the same response as a fault. A thickening
10 will show a response. There's several things you can glean
11 out of a pressure test.

12 Q. We were looking with Mr. Moore at the -- I
13 believe it's an Anadarko well in the east half of Section
14 35, the one that was drilled as a straight hole and then
15 sidetracked.

16 If pressure testing was done on that well, would
17 you expect to see the same sort of a boundary effect that
18 is being seen in the data that Bass has presented on their
19 well in Section 2?

20 A. Absolutely, depending on the permeability and the
21 time. If the test was run, you would certainly see that
22 pinchout.

23 Q. Based on the information that you would have from
24 that pressure test and the other information you have seen,
25 could you make a determination as to whether or not you

1 have actually a fault or some other boundary effect?

2 A. The probabilities are strongly in favor for
3 stratigraphic changes and not faulting. It happens over
4 and over in the Morrow.

5 Q. And even if you had a fault, is there any way
6 from the data you've seen to place the fault in any
7 particular location in respect to the existing well in
8 Section 2?

9 A. No. I haven't seen the pressure test, I haven't
10 seen the seismic that's been alluded to. But even with the
11 pressure test there's no way to tell the side the fault
12 would be on, the angle toward the well would be on without
13 serious testing, and there would be serious doubt in your
14 conclusions.

15 Q. Could you just summarize the conclusions that
16 you've reached from your study of the data available to you
17 on this area?

18 A. There are variable sand thicknesses and areal
19 extents to these Morrow wells that intersect a sand that's
20 productive, that you can quickly and rapidly move into a
21 short distance of space, a much thinner or thicker section.

22 But the wells generally have very good
23 permeability, not always, and they're adequately draining
24 different-size pods.

25 What we think is that there's room for a

1 reservoir net pod in the south half of 35, and it is not
2 being adequately drained by any other wells, and we'd like
3 to go out and test that.

4 Q. If you're to efficiently drain the reserves in
5 that pod, you have to locate the well as Mewbourne has
6 proposed?

7 A. Yes, that's correct.

8 The problem with limiting yourself -- or not
9 limiting yourself to the south half, as our interpretation
10 goes, you get closer to other production which may have
11 some -- There is a pod I show to the north.

12 I don't have a map here, but in my work I show
13 that 35F and 35H are in a common reservoir, and we would
14 not want to get too close to that. Plus we believe there's
15 a new pod developing that is mostly thicker in the southern
16 portion of 35.

17 Q. What would be the impact on Mewbourne and other
18 operators in this area if Bass was permitted to drill an
19 additional well in the east half of Section 2?

20 A. That would be detrimental to the other operators.

21 Q. And why is that?

22 A. Well, it stands to reason that with two wells in
23 the same reservoir, as other potential wells to be drilled
24 in the future, they would outcompete the offset operators,
25 they would have better take potential, better drawdown.

1 There are several reasons.

2 Q. Now, Mewbourne is recommending that the
3 Application of Bass for simultaneous dedication of wells in
4 that tract be denied.

5 If that Application was granted, does Mewbourne
6 have a recommendation to the Examiner as to how that should
7 be handled?

8 A. Yes, I think the only thing that would be fair
9 would be to not allow them to produce both wells -- that
10 would be 2H and this new well in Section 2 -- at the same
11 time, that they alternate, plug one or something like that,
12 so that it's a one-to-one relationship with offset
13 operators.

14 Q. Was Exhibit 2 prepared by you?

15 A. Yes, it was.

16 MR. CARR: At this time Mr. Stogner, I move the
17 admission into evidence of Mewbourne Exhibit 2?

18 EXAMINER STOGNER: Any objection?

19 MR. ERNEST CARROLL: None.

20 EXAMINER STOGNER: Exhibit Number 2 will be
21 admitted into evidence.

22 MR. CARR: And that concludes my examination of
23 this witness.

24 EXAMINER STOGNER: Thank you, Mr. Carr.

25 Mr. Carroll, your witness.

CROSS-EXAMINATION

BY MR. ERNEST CARROLL:

Q. Mr. Montgomery, you -- I think you've criticized the reservoir history that was performed by Mr. Payne by -- and you used the statement that they didn't go far enough. Would you explain? Are you talking about far enough in time, far enough in areal extent by looking at additional wells? What?

A. Mainly what I mean by that is methodology and data gathering. To use that technique -- It's a good starting point, and they began with a good idea.

But to make the conclusions that they made from where they finished up with their history matching, they did not validate the model very well. They show all this gas in place and only 50 percent being recovered in their own exhibits.

Q. Well, Mr. Montgomery, you still haven't answered the question. Are you saying they didn't go far enough in time, or are we talking about areal extent in not looking at additional wells?

A. Areal extent wouldn't have been a recommendation. They could have done a lot better with the wells that they had chosen. I think there were 11 wells.

Q. Okay. Now, how would they have done better with the wells that it would show?

1 A. The first thing to do would be to try to get
2 better information about pressure testing, subsequent
3 pressure testing, from their own operated wells. I know
4 it's difficult in public data to do that, and then you just
5 can't. But then your conclusions aren't as strong when you
6 can't.

7 But they did have the opportunity in the well in
8 2H, and -- Maybe they did and I haven't seen it, but I
9 haven't seen it. And some of the conclusions they get are
10 just so inconsistent that it just draws a cloud in my mind.

11 Q. Well, let's look at the data that you used on
12 your Exhibit 2.

13 A. Okay.

14 Q. First of all -- Just a second. In conjunction
15 with your Exhibit Number 2, did you try to do a simulation
16 for these wells yourself, or did you just perform a
17 criticism?

18 A. No, this is a simulation of a simple matter of
19 volumetric calculation. It is not a reservoir simulation
20 with flow equations, a computer simulation, as it might be
21 termed, but those -- the better maps you're -- some of your
22 hand calculations, some of your volumetric calculations, to
23 a better degree than it seemed that they did in their
24 simulation model.

25 Q. Now -- So all you've done is just this one basic

1 computation that is found or -- in Exhibit 2?

2 A. No.

3 Q. Is that correct?

4 A. No.

5 Q. What else did you do, then?

6 A. I studied the whole area in a similar fashion.

7 Q. How did -- What kind of study? Did you just look
8 at -- What kind of data?

9 A. I looked at all the production data, all the
10 pressure data, all the logs, all the scout tickets, made
11 volumetric calculations and prepared my analysis for the
12 prospect, more so than for this hearing.

13 Q. Where are those volumetric calculations? Did you
14 bring them with you?

15 A. No.

16 Q. What -- How many wells did you perform a
17 volumetric calculation on?

18 A. I don't recall the exact number, but I'm very
19 familiar, I think I could say maybe the same 11, maybe a
20 few less than we see in the Bass study.

21 Q. Well, did you have any different pressures than
22 Bass had in the presentation of -- and preparation of its
23 simulation?

24 A. No.

25 Q. All right. Now, when you -- You criticized, I

1 think, Bass's use of the 77-percent recovery rate for the
2 reservoir; is that correct?

3 A. No, I criticized the inconsistency of saying on
4 one page they assume a 77-percent recovery to an
5 abandonment pressure of, I think, 500 pound, and on another
6 page saying the model study is only going to get 50-percent
7 recovery of what they're saying is the net map.

8 Q. Well, as I recall the exhibits, they did not use
9 an abandonment pressure of 500 p.s.i. That is a number
10 which you have apparently come up with. Can you tell me
11 what wells that you have studied that actually establish a
12 500-p.s.i. abandonment rate?

13 A. Certainly. I may have to go through my notes,
14 but I can start with 2H. 2H, in my mind, using this
15 analysis, is -- obviously have a 500-pound abandonment.

16 Q. Well, let's just talk about that analysis. Now,
17 you said, I think, in your testimony that you used some
18 general reservoir parameters to come up with this. With
19 respect to porosity, where did you get the .09?

20 A. That was obtained by looking at several wells and
21 trying to determine how -- between wells, how these things
22 might average. Also reviewing Bass's numbers. In the
23 volumetric pages -- The only porosities I ever saw from
24 Bass's numbers were 9 percent.

25 Q. Well, I think we differ there. If you -- What we

1 believe we presented was something on the order of 12.12.
2 If you increase the porosity, you would necessarily lower
3 in your calculation the amount of acreage that you are
4 showing drained, correct? That would be the effect?

5 A. Absolutely.

6 Q. All right. Now, if you used a different
7 estimated abandonment pressure, if you used 1000 instead of
8 your 500, that too would have the effect of reducing the
9 amount of acreage that you ultimately end up as being
10 drained, correct?

11 A. When you use the abandonment pressure, the
12 permeability usually helps you -- allow to get to a fairly
13 low abandonment pressure. The higher the permeability, the
14 lower the abandonment. I wouldn't use a higher pressure
15 for 2H. I might in other wells.

16 Q. Well, why would you use it in other wells and not
17 2H?

18 A. It depends on the permeability, and it depends on
19 how many wells you have in that particular pod. If you've
20 got several wells, you can get to a low abandonment
21 pressure on each well. If you have one well, it will be
22 higher.

23 Q. Well, we also -- We know right now that you
24 didn't use the actual calculated porosity from any logs for
25 2H; is that correct? You used some inferred number from

1 looking at other wells, correct?

2 A. That's correct. But I know the -- I've seen the
3 porosities of all the wellbores.

4 Q. Well, that's fine. You didn't use the actual
5 porosity.

6 Now, with respect to the 15-foot average that you
7 used down here --

8 A. Yes.

9 Q. -- the testimony indicated that it was
10 approximately 30 feet of net sand that Bass believes is
11 contributing to this well.

12 If you use the -- an average of 30 feet, you
13 would again reduce the number that comes out here, your
14 275, correct?

15 A. It's simple enough to see what the effect of
16 changing these numbers would be. The simple fact is, these
17 reservoirs go from very thick to very thing. They have a
18 larger areal extent that's not a 30-foot constant-thickness
19 reservoir. What I used was a footage that was consistent
20 with other studies in the area.

21 Q. But not with what actually is shown in the well
22 from the logs.

23 A. That would be improper to use that number.

24 Q. Oh, improper. Well, how do you show -- And
25 you've seen the Exhibit Number 1 that your geologist

1 testified to. You show a net thickness there of -- or a
2 gross thickness of 35 feet. How do you account for some 20
3 feet difference in the number you used in the map -- the
4 mapping that you have in Exhibit 1?

5 A. Let me repeat again. Where the well intersected,
6 that particular location of 2H, there's, say, 35 feet of
7 gross, 30 feet of net. But the drainage area that that's
8 drawing from, inferred by other studies in the area,
9 several instances -- The sidetrack log is a good instance,
10 1L is a good instance. These thicknesses don't remain
11 constant.

12 I'm trying to use a more reasonable estimate of
13 the total drainage area's thickness and just make it simple
14 to show the 275 acres.

15 Q. Now, you made a statement, and I wish you'd
16 clarify because I wasn't sure if I heard you correct. I
17 think Mr. Carr asked you if you thought that the Bass well
18 was draining Section 35. Did you state that you didn't
19 think it had much effect on the Section 35 acreage? Is
20 that -- was that a fair --

21 A. The statement, if I didn't -- wasn't clear
22 before, let me try to make it more clear.

23 It's impossible to determine the exact shape and
24 size of these volumes that that well is draining. But one
25 probable shape and volume would have just a very slight

1 impact on 35 but a significant impact on the west half and
2 especially -- I mean the east half, and especially the
3 northeast half of Section 2.

4 Q. Well, the map -- Somehow I don't understand the
5 mapping that is on Exhibit Number 1. If you're to believe
6 how that is depicted there, it would appear to me that the
7 Bass well would have a significant impact upon Section 35,
8 the way you've drawn the pod.

9 MR. CARR: I'm going to object to the form of the
10 question. I mean, Mr. Carroll has said something appears
11 to him and -- Can you state it in the form of a question?

12 EXAMINER STOGNER: I think that's reasonable, Mr.
13 Carroll.

14 Q. (By Mr. Ernest Carroll) All right. Mr.
15 Montgomery, when you look at Exhibit Number 1 -- Do you
16 have that?

17 A. Yes, sir.

18 Q. There is a pod which is shown and colored red. I
19 do not understand your statement that there would be no
20 drainage, or very little drainage on the Section 35
21 proration unit, if I'm understanding what you just
22 reiterated to me, based on the way this map is drawn.
23 Could you explain your answer in light of this map?

24 A. Yes. I didn't draw this map. This is a gross
25 fairway map of a trend of deposition.

1 The net maps, or the net volumes that these wells
2 seem to be draining to me would follow this trend in
3 general but would not continue to go on exactly like a
4 gross map.

5 These things are highly variable, these reservoir
6 accumulations and the sand deposits are highly variable,
7 they come and go rapidly, thicken and thin rapidly. And
8 what you're mixing up is a gross map from a net map that
9 would be used to do the reservoir calculations.

10 And furthermore, if this map -- if the Bass map
11 or our maps were better representations of the net maps,
12 the well in 2H might be much better than it is. I think we
13 can agree that it's about a 2.5- to 2.7-BCF well.

14 And I'm just trying to represent that on a
15 reasonable volumetric calculation of the average
16 thickness -- not using the 30 feet, not using the best
17 porosity which it encountered -- that it would be about 275
18 acres.

19 Q. Do you have a net map --

20 A. No, sir.

21 Q. -- how you mapped the net pod down in the south
22 half of --

23 A. No.

24 Q. -- Section 35?

25 A. No, sir, not with me. It is, in general,

1 trending as this gross map does trend.

2 Q. Well, does it cross over into Section -- the
3 Section 2, over into the proration unit in which the Bass
4 well is situated?

5 A. Does it cross over into Section 2?

6 Q. Cross in a south --

7 A. Which net pod are you going to be talking about?
8 The one around 2H?

9 Q. You have shown on Exhibit 1 a red pod.

10 A. Uh-huh.

11 Q. That red pod, it almost -- as much lies in the
12 proration unit of the Bass well as does in your proration
13 unit.

14 Are you saying that the net pod follows the
15 general shape and extends much as this gross pod does,
16 within the 40-foot interval contour?

17 A. Our interpretation is, the direction of the pod
18 is correct, that the net pods would be peanuts or circles
19 or sausages, laying through there.

20 Sometimes two wells produce out of the same pod.
21 Sometimes it seems like you get virgin pressure and you
22 have a new pod. It's a mix of maps, in some -- to some
23 degree.

24 Q. Are you saying that all of the 11 wells, then
25 that were studied by the Bass people, are in 11 different

1 pods, because none of them came in the same --

2 A. No, sir --

3 Q. -- the same --

4 A. -- not at all.

5 Q. -- the same pressures?

6 A. Right, not at all.

7 Q. Do you think they are connected?

8 A. It's my recollection that 2H and 1L could be
9 connected, 35F and 35H could be connected.

10 Q. Well, are you saying 2H is not connected to the
11 pod that you've shown in the south half where you want to
12 drill your unorthodox-location well?

13 A. That is -- There will be a prospective net pod
14 that I would draw in there, and it's our -- We want to go
15 out and see if we can prove that pod up.

16 There's -- I don't have the reservoir data to
17 show a pod there. The geologic trend shows, let's go try
18 to see if there's one there, because the current wells
19 haven't completely drained what we think the total extent
20 of that sand is, and we're hopeful to make a well in that
21 south half.

22 Q. Do you have any data which shows that if you
23 drilled your well at an orthodox location, that you
24 wouldn't get into this net pod?

25 A. The data we show is that we will probably

1 encounter the northern pod and be depleted.

2 Q. So you've got now another pod in the west half of
3 Section 35, then; is that what you're telling me?

4 A. In the north part of Section 35, I feel like
5 there is a pod up there -- I forget the size; it's some 320
6 to 400 acres -- that would encompass those two, and it's
7 impossible to exactly say where it stops and begins. But
8 the risks become greater, the further you move north, that
9 you'll encounter a depleted area of the lower Morrow and
10 not find something like 34 where we found virgin pressure
11 and hopefully some areal extent to that well.

12 Q. Mr. Carr asked you a question concerning
13 faulting, and you said you had reviewed the evidence, and
14 you don't find any evidence of faulting. What did you
15 actually review?

16 A. All I had to review was the Bass testimony, the -
17 - in Bass exhibits, the Platt Sparks folder.

18 Q. So you have done basically the same thing the
19 Bass expert did and come up with a totally different
20 interpretation, then? You have no new evidence to offer,
21 then?

22 A. I do disagree with the Bass interpretation, yes,
23 I do. I do not have that pressure test I think that they
24 must be using, or the seismic data.

25 Q. Now, you indicated something about pressure-

1 testing the well that is in the northern part of the
2 Section 35 proration unit that you operate. And I was
3 unclear. There were some general questions by Mr. Carr
4 concerning what you might be able to determine through
5 pressure testing in determining whether or not there were
6 barriers within a reservoir.

7 Did you say you had looked at the pressure
8 testing from that well that has been depleted?

9 A. No.

10 Q. All right. So you have no pressure testing to
11 substantiate one way or the other or give you any
12 indication that you have a separate pod up there then?

13 A. I think you've confused the question. I didn't
14 understand it. I do not have any pressure-test
15 information. The pod information is not based on pressure
16 testing; it's based on volumetric recoveries of what I
17 expect to be the porosities, water saturations and
18 thicknesses of those wells in 35, the north half of 35.

19 Q. Pressure plays an important part, though, in --

20 A. Yes, I have --

21 Q. -- calculating those?

22 A. I have initial pressures in my notes of public
23 data pressures, not pressure transient testing. Make that
24 more clear, I'm sorry.

25 Q. With respect to your statement about there being

1 a depleted pod, this well up in the northern part of
2 Section 35, when I look at your Exhibit Number 1, I see no
3 reservoir or pod being shown up there. In fact, to me
4 Exhibit 1 contradicts your statement.

5 A. I don't think so. This is a gross map. You
6 could easily overlay a net map. This 8 foot of gross you
7 see in 35F and the 17 in 35H have net numbers associated
8 with it. You would be simply drawing a pod, assuming that
9 geology, and those production numbers like I have on my
10 Exhibit 2, and drawing a volumetric recovery. I think it's
11 fairly straightforward on how that's done.

12 Q. Was there a reason why Mewbourne didn't prepare a
13 net pod map for presentation to the Commission in support
14 of this Application?

15 A. The reason would be it was, I think, unnecessary
16 to make our case, that it would be extraneous, that it
17 would be our confidential -- some of it is our confidential
18 information, just like we don't see the seismic data from
19 Bass.

20 Q. In looking at Mewbourne's map, it seems to
21 indicate to me, and I want you to see if you agree with it,
22 that you're saying that the reservoir, the lower Morrow
23 reservoir up here, the orange sand, is in good
24 communication throughout this area?

25 A. That is not correct.

1 Q. Okay, so what you're saying is that you just have
2 isolated pods throughout this entire area?

3 A. I believe that's true. Some pods are bigger than
4 others. There's a well in 3F that I think has a very small
5 pod associated with it. It made 100 million. It would
6 calculate a very small drainage area.

7 I found some of the Bass numbers to be
8 inconsistent with their own maps on what they were
9 draining. I don't have -- I don't know what abandonment
10 pressures they used in the model simulations, but it didn't
11 fit.

12 Q. When you were studying, in particular, the 11
13 wells that Bass used in its computer simulation, or
14 modeling or whatever, did you notice that nine of those 11
15 wells, when you looked at the relationship of when they
16 were drilled timewise, that they all came in at
17 succeeding reduced pressures?

18 A. Yes.

19 Q. Doesn't that indicate to you that all of those
20 nine wells, then, at least, were in communication with each
21 other?

22 A. They were in pressure communication, and through
23 a gross sand I think that would probably be the case in a
24 lot of wells. It depends on just how tight and how much
25 you lose your net and gross sands.

1 The pressure communication cannot be confused
2 with the recovery, the ability to recover large distances.
3 But you could certainly have a pressure communication in a
4 system of a gross sand with the net pods -- somewhat
5 separate net pods, even though slightly connected through
6 gross intervals.

7 Q. Are you saying that you can have a pressure
8 communication without drainage?

9 A. You can have a pressure communication without
10 extreme drainage. There will be a very, very slight amount
11 of drainage. The more the pressure communication, the more
12 the drainage.

13 There would be some drainage, yes, with pressure
14 communication.

15 Q. Now, the well -- can you tell me -- As I
16 understand from the testimony that has just been given,
17 that the well in Section 34 is displaying virgin pressures.

18 A. I'm not exactly sure what the virgin pressure
19 would be in every instance, but it's 4400 pounds, and that
20 would be very close. It might be slightly depleted through
21 some gross connection.

22 Q. Well, are you saying there's no connection --
23 Your map shows, at least, through a gross interval, that
24 this area is connected. Are you saying that this Section
25 34 well is not connected?

1 A. In a gross basis, we sure hope it's somewhat
2 connected so we can find better reservoir quality pods to
3 deplete reasonably.

4 Q. Well, if you've encountered a separate pod there,
5 you could also -- Wouldn't that also indicate that you
6 might be in a separate channel?

7 A. That's potentially true. This is our
8 interpretation, that the channel trends the way it does on
9 Exhibit 1.

10 Q. The -- Can you tell me what the porosity was that
11 was calculated for that Section 34 well, and the thickness
12 of that porosity?

13 A. Just on recollection, rough numbers, we're
14 talking about 8- to 10-percent porosity and 10 to 12 feet
15 net pay, and gross pay would be similar to the net.

16 Q. Gross pay?

17 A. Both gross and net would be similar. There might
18 be a few feet difference. But I don't have the logs, I
19 haven't seen the logs. It's a telephone conversation.

20 Q. All right. So you don't have the logs --

21 A. I have no firsthand knowledge.

22 Q. Can you explain why that over here in Section 34
23 you would have gross and net pay being almost identical,
24 and yet you're apparently indicating that over -- as you
25 move slightly east, that there becomes some great

1 diversions there?

2 A. Yes, the Morrow sand is highly complex, highly
3 variable. And what happens is, sometimes they match up and
4 sometimes they don't. It's just too complex. That's our
5 whole point.

6 Q. What was the water saturation of your Section 34
7 well?

8 A. I don't have that with me, but the resistivity
9 was 10 ohms, which is concerning, except for the fact that
10 3F had about the same resistivity and was highly productive
11 with very little water.

12 We believe that high-permeability reservoirs will
13 exhibit, sometimes, a depressed resistivity. But it could
14 have high water saturation and begin to move some water,
15 which could -- which would be detrimental.

16 Q. I thought Mr. Moore testified that there was a
17 70-percent water saturation. At least that's what we
18 heard. The Bass well in Section 2 has 25 percent.

19 How can you explain -- If that is, in fact, the
20 true numbers, how can you explain a much higher updip water
21 saturation?

22 A. I think, really, by just -- It's hard to explain.
23 But the variability of the Morrow, I think, is the best
24 explanation, and that you sometimes don't always get
25 repeatable results. You have to drill wells.

1 Q. With respect to your study of these orange sand
2 wells out here, what were the average recoveries? Bass
3 presented an Exhibit Number 7 in its case, and it listed
4 the wells and found their average gas recoveries and what
5 have you.

6 What numbers were you using, and where did you
7 get yours?

8 A. Would you define "recoveries"?

9 Q. Well, how would you define them?

10 And -- You've come up with a -- in your exhibit
11 here -- You show a cumulative production and then you show
12 an estimate, ultimate recovery. What is that? How do you
13 define it?

14 A. Okay, those are gas recoveries --

15 Q. All right.

16 A. -- in just absolute MCF.

17 Those recoveries would be not unlike the
18 recoveries I would use, the one that Bass used in their
19 exhibit.

20 I remember a fairly close conformance. Several
21 of the wells have made most of the reserves they're going
22 to make; there's just not that much left to recover except
23 for 2H.

24 Q. All right. Now, in the Exhibit 7, Mewbourne
25 showed --

1 A. Which one is Exhibit 7, please?

2 Q. It was Exhibit 7 of the Bass exhibits.

3 A. Could you show me that one?

4 Q. It was the one where they did the calculation.

5 A. Behind Tab 7? No, it's --

6 Q. No. It's this one.

7 A. Okay. I need to borrow one. I don't have one
8 with me, but I remember the exhibit.

9 Q. This is my only copy.

10 A. Okay.

11 Q. There were -- And I want to find out, basically,
12 on this Exhibit Number 7, they show for the location
13 different wells, they showed footages for the pay which
14 they -- Bass felt was contributing to the estimated
15 ultimate recovery.

16 Did you determine -- Do you agree or disagree
17 with those numbers? And did you --

18 A. There are several numbers on the page.

19 Q. Yes.

20 A. The Bass numbers are based on numbers, I think,
21 that they will claim are net-pay numbers that contribute.

22 Q. Uh-huh.

23 A. The Mewbourne numbers are based on gross pay
24 numbers. They are -- You can't compare them.

25 Q. Okay. Now, with respect to the Mewbourne

1 numbers --

2 A. Yes.

3 Q. -- that are listed for each of these wells, they
4 show a net -- a gross pay of 24.5. Do you agree or
5 disagree with that as being an economic thickness?

6 A. The question, I don't think, is a very easy one
7 to answer because you seem to be still confusing the
8 difference between net pay and gross pay. So let me
9 restate those numbers on that exhibit. They erroneously
10 compared apples and oranges, or whatever you want to call
11 it.

12 Q. Well, what -- and what I'm trying to do is just
13 isolate Mewbourne's numbers and just take them for whatever
14 they are. If they're gross numbers, they're gross numbers.

15 The fact is that your gross numbers show that
16 what is needed for an economic well is an average of 24.5
17 feet of gross pay.

18 A. That is not correct.

19 Q. So you're -- You don't feel like that is an
20 economic thickness, then, based on the ultimate recoveries
21 that have been obtained from these wells?

22 A. If you had a gross thickness of this 25 or so
23 feet, and you had net thicknesses, similar, with large
24 areal extents, you'd make one heck of a well.

25 Unfortunately, that doesn't always work. You've

1 got to -- So you don't know what the economics are going to
2 be until you know the drainage volume is going to be, which
3 is based on a net thickness, not a gross, and the area,
4 which is usually determined after you've seen the well
5 produce for a while, and you see how much of an area that
6 well is -- as in 2H is producing quite a large area, 3F
7 quite a small area.

8 Q. Well, would you say that a well that had average
9 recovery of 3.0 -- let's just round it off -- BCF and
10 22,000 barrels of oil, are you saying that that well is not
11 economic?

12 A. No, I'm not. That probably would be very
13 economic. We would love to have something like that.

14 Q. The orthodox location that is shown on your
15 Exhibit Number 1 would show a gross thickness of almost 30
16 feet; isn't that correct?

17 A. It looks like just short of 30 feet, between 20
18 and 30, based on this interpretation.

19 Q. All right. It's much closer to the 30 line,
20 though?

21 A. Right, I would -- It looks like maybe a 28 or
22 something like that.

23 Q. The little X is where an orthodox location would
24 fall on that Exhibit 1; isn't that right?

25 A. That would be one orthodox location, that's

1 correct.

2 MR. ERNEST CARROLL: I pass the witness.

3 EXAMINER STOGNER: Mr. Carroll.

4 Mr. Carr?

5 MR. CARR: I have just a couple --

6 MR. BRUCE: No questions.

7 REDIRECT EXAMINATION

8 BY MR. CARR:

9 Q. Mr. Montgomery, in preparing your study you had
10 information that Mewbourne has in its files; is that right?

11 A. That's correct.

12 Q. You had public information; is that correct?

13 A. That's correct.

14 Q. You had the prior testimony and exhibits
15 presented by Bass in the February 20 hearing; is that
16 right?

17 A. That is correct.

18 Q. There was certain information on the Bass
19 properties in the area that you did not have; isn't that
20 correct?

21 A. It looks as if there was a pressure test and some
22 other data that I did not have. It was not public data.

23 Q. That information was sought by subpoena, was it
24 not?

25 A. That's correct

1 Q. Bass didn't produce the data, did they?

2 A. No.

3 Q. They moved to quash the subpoena; isn't that
4 correct?

5 A. That's correct.

6 Q. And because of that, you have not had the data
7 available to you that you might have had in making this
8 study; isn't that right?

9 A. That's correct.

10 Q. If you'd had additional data, you could have made
11 a better study, could you not?

12 A. Always.

13 Q. With the data available to you, you can see,
14 however, that there's been a consistent confusion of net
15 and gross thickness in the sand?

16 A. Yes, that's apparent.

17 Q. Do you have sufficient data to you to be able to
18 conclude that there are substantial errors in the Bass
19 study?

20 A. Substantial errors, and maybe not as much errors
21 but misconclusions, inconsistencies.

22 MR. CARR: That's all I have.

23 EXAMINER STOGNER: Mr. Carr.

24 Any further questions of this witness?

25 MR. CARR: No further questions.

1 EXAMINER STOGNER: He may be excused.

2 Do you have anything further, Mr. Carr?

3 MR. CARR: That concludes my presentation.

4 EXAMINER STOGNER: Okay. I'd like to ask each
5 one of you to submit a rough draft order.

6 MR. CARR: Yes, sir.

7 EXAMINER STOGNER: Are you going to put on any
8 additional testimony?

9 MR. ERNEST CARROLL: No, Mr. Stogner.

10 I'm sorry, my hearing aids are -- I don't know if
11 it's just the flight up, messed up my ears, but I'm having
12 a little trouble, as you may have noticed, and I don't know
13 what's going on with one of them.

14 MR. CARR: Mr. Stogner, if I could coordinate
15 with Mr. Carroll so we can file those statements as soon as
16 possible but when -- consistent with your schedule may be.
17 Mr. Carroll is going to trial again.

18 MR. ERNEST CARROLL: Excuse me?

19 MR. CARR: Mr. Carroll is going to trial again in
20 another two weeks, but we'll get them to you as quickly as
21 we can.

22 EXAMINER STOGNER: Okay. If you'll coordinate
23 with each other.

24 Anything further in these matters?

25 MR. CARR: Nothing further.

1 EXAMINER STOGNER: Then that -- I will take both
2 cases under advisement.

3 And let's take a 20-minute recess at this time.

4 (Thereupon, these proceedings were concluded at
5 11:00 a.m.)

6 * * *

CERTIFICATE OF REPORTER

[illegible]

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL April 8th, 1997.

Samuel R. Zinner

STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1998

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 11758 and 11713 heard by me on 3 April 1992.

[Signature], Examiner
Oil Conservation Division

STEVEN T. BRENNER, CCR
(505) 989-9317