

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)

CASE NO. 11,772

APPLICATION OF RICHARDSON OPERATING)
COMPANY FOR DOWNHOLE COMMINGLING AND)
AN UNORTHODOX COAL GAS WELL LOCATION,)
SAN JUAN COUNTY, NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

1

May 15th, 1997

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, May 15th, 1997, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

May 15th, 1997
 Examiner Hearing
 CASE NO. 11,772

| | PAGE |
|------------------------------------|------|
| APPEARANCES | 3 |
| APPLICANT'S WITNESSES: | |
| <u>PAUL C. THOMPSON</u> (Engineer) | |
| Direct Examination by Mr. Carr | 4 |
| Examination by Examiner Catanach | 16 |
| REPORTER'S CERTIFICATE | 26 |

* * *

E X H I B I T S

| Applicant's | Identified | Admitted |
|-------------|------------|----------|
| Exhibit 1 | 6 | 16 |
| Exhibit 2 | 7 | 16 |
| Exhibit 3 | 8 | 16 |
| Exhibit 4 | 8 | 16 |
| Exhibit 5 | 8 | 16 |
| Exhibit 6 | 9 | 16 |
| Exhibit 7 | 10 | 16 |
| Exhibit 8 | 10 | 16 |
| Exhibit 9 | 13 | 16 |

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 8:36 a.m.:

3 EXAMINER CATANACH: At this time we'll call Case
4 11,772.

5 MR. CARROLL: Application of Richardson Operating
6 Company for downhole commingling and an unorthodox coal gas
7 well location, San Juan County, New Mexico.

8 EXAMINER CATANACH: Appearances in this case?

9 MR. CARR: May it please the Examiner, my name is
10 William F. Carr with the Santa Fe law firm Campbell, Carr,
11 Berge and Sheridan. We represent Richardson Operating
12 Company in this matter, and I have one witness.

13 EXAMINER CATANACH: Any additional appearances?

14 Will the witness please stand to be sworn in?

15 (Thereupon, the witness was sworn.)

16 PAUL C. THOMPSON,
17 the witness herein, after having been first duly sworn upon
18 his oath, was examined and testified as follows:

19 EXAMINATION

20 BY MR. CARR:

21 Q. Would you state your name for the record, please?

22 A. My name is Paul C. Thompson.

23 Q. Mr. Thompson, where do you reside?

24 A. Farmington, New Mexico.

25 Q. By whom are you employed?

1 A. I'm the President of Thompson Engineering.

2 Q. And what is the relationship of Thompson
3 Engineering in this matter to Richardson Operating Company?

4 A. I've been hired as a consultant by Richardson to
5 present the merits of this case.

6 Q. Mr. Thompson, have you previously testified
7 before this Division?

8 A. Yes, I have.

9 Q. At the time of that testimony, were your
10 credentials as an expert in petroleum engineering accepted
11 and made a matter of record?

12 A. Yes, they have.

13 Q. Are you familiar with the Application filed in
14 this case on behalf of Richardson?

15 A. Yes.

16 Q. And are you familiar with the proposed Bushman
17 "6" Federal Well Number 1?

18 A. Yes, I am.

19 MR. CARR: Are the witness's qualifications
20 acceptable?

21 EXAMINER CATANACH: Yes, they are.

22 Q. (By Mr. Carr) Mr. Thompson, would you initially
23 summarize for the Examiner exactly what it is Richardson
24 Operating Company seeks with this Application?

25 A. Richardson Operating Company seeks two things

1 from this Application. The first one is the authority to
2 downhole commingle gas production from the conventional
3 Pictured Cliffs Fruitland Sand formation, the Twin Mounds
4 Pool, with gas production from the Basin Fruitland Gas
5 Pool.

6 Both -- The Pictured Cliff is 160-acre spacing,
7 and the Fruitland Coal is a 320. The Pictured Cliff is the
8 southeast quarter of Section 6, and the Fruitland Coal
9 would be the entire east half of Section 6.

10 They also seek approval for the off-pattern
11 Fruitland Coal location as the wells to be drilled in the
12 southeast quarter of this section.

13 Q. What is the proposed location for this well?

14 A. The well is proposed to be drilled at 1041 feet
15 from the south line, 1136 feet from the east line, which is
16 Unit P of the Section 6.

17 Q. Is the ownership common throughout the east half
18 of Section 6?

19 A. Yes, it is.

20 Q. Let's refer to what has been marked for
21 identification as Richardson Operating Company Exhibit
22 Number 1. Would you identify and review this for Mr.
23 Catanach?

24 A. Exhibit Number 1 shows the proposed location of
25 the Bushman Federal 6-1 in the southeast of the southeast

1 of Section 6.

2 It also shows the dedicated spacing unit.
3 Actually, it's only outlined on my copy for the east half,
4 which would be the Fruitland Coal. The southeast quarter
5 would be dedicated to the Pictured Cliffs.

6 It also shows the offset operators and offset
7 wells. The only two producing wells is the Dugan Mayre
8 Number 1, in the southeast of Section 31 to the north, and
9 then a Gallup well, Keystone Kirtland Number 10 well, to
10 the south of the proposed well.

11 Q. Let's go to Exhibit Number 2. Could you explain
12 to the Examiner what this shows?

13 A. Exhibit Number 2 is a land plat of the surface of
14 the northeast quarter of Section 6.

15 As you can see from that plat, those are -- is a
16 subdivision divided up into very small lots, primarily a
17 trailer park.

18 Richardson contacted the surface owners of the
19 northeast section, and they strongly opposed the drilling
20 of a well in their neighborhood.

21 Q. What is the second page of Exhibit Number 2?

22 A. The second page is the surface ownership plat of
23 the southeast quarter of the section, and it's got the
24 proposed location of the Bushman Federal well down in the
25 southeast quarter. You can see those are considerably

1 larger plots.

2 Q. The proposed location, in fact, is in a low spot
3 that would not be visible to the residents in the northeast
4 quarter of this section; is that not right?

5 A. That's correct. That puts it out of view and
6 also about the same distance from a school, a church and
7 the residences.

8 Q. Could you identify Richardson Exhibit Number 3?

9 A. Richardson Exhibit Number 3 is the surface damage
10 agreement that has been signed by all nine members now, of
11 the Bushman family.

12 Q. Is Exhibit Number 4 a copy of the Application for
13 downhole commingling that was filed in this case?

14 A. Yes, it is.

15 Q. And was this Application mailed to all owners who
16 are entitled to notice pursuant to OCD rules?

17 A. Yes, it was.

18 Q. Is the offset ownership the same for each of the
19 zone that we propose to downhole commingle?

20 A. It is where there are operators. As you can see
21 from Exhibit 1, there's a lot of space where there are no
22 existing wells.

23 Q. And can you identify for me what has been marked
24 as Richardson Exhibit Number 5?

25 A. Exhibit Number 5 is a list of the ownership in

1 the east half of Section 6. It lists the royalty as the
2 Bureau of Land Management, one overriding royalty owner and
3 one working interest owner.

4 Q. And then what is the next page?

5 A. On the next page are the offset operators and
6 mineral owners to the proposed east-half-section
7 dedication.

8 Q. And these are the parties to whom the Application
9 was provided?

10 A. Yes, that's correct.

11 Q. Is Exhibit Number 6 a copy of the return receipts
12 confirming, in fact, that the Application was provided to
13 these individuals by certified mail?

14 A. Yes, it is.

15 Q. Could you explain why this matter is being
16 brought before the Division for hearing, instead of being
17 submitted for administrative approval?

18 A. Richardson has an lease expiration date of May
19 31st of this year, and they wanted to be sure that they
20 received NMOCD approval prior to the drilling deadline.
21 Even though they anticipated no opposition to their
22 Application, they felt that it was safer to go ahead and
23 schedule the matter for hearing.

24 Q. And Mr. Kellahin advised them we had to come here
25 today and put the case on; isn't that right?

1 A. Yes, that's correct.

2 Q. And it also -- Because of the off-pattern
3 Fruitland Coal well, there was also the need to come to the
4 Division for approval for that part of this matter as well;
5 is that right?

6 A. That's correct.

7 Q. Could you review for the Examiner the proposed
8 completion for each of the zones in this well?

9 A. Yes. The well is planned to be drilled to a
10 depth of 140 feet below the top of the Pictured Cliff, a
11 total depth of approximately 600 feet. The well will then
12 be cased and cemented back to surface. Both the Pictured
13 Cliff and Fruitland Coal zones will then be stimulated
14 individually with nitrogen foam fracs.

15 After that, the upper zone, the Fruitland Coal,
16 will be flow-tested, and then the bridge plug removed and
17 both zones flow-tested together.

18 Q. I think at this time we ought to look at both
19 Exhibits 7 and 8 together. I would ask you to identify
20 what they are and then review the production summary for
21 Pictured Cliffs wells and also look at the production
22 forecast for this well.

23 A. Exhibits 7 and 8 are an attempt to show that
24 drilling the Pictured Cliff formation by itself would
25 result in a marginal well.

1 The first page of Exhibit 7 are the offsetting
2 Pictured Cliff completions and then a summary of the
3 cumulative production. All the wells have been either
4 plugged or shut in, with the exception of the Mayre Number
5 1.

6 You can see that the production is fairly diverse
7 across this area, from a low 38,000 MCF to a high of
8 114,000. That's over a period of 20 years.

9 So what I tried to do is take one of the better
10 wells, the Bi-Knobs Number 1, and develop a production
11 forecast, which is shown on the second page there, that
12 would result in a cumulative production of about 100,000
13 MCF over a period of 10 years.

14 From that deliverability forecast and the AFE
15 that's listed on the first page of Exhibit 8, I ran a cash-
16 flow forecast for a Pictured Cliff completion only, which
17 would be the second page of Exhibit 8. In that case, I
18 used the deliverability forecast, you know, from Exhibit 7,
19 \$1.75 gas price. I factored out from the AFE, which is
20 actually for the commingled well, the Fruitland Coal
21 completion cost.

22 As you can see from the lower right-hand corner
23 of that exhibit, that the well does not pay out. It
24 actually has a negative rate of return.

25 Assuming that the Fruitland Coal production would

1 be equal to a Pictured Cliff production, I ran another
2 cash-flow forecast where I essentially just doubled the
3 deliverability, added in the Fruitland completion cost to
4 the AFE, and that would be, then, the second cash-flow
5 forecast on Exhibit 8.

6 In that case, the resulting cash-flow forecast
7 shows that you have a payout of six years and a pre-tax
8 rate of return of 13.2 percent.

9 Q. What kind of bottomhole pressures do you
10 anticipate in each of the zones to be commingled?

11 A. Based on some of the reported data from the
12 offset wells, we anticipate bottomhole pressures for both
13 the Pictured Cliffs and Fruitland Coal to be 200 pounds.

14 Q. And so if the Application is granted with these
15 pressures, there would be no potential for crossflow
16 between the zones?

17 A. There should not be.

18 Q. Do you anticipate there would be any problem with
19 the compatibility of the fluids that are produced and
20 commingled in this wellbore?

21 A. No, we don't. We anticipate that both zones will
22 produce some amount of water and gas.

23 Q. And is there any potential that the way you're
24 proposing to downhole commingle these wells could, in fact,
25 result in any reservoir damage to either of the subject

1 formations?

2 A. No.

3 Q. Let's turn to what has been marked as Richardson
4 Exhibit Number 9, and just describe what this is, if you
5 would, Mr. Thompson, and recommend to the Division how you
6 believe an appropriate allocation formula should be
7 developed.

8 A. Okay, this Exhibit Number 9 was prepared in
9 anticipation for an administrative approval, you know, as
10 an attachment to the regular form. So a lot of the things
11 that are discussed in this have already been presented.

12 But primarily the problem in this area is that
13 there is very little PC production history that you can go
14 by, and there are no Fruitland Coal wells at all in the
15 area, nothing you can really base an accurate allocation
16 factor on.

17 So Richardson proposes to go ahead and
18 individually stimulate the well and then test the Fruitland
19 Coal individually, and then pull the bridge plug and test
20 both the zones together and back into a Pictured Cliff test
21 and then use the ratio of those actual well tests to
22 allocate the production.

23 I discussed this with Ernie Bush in Aztec. He
24 agreed that due to the lack of data in the area, that this
25 was a reasonable allocation method.

1 Q. So you're recommending that the actual allocation
2 formula be developed after the well has been completed in
3 consultation with the District Office of the OCD in Aztec?

4 A. Yes, we do.

5 Q. Will commingling of the zones result in a zone
6 being produced that otherwise economically be produced?

7 A. Yes. Obviously, the Pictured Cliffs formation by
8 itself wouldn't be produced. However, the small production
9 from the PC does help offset some of the risk involved in
10 drilling a wildcat Fruitland Coal well.

11 Q. Commingling therefore will prevent waste?

12 A. Yes.

13 Q. Will the approval of the Application otherwise be
14 in the best interest of conservation and the protection of
15 correlative rights?

16 A. Yes.

17 Q. Do surface requirements make it essential to
18 drill the well as proposed in the southeast quarter of
19 Section 6?

20 A. Yes.

21 Q. Could the well be directionally drilled from the
22 northeast quarter?

23 A. Due to the marginal nature of the well, we don't
24 feel that's economically viable.

25 Q. At this point in time, is there other Fruitland

1 Coal development in this area?

2 A. At this time, no.

3 Q. So the drilling of this well is not going to
4 disrupt any existing drainage pattern or development
5 pattern in the area?

6 A. That's correct, this would be the first well
7 within several miles.

8 Q. If, In fact, this off-pattern location is not
9 approved, will Richardson be able to develop this acreage?

10 A. No, they feel like the chances of drilling a well
11 in the northeast quarter are impossible. So if this well
12 is not approved in this location, the reserves in the east
13 half of the section will not be recovered.

14 Q. How soon did you say Richardson needed to
15 actually commence the drilling of the well?

16 A. They need to have the well spudded by May 31st,
17 1997.

18 Q. And they are, therefore, requesting that the
19 order be expedited?

20 A. Yes, please.

21 Q. Were Exhibits 1 through 9 either prepared by you,
22 or have you reviewed them and can you testify as to their
23 accuracy?

24 A. Yes, I prepared all the technical exhibits.
25 Richardson prepared the land exhibits, and I have reviewed

1 them.

2 MR. CARR: May it please the Examiner, at this
3 time we would move the admission into evidence of
4 Richardson Exhibits 1 through 9.

5 EXAMINER CATANACH: Exhibits 1 through 9 will be
6 admitted as evidence.

7 MR. CARR: That concludes my direct examination
8 of Mr. Thompson.

9 EXAMINATION

10 BY EXAMINER CATANACH:

11 Q. Mr. Thompson, you said that you had contacted --
12 or Richardson had contacted the surface owners within the
13 northeast quarter; is that correct?

14 A. Evidently. They started knocking on doors and
15 asking questions and got very strong opposition. It would
16 be really tough to find a place to put in there, the lots
17 are so small.

18 This is really a trailer park. You would
19 essentially have to move somebody off to find a place big
20 enough to put a pad.

21 Q. Are you talking about the whole entire northeast
22 quarter is composed of a trailer park? Is that your
23 understanding?

24 A. Yes. You can see from the plat, Exhibit 2, that
25 anything within the legal window there are very small lots.

1 Q. And this is within -- Is this within the city
2 limits of Kirtland; is that right?

3 A. I believe so.

4 Q. And the acreage that you propose to drill on in
5 this southeast quarter, you've gotten permission from the
6 surface owners for that?

7 A. Yes, just in the last day we got the last two
8 people signed up.

9 Q. And that -- In the southeast quarter there's no
10 trouble with residences or anything like that?

11 A. Where the well is located is kind of in a little
12 swale where it seems to be out of sight and far enough away
13 from all the other activity there, it didn't seem to be too
14 objectionable.

15 Q. Do you know if Richardson has obtained any
16 permits necessary from the City or anything?

17 A. No, as far as I know, they've only applied to the
18 BLM, and that permit should be approved in the next day or
19 two.

20 I'm not really sure whether it's in the city
21 limits or not. This is north of the highway, and whether
22 it's a -- you know, annexed by the City of Kirtland, I'm
23 not for sure on that.

24 Q. Mr. Carr asked you a question about directional
25 drilling, and you stated that the reserves were too

1 marginal for that?

2 A. Yeah, it would be very difficult, first of all,
3 to drill a well that's directionally drilled to a depth of
4 600 feet, you know, from that distance, for one thing. And
5 if you added an extra \$75,000 to \$100,000 drilling costs
6 there, even with the commingled production, neither one of
7 those would be viable.

8 Q. Have you done an analysis of the reserves that
9 might be recovered?

10 A. From the Fruitland Coal?

11 Q. It's really --

12 A. Well, the Pictured Cliff, we have just those few
13 offset wells. I haven't done anything on the Fruitland
14 Coal, due to lack of offsetting wells.

15 Q. Is there a reason why the Fruitland Coal hasn't
16 been developed in this area?

17 A. I think it's very close to the outcrop. Some of
18 the other operators think that the water production might
19 be too high.

20 Q. So I mean, there's still a chance that we could
21 get some Fruitland Coal development in this area?

22 A. Yes.

23 Q. How do you think that that off-pattern well is
24 going to have an effect, or do you think it's going to have
25 an effect?

1 A. I guess at this point it would be too early to
2 tell, but I don't see this as being in the fairway where
3 you're obviously going to be draining 320 acres
4 immediately, so I don't really see a problem.

5 Q. Which direction would the outcrop be in? To the
6 northwest?

7 A. It would actually be almost due west.

8 Q. Due west. Do you know how far that might be?

9 A. No, I'm sorry, I don't.

10 Q. And the well's only going to be 600 feet deep?

11 A. That's correct.

12 Q. Do you know if there's any fresh water in this
13 area?

14 A. I don't know. There are -- You know, we're well
15 above the river bottom where the well is located. There's
16 no arroyos or anything running through here, but there
17 could be some shallow groundwater.

18 Q. Have these -- There has been some other PC wells
19 drilled in this area, right?

20 A. Yes.

21 Q. Just offsetting this?

22 A. Yes, five or six of them. Five of them. There
23 was actually a PC well drilled in the southwest quarter of
24 Section 6 that was never produced.

25 Q. Is that the Number 1 that shows on the map?

1 A. Yes.

2 Q. It never produced?

3 A. According to the Richardson people, they said
4 that it was never actually stimulated; it was drilled,
5 logged and plugged.

6 Q. The proposed downhole commingling is the only
7 thing that's going to make this well economic; is that your
8 testimony?

9 A. Yes.

10 Q. Mr. Thompson, do you know, on Exhibit C of Number
11 5, the offset operators, or the offset interest owners, are
12 those -- do you know where those interest owners are, which
13 acreage they control?

14 A. No, not exactly. Dugan Production is the
15 operator of the well to the north.

16 Q. Uh-huh.

17 A. And they actually own the mineral interests,
18 then, to the northeast as well.

19 There are no wells producing in the section just
20 to the east of us, so I would assume that most of those
21 individual people are in that area.

22 But you have to list the -- you know, the mineral
23 owners if there's no operator.

24 Q. So you don't know exactly --

25 A. I don't have --

1 Q. -- where these interest owners are?

2 A. No, I don't have the individual lease map.

3 EXAMINER CATANACH: Mr. Carr, I think we probably
4 need to get some more information on that if you can.

5 MR. CARR: I'll provide a map that identifies by
6 tract who owns what.

7 EXAMINER CATANACH: Okay, just so we can make
8 sure that the --

9 MR. CARR: Yes.

10 EXAMINER CATANACH: -- correct people were
11 notified of this.

12 MR. CARR: Correct.

13 Q. (By Examiner Catanach) Mr. Thompson, is the
14 Fruitland Coal in this area an area where the coal exhibits
15 inclining producing rates?

16 A. This is a rank wildcat area. You could infer a
17 lot of things based on other coal wells in the San Juan
18 Basin, but actually there are no other wells anywhere near
19 here that you could use for analogy.

20 Q. How close do you think the nearest coal well is?

21 A. When I talked to Ernie, asked him, you know, if
22 he was aware of any coal wells, he said there was one
23 drilled, oh, four or five miles south of here, near to the
24 river, that was drilled, that tested and plugged. So I'd
25 say well over five miles.

1 Q. Do you know how long the Applicant would propose
2 to test the coal formation?

3 A. No, it's going to be, you know, kind of dependent
4 on how the well will perform, I guess.

5 If you could get a stabilized test over a 24-hour
6 period, I think they would assume that that's sufficient.
7 And if -- As long as the well is fluctuating, I think they
8 would continue to test it until they do get a stabilized
9 rate.

10 Q. If the coal does exhibit inclining producing
11 rates, how would you correctly allocate production from
12 this well?

13 A. The only way you could do that, I guess, is, you
14 know, a year or two in the future, if you notice that the
15 production is significantly better than it was when it
16 started, is that you'd have to go back in, pull the tubing
17 and pump out, isolate the zones and re-test.

18 Q. Does the Pictured Cliffs in this area exhibit
19 pretty standard decline rates?

20 A. Yeah, the -- for the most part. Actually, the
21 five wells that were drilled were drilled during the
22 Seventies, and so unfortunately, you know, their period of
23 production kind of went through the Eighties, you know,
24 when production was off, on, off, on, due to curtailments.
25 And so as you look at the rate-time curves, there's quite a

1 bit of variability there.

2 But from that Bi-Knobs well, which is up to the
3 northeast of this section -- it's the one I used for a type
4 curve -- it was fairly consistent, had a fairly stable
5 decline rate.

6 Q. Might it not be better to get a good test on the
7 PC initially, and then --

8 A. Well, the PC will be the lowest -- the lower
9 formation, so it will be very difficult to test it by
10 itself if you have perms open above it.

11 It would be better to back into that PC number,
12 maybe, initially by subtracting the Fruitland rate from the
13 total rate and using that as the initial Pictured Cliff
14 production, develop a decline curve from that rate.

15 Q. Whenever you get around to actually going into
16 the office and talking to Frank and Ernie about allocating,
17 I mean, you guys can talk about some of these other methods
18 and maybe propose something that would be --

19 A. Right, as the data becomes available it will be a
20 little easier to make an informed decision, I believe.

21 Q. Okay. You said something about -- I'm not sure I
22 caught it -- about the interest ownership between the
23 zones. Is it, indeed, common?

24 A. It is common, in both spacing units.

25 Q. Okay, and this is a fee lease?

1 A. It's a federal lease.

2 Q. It's a federal lease. The whole east half is a
3 single federal lease?

4 A. Yes, as well as part of the west half.

5 Q. Have you contacted BLM with regards to the
6 proposed commingling?

7 A. Yes, they're aware of it, and they hope to
8 approve our APD within the next day or two.

9 Q. When you go in and -- You're going to fracture-
10 stimulate both zones?

11 A. Individually.

12 Q. Is there any chance of communication when you go
13 in and frac?

14 A. I'm sure, yeah, there's a chance. We're going to
15 make every attempt not to, but there's not a lot of
16 barriers between the bottom of the Fruitland Coal Zone and
17 the top of the Pictured Cliff sands, probably only about 10
18 feet.

19 But hopefully by keeping the rate low enough, you
20 can keep the frac in the zones intended. But that's always
21 a risk.

22 EXAMINER CATANACH: I think that's all the
23 questions I have, Mr. Carr.

24 MR. CARR: That concludes our presentation in
25 this case.

1 EXAMINER CATANACH: Okay, and you'll submit the
2 map we talked about?

3 MR. CARR: Yes, sir.

4 EXAMINER CATANACH: All right. There being
5 nothing further, Case 11,772 will be taken under
6 advisement.

7 (Thereupon, these proceedings were concluded at
8 9:09 a.m.)

9 * * *

10
11
12
13
14
15
16
17 I do hereby certify that the foregoing is
18 a complete record of the proceedings in
the Examiner hearing of Case No. 11772,
heard by me on May 15 1997.
19 David R. Caton, Examiner
20 Oil Conservation Division
21
22
23
24
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL May 17th, 1997.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1998