

# STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: )

CASE NO. 11,782

APPLICATION OF ENRON OIL AND GAS COMPANY )  
FOR DOWNHOLE COMMINGLING, EDDY COUNTY, )  
NEW MEXICO )

ORIGINAL

## REPORTER'S TRANSCRIPT OF PROCEEDINGS

### EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

May 15th, 1997

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, May 15th, 1997, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

## I N D E X

May 15th, 1997  
 Examiner Hearing  
 CASE NO. 11,782

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>PATRICK J. TOWER</u> (Landman)	
Direct Examination by Mr. Owen	5
<u>RANDALL S. CATE</u> (Engineer/Geologist)	
Direct Examination by Mr. Owen	8
Examination by Examiner Catanach	16
REPORTER'S CERTIFICATE	19

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	5	7
Exhibit 2	6	7
Exhibit 3	7	7
Exhibit 4	10	16

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Legal Counsel to the Division  
2040 South Pacheco  
Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN P.A.  
Suite 1 - 110 N. Guadalupe  
P.O. Box 2208  
Santa Fe, New Mexico 87504-2208  
By: PAUL R. OWEN

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2   11:18 a.m.:

3  
4  
5  
6  
7           EXAMINER CATANACH: At this time we'll call Case  
8   11,748, which is the Application of Enron Oil and Gas  
9   Company for downhole commingling, Eddy County, New Mexico.

10          Call for appearances.

11          MR. OWEN: Paul Owen with the Santa Fe law firm  
12   of Campbell, Carr, Berge and Sheridan for the Applicant,  
13   Enron Oil and Gas Company.

14          I have two witnesses.

15          EXAMINER CATANACH: Additional appearances?

16          Okay, there being none, again, the record will  
17   reflect in this case that the two witnesses have previously  
18   been qualified and sworn in. Let me remind them they're  
19   still under oath.

20          And you may proceed, Mr. Owen.

21          MR. OWEN: At long last, we've reached the first  
22   Enron case on the docket.

23          My first witness is Mr. Pat Tower, which, Mr.  
24   Examiner, you are correct, he was previously qualified and  
25   accepted.

1                                    PATRICK J. TOWER,  
2     the witness herein, having been previously duly sworn upon  
3     his oath, was examined and testified as follows:

4                                    DIRECT EXAMINATION

5     BY MR. OWEN:

6                Q.     Mr. Tower, would you please briefly state what  
7     Enron seeks with this Application, which I believe does  
8     have to do with the Chester and the Morrow?

9                A.     Yeah, actually coming back to the one I thought  
10    we were going to start with, what Enron seeks is authority  
11    to downhole commingle gas production from the Morrow  
12    formation in the Sand Tank-Morrow Gas Pool and the Chester  
13    formation in the Sand Tank-Chester Gas Pool in Enron's Sand  
14    Tank 7 Fed Com Number 1 well, which is located 990 feet  
15    from the north line and 990 feet from the west line of  
16    Section 7, Township 18 South, Range 30 East, in Eddy  
17    County, New Mexico.

18              Q.     Is that a standard location, Mr. Tower?

19              A.     No, it is unorthodox.

20                      We -- Enron previously had received approval for  
21    this unorthodox location in April of 1996, under  
22    Administrative Order NSL-3644.

23              Q.     All right, Mr. Tower, let's go to Enron Exhibit  
24    Number 1, which again is an orientation plat. Will you  
25    review that exhibit for the Examiner?

1           A.    Yes.  Again, a Midland map, in yellow depicting  
2   the spacing unit allocated to the Sand Tank 7 well.  
3   Surrounding this in red outlines are existing proration  
4   units, with the operators listed in red.

5           Q.    Are the offset operators the same in each zone to  
6   be commingled?

7           A.    Yes, they are.

8           Q.    Have they all been notified of the Application?

9           A.    Yes, they have.

10          Q.    Is Enron Exhibit Number 2 an affidavit concerning  
11   the notice of this Application that has been sent by  
12   certified mail in accordance with the requirements of OCD  
13   rules?

14          A.    Yes.

15          Q.    Is this well located on federal land?

16          A.    Yes, it is.

17          Q.    Have you discussed this Application with the  
18   Bureau of Land Management?

19          A.    Yes, we have, and they have indicated that,  
20   again, similar to a previous case we had today, that they  
21   had no problem with it, once the State -- subject to the  
22   like approval of the State.

23                And we will be filing sundry notices on this  
24   thing.  We have not filed it at this point.

25          Q.    How many offset operators are there, to be

1 affected?

2 A. In effect, two: Enron and Yates Petroleum.

3 Q. Is Exhibit Number 3 a waiver letter from Yates?

4 A. Yes, Exhibit Number 3 is a waiver letter from  
5 Yates. They are also partners in this particular well with  
6 us and also the offset operator. The waiver letter  
7 indicates that they have no objection as an offset operator  
8 to this operation.

9 Q. Mr. Tower, were Enron Exhibits 1 through 3  
10 prepared by you or compiled under your direction or  
11 supervision?

12 A. Yes, they were.

13 MR. OWEN: Mr. Examiner, I move the admission of  
14 Enron's Exhibits Number 1 through 3.

15 EXAMINER CATANACH: Exhibits 1 through 3 will be  
16 admitted as evidence.

17 MR. OWEN: I have no further questions of this  
18 witness.

19 EXAMINER CATANACH: I have no questions of this  
20 witness.

21 He may be excused.

22 MR. OWEN: Mr. Examiner, my second witness is  
23 again Mr. Randy Cate, who has also been previously  
24 recognized and his qualifications have been accepted in  
25 today's hearings.

1                                    RANDALL S. CATE,

2       the witness herein, having been previously duly sworn upon  
3       his oath, was examined and testified as follows:

4                                    DIRECT EXAMINATION

5       BY MR. OWEN:

6                Q.     Mr. Cate, are you familiar with the Application  
7       filed on behalf of Enron in this case?

8                A.     Yes, I am.

9                Q.     Are you familiar with the Sand Tank 7 Federal Com  
10      Well Number 1?

11              A.     Yes, I am.

12              Q.     What's the current status of this well?

13              A.     The current status is, it's a dual completion of  
14      the Morrow and the Chester, both in the Sand Tank Pools,  
15      not yet commingled. We're asking for downhole commingling  
16      authority because the Morrow is exhibiting loading  
17      characteristics, and the -- which is going to cause it to  
18      become a marginal zone.

19                      And the Chester is -- This one is the only  
20      producing Chester zone in the area currently, although  
21      there's some behind pipe in other wells. And we were going  
22      to ask that this be a reference case to facilitate  
23      administrative approvals in the future.

24              Q.     Is commingling necessary to permit a zone or  
25      zones to be produced that would not otherwise be



1 economically producible?

2 A. Yes, the Chester being the deeper zone,  
3 typically, in this area -- Again, this is the only well  
4 that we have found that is producing commercial quantities.  
5 But due to it being in the deeper zone, in order to not  
6 delay production of the Morrow, which is the primary zone  
7 in the area and the highest reserves, the only option is to  
8 dual complete or downhole commingling.

9 Once the dual completion is what we attempted,  
10 and now we're finding that the Morrow flowing up the  
11 annulus is exhibiting loading characteristics, which is  
12 reducing the flow rates of that zone.

13 Q. Now, Mr. Cate, why has this matter come to  
14 hearing, as opposed to simply being administratively  
15 approved?

16 A. Well, again, we want this to be set as a  
17 reference case for the area. There are two other wells.

18 Also, the rates, we believed the Division again  
19 would prefer to go with -- to hearing on this initial case  
20 because of the rates and the fact that this is the first in  
21 the area for a Morrow and a Chester.

22 Q. And you do seek to make this case a reference  
23 case?

24 A. Yes, we do.

25 Q. All right, Mr. Cate, let's go to Enron Exhibit

1 Number 4, which again is an OCD Form Number C-107-A.

2 A. Yes.

3 Q. Will you review the information contained in the  
4 form, and then we'll go through the attachments --

5 A. Yes --

6 Q. -- for the Examiner?

7 A. -- I'll do that.

8 Again, just going down it quickly, the Chester is  
9 the deeper pay that we had found. Both are gas, both are  
10 flowing. The pressures, current and original, that we have  
11 show that the current pressure of the higher-pressured zone  
12 is not above the original pressure of the lower-pressured  
13 zone. So there would be no problems there from a gradient  
14 point of view.

15 The oil gravities and gas contents -- or excuse  
16 me, the condensate gravities and the gas contents and  
17 compositions are almost identical. Both are producing.  
18 They could both be considered marginal very soon, based on  
19 the high declines. And based on just recent tests,  
20 approximately 450 MCF a day out of the Morrow zone and 750  
21 MCF a day out of the Chester zone.

22 Again, the allocation will -- Since we have not  
23 commingled these zones yet, we'll need to see some  
24 production, and then we can arrive at the proper allocation  
25 formula. We do have a substantial history on both zones,

1 so we should be able to give an accurate allocation.

2 Again, I do not believe that crossflow will  
3 occur, based on the bottomhole pressures. They're both  
4 very close, within 450 pounds on both zones of each other,  
5 and obviously in a producing state I doubt any crossflow  
6 will occur at all.

7 We've had the waters analyzed and there is no  
8 incompatibilities. There's an attachment proving that.  
9 And again, the value will not be decreased by commingling,  
10 based on the similar nature of the production and the fact  
11 it's going to the identical market.

12 And then I can go through the attachments.

13 Q. What is Attachment Number 1?

14 A. Okay, I did expand, again, on the 7(b), which is  
15 the marginal nature. Again, once we look at the decline  
16 curves, you'll see that very shortly this Morrow, which is  
17 the primary producing zone in the area, is exhibiting  
18 loading characteristics. The nodal analysis predicts that.

19 As a result of being able to commingle downhole  
20 and bring both zones up the tubing, I anticipate the Morrow  
21 production to increase to 300 to 500 MCF a day. And of  
22 course, that will result in not only an accelerated  
23 recovery but additional recoveries on a commingled string.

24 Also, again, under Section 9, we'll get -- review  
25 the recommended allocation formula with the District

1 Supervisor, once we do get a response on the production.

2 This well -- I do anticipate eventually we may  
3 want to request a gas lift similar to the previous case.  
4 Now, we don't make water here, but there are liquids,  
5 condensates, that are producing.

6 I don't anticipate that for quite some time. But  
7 again, we would review that with the District, or the  
8 Division if you prefer, before we install that. I don't  
9 anticipate it would really have any change on the  
10 allocations of the zones. But again, it will aid in  
11 recovering the most -- or the maximum amount of reserves  
12 from these wells.

13 And then at the bottom there, I do request that  
14 this be considered a reference case. There's a Yates well  
15 that Enron has an interest in, and Enron has two wells that  
16 we drilled down to the Chester attempted completions.  
17 They're in the 200-MCF-a-day range, and right now we came  
18 up into the Morrow. I would anticipate that we would like,  
19 at some point in the future, to commingle those when the  
20 Morrow production falls a little more and then having this  
21 reference case will aid that administratively.

22 Q. What is the second attachment to --

23 A. Yes, again, the attachment of the C-102, showing  
24 that this is a standup west-half 320 proration unit for  
25 both zones.

1           The decline curves are the next attachments. The  
2 Chester is the first one here. It has been flowing up the  
3 tubing. It is a carbonate that's been flowing up the  
4 tubing and it's fairly stable, although the decline just in  
5 the last two to three months has turned. Nodal analysis  
6 tells you that under -- I think 1200 to 1500 MCF a day,  
7 even up the tubing, that you are in a loading regime. And  
8 so the steeper decline that we're seeing in the last couple  
9 of months, there's a good chance that that is due to some  
10 loading characteristics.

11           The next curve is the production decline on the  
12 Morrow, which is producing up the annulus, that annulus  
13 area is three to four times the annulus of the 2 7/8  
14 tubing, and therefore has a lot -- requires a lot higher  
15 rates to produce the velocity to efficiently lift its  
16 liquids.

17           Again, in the last, really, six months, this well  
18 has been on a much steeper decline than we anticipate for  
19 production in this area. And again, I believe that's due  
20 to loading, liquid loading, within the casing annulus.

21           The next attachment is the wellbore diagram.  
22 Again, it shows that we have a sliding sleeve in place.  
23 Our plan would be to simply open the sliding sleeve and  
24 shut in the casing and bring all the gas and associated  
25 produced condensates up the tubing, supplying enough

1 velocity to aid both streams in their production  
2 characteristics.

3 And finally, the compatibility comparison for the  
4 waters that are produced, showing that there are no  
5 incompatibilities that were found.

6 Q. Now, if the well is shut in for an extended  
7 period of time, can you prevent crossflow between the  
8 zones?

9 A. Yes, again, we can prevent crossflow by closing  
10 the sliding sleeve. I don't anticipate during normal  
11 operations that that will be necessary.

12 Q. What kind of fluids are being produced from each  
13 zone?

14 A. Condensates and gas of course, and then very  
15 little water. The -- On the very last attachment, the  
16 Morrow water in this case appears very fresh. It is  
17 probably just condensing out of the gas stream.

18 The Chester, being in carbonate, and it is --  
19 does show that that is probably a formation water that is  
20 producing, although it's very slight. It's only, I think,  
21 two to three barrels per day. And again, we don't see any  
22 incompatibilities on the fluid.

23 Q. Based on evidence in the area, do you think that  
24 either zone is a fluid-sensitive zone that might be damaged  
25 by water or other producing fluids?

1           A.    No, I don't. There's no evidence of that. We  
2   have acidized both zones, you know, with KCl-type waters.  
3   We haven't seen any evidence that damage would occur.

4           Q.    And again, will you present the OCD District  
5   Supervisor recommended allocation and production once you  
6   receive a stable flow, and will you periodically review  
7   that and adjust that allocation formula as necessary?

8           A.    Yes, I believe based on the decline curves that  
9   we're seeing here, and if the anticipated response of the  
10   commingled production stream is -- I believe, will increase  
11   the 300 to 500 MCF a day, possibly, and I believe that we  
12   can have a fixed allocation for substantial periods of time  
13   in the six-month, possibly a year, and then we would  
14   continue to review that with the District Supervisor as  
15   production characteristics change.

16          Q.    Have the same zones been approved for downhole  
17   commingling in other wells in this area?

18          A.    Not in this area that I know of.

19          Q.    Will commingling result in a zone or zones being  
20   produced which would not otherwise not be economically  
21   producible?

22          A.    Yes, it will allow us to recover more ultimate  
23   reserves out of both zones.

24          Q.    And will approval of this Application be in the  
25   best interest of conservation, the protection of

1 correlative rights and the prevention of waste?

2 A. Yes.

3 Q. Was Enron's Exhibit Number 4 prepared by you or  
4 compiled under your direction or supervision?

5 A. Yes, it was.

6 MR. OWEN: Mr. Examiner, I move for admission  
7 Enron Exhibit Number 4 and its attachments.

8 EXAMINER CATANACH: Exhibit Number 4 will be  
9 admitted as evidence.

10 MR. OWEN: I have no further questions for this  
11 witness at this time.

12 EXAMINATION

13 BY EXAMINER CATANACH:

14 Q. Mr. Cate, you've got some other wells in this  
15 area that might be candidates for this type of commingling?

16 A. Yes. Again, we've got two that I can think of  
17 right now that we have tested the Chester and left it below  
18 a bridge plug. Yates actually left theirs below a packer,  
19 so I know they're intending to -- and we have an interest  
20 in those wells. I think it's called the Cerros Locos.

21 But again, the rates there were only in the 200-  
22 to 300-MCF-a-day range. And of course, the Morrow being  
23 the primary target in the area and the biggest producer,  
24 we're either going to have to just leave the Chester till  
25 the end or, it being a marginal zone, it behooves us to get



1 the authority to commingle.

2 Q. Do you have any other wells that you plan to  
3 drill to these two formations?

4 A. We currently are taking every well that we  
5 drill -- For the Morrow, we go ahead and take it down to  
6 this Chester carbonates. It aids us in mapping, for one  
7 thing.

8 But primarily, based on -- As you can see, it  
9 looks like there's a potential for half a BCF out of this  
10 Chester zone, and those are good reserves. They're not  
11 going to -- You can't drill for those by itself, but it  
12 does make it worth taking your wells to the Chester.

13 Q. With as little fluid as the Morrow is producing,  
14 you still attribute the steeper decline to liquid loading?

15 A. Yes, I do. And I've got a loading table -- I'm  
16 not sure if it's in this file or the other one -- that I  
17 can provide you. Again, the annular space calculations are  
18 approximately four times that of coming up the tubing, and  
19 the velocities, again, are going to be four times.

20 I believe it's almost 2 million a day of gas  
21 required to provide the velocity that will not -- I mean,  
22 that will prevent loading within that large of the annulus  
23 space. So I'm certain that that's what the problem is.

24 EXAMINER CATANACH: I don't have anything else,  
25 Mr. Owen.

1 MR. OWEN: I have nothing further for this  
2 witness, and my presentation for this case is concluded.

3 EXAMINER CATANACH: Okay, there being nothing  
4 further in this case, Case 11,782 will be taken under  
5 advisement.

6 (Thereupon, these proceedings were concluded at  
7 11:38 a.m.)

8 \* \* \*

9  
10  
11  
12  
13  
14  
15  
16  
17 I do hereby certify that the foregoing is  
18 a complete record of the proceedings in  
the Examiner hearing of Case No. 11782,  
19 heard by me on May 10, 1987.  
20 David R. Catanch, Examiner  
Oil Conservation Division  
21  
22  
23  
24  
25

## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                                  )  ss.  
COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL May 20th, 1997.



STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 14, 1998