

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
 THE OIL CONSERVATION DIVISION FOR THE)
 PURPOSE OF CONSIDERING:)
)
 APPLICATION OF MARATHON OIL COMPANY FOR)
 THE EXPANSION OF THE SOUTH DAGGER DRAW-)
 UPPER PENNSYLVANIAN ASSOCIATED POOL AND)
 THE CONCOMITANT CONTRACTION OF THE)
 INDIAN BASIN-UPPER PENNSYLVANIAN GAS)
 POOL, APPROVAL OF THREE NON-STANDARD)
 320-ACRE GAS PRORATION UNITS, AND AN)
 UNORTHODOX GAS WELL LOCATION AND)
 APPORTIONMENT OF GAS ALLOWABLES, EDDY)
 COUNTY, NEW MEXICO)

CASE NO. 11,816

ORIGINAL

RECEIVED

AUG 17 1997

Oil Conservation Division

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

July 24th, 1997

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, July 24th, 1997, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

July 24th, 1997
 Examiner Hearing
 CASE NO. 11,816

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>DENISE M. COX</u> (Geologist)	
Direct Examination by Mr. Kellahin	11
Examination by Examiner Stogner	29
<u>HARRY DEMBICKI, JR.</u> (Geologist)	
Direct Examination by Mr. Kellahin	33
Examination by Examiner Stogner	40
<u>JOHN T. KLOOSTERMAN</u> (Engineer)	
Direct Examination by Mr. Kellahin	43
Examination by Examiner Stogner	58
<u>THOMAS C. LOWRY</u> (In-house counsel)	
Direct Examination by Mr. Kellahin	64
REPORTER'S CERTIFICATE	71

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	28
Exhibit 2	12	28
Exhibit 3	15	28
Exhibit 4	18	28
Exhibit 5	23	28
Exhibit 6	25	28
Exhibit 7	26	28
Exhibit 8	35	39
Exhibit 9	36	39
Exhibit 10	45	58
Exhibit 11	46	58
Exhibit 12	50	58
Exhibit 13	51	58
Exhibit 14	52	58
Exhibit 15	54	58
Exhibit 16	55	58
Exhibit 17	55	58

* * *

Additional submission by Marathon, submitted subsequent to hearing:

	Identified
Exhibit 18	65

* * *

A P P E A R A N C E S

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 10:20 a.m.:

3 EXAMINER STOGNER: Call this hearing to order,
4 and at this time I will call Case Number 11,816, which is
5 the Application of Marathon Oil Company for the expansion
6 of the South Dagger Draw-Upper Pennsylvanian Associated
7 Pool and the concomitant contraction of the Indian Basin-
8 Upper Pennsylvanian Gas Pool, approval of three nonstandard
9 320-acre gas proration units -- I assume that's in the
10 Indian Basin-Upper Pennsylvanian Gas Pool -- and an
11 unorthodox gas well location and apportionment of gas
12 allowables in Eddy County.

13 At this time I'll call for appearances.

14 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
15 the Santa Fe law firm of Kellahin and Kellahin, appearing
16 on behalf of the Applicant, and I have three witnesses to
17 be sworn.

18 EXAMINER STOGNER: Any other appearances in this
19 matter?

20 Will the three witnesses please stand to be
21 sworn?

22 (Thereupon, the witnesses were sworn.)

23 Mr. Kellahin, would you kind of give me a little
24 run down on what we're doing --

25 MR. KELLAHIN: Yes, sir.

1 EXAMINER STOGNER: -- before we commence?

2 MR. KELLAHIN: I'll be happy to.

3 If you'll look at Exhibit 1, it's a locator map
4 that may serve as a useful point of explanation. You can
5 see in the center of the display Sections 3, 10 and 15.
6 They're stacked vertically.

7 East of those three sections, in Sections 2, 11
8 and 14, you see oil wells, and those wells are in the South
9 Dagger Draw-Upper Penn Associated Pool.

10 The vertical blue line is the current western
11 boundary of South Dagger Draw, and the current eastern
12 boundary of Indian Basin-Upper Penn Gas Pool.

13 The technical witnesses are here to demonstrate
14 today that the oil production in the Canyon portion of
15 Dagger Draw that's being produced in Sections 2, 11 and 14
16 is oil production that is also available in the east half
17 of Sections 3, 10 and 15.

18 We're asking you to move the oil pool boundary,
19 if you will, half a section to the west. The purpose is to
20 allow the same pool rules to operate in the Canyon Oil
21 Production so that Marathon may compete for and produce
22 their share of the oil that is currently being produced by
23 the operators in Sections 2, 11 and 14.

24 In order to do that, a certain set of other
25 things may be dealt with. The fact that we have existing

1 640-acre gas GPU units for 3, 10 and 15 needs to be
2 adjusted. And so to change the pool boundary we also need
3 to approve three nonstandard gas proration units for the
4 Indian Basin Gas Pool.

5 In addition, when you move the boundary and you
6 see Section 3, that NIBU Gas Com Well 3 in Section 3
7 becomes unorthodox for the gas pool rules. Gas pool rules
8 are 1650, and all is said, and we've made an unorthodox
9 location. You -- We'll ask you to approve that.

10 In addition, you will see that if there ever are
11 to be future gas wells in the west half of the sections, we
12 have created a problem for ourselves in that virtually any
13 location for a future well is going to be unorthodox.

14 Because we haven't selected where future wells
15 may be drilled, we're going to leave that piece undone and
16 suggest to you that the approval of the nonstandard
17 proration unit can be done, and if future wells are added
18 we'll simply have to file for administrative nonstandard
19 locations. We recognize that as something that needs to be
20 accomplished later.

21 And once you move the boundary and divide the
22 spacing unit into a 320, then you've got to do something
23 about the allowables, because Indian Basin Gas Pool is
24 still prorated. And you'll find that for a full 640, the
25 current daily gas allowable is 6.5 million a day.

1 And so part of our presentation is an accounting
2 of how we're proposing to reallocate the production.
3 You're going to find that for Sections 10 and 15 that's
4 going to be easy, because those wells in 10 and 15 have
5 been marginal, if you will, and don't have now, in this
6 configuration or under the new configuration, the capacity
7 to produce even half the gas allowable.

8 We're going to direct your attention to Section
9 3, though, because the gas well in the west half has some
10 allocation issues for you to decide.

11 In addition, it has a request under the statewide
12 gas prorationing rules -- and I think it's 14 B; we've got
13 it here to look at it. But what we're asking you is to
14 credit some underproduction to that well, and we'll show
15 you how to balance the account so that that well's status
16 can be established in the gas pool if anyone ever bothers
17 to check how that gas pool prorationing is to function, if
18 at all.

19 What we end up with, though, is the opportunity
20 in the oil pool, in Section 15, where we can put a well 660
21 from the common line, because those are the Dagger Draw
22 rules. And without the change, a standard well in 15 has
23 got to be 1650 from the side boundary, and we can't compete
24 with Santa Fe.

25 We've notified all the offset operators of this

1 request. There is no opposition from any of the offsets.
2 We've notified all the interest owners in the spacing units
3 to be changed, and with the exception of an entry of
4 appearance for Mr. Kerr on behalf of that trust, I've been
5 contacted by no one.

6 When we talk about the allocation of production
7 in the three spacing units, we will have testimony, either
8 today or by affidavit, as to whether or not there is any
9 equity adjustment required among those interest owners. We
10 are making our best effort not to disrupt those equities.

11 The purpose today, though, is to present to you
12 the technical information on the adjustment. I have two
13 geologists and an engineer.

14 The first geologic expert is Denise Cox. She's
15 going to talk about the data that's been developed to show
16 you where our information tells us the oil pool boundary is
17 located for Dagger Draw and to justify for you her
18 recommendations for that change.

19 The second geologic witness is Mr. Dembicki. Mr.
20 Dembicki is also an expert in geochemistry, and he has some
21 visual illustrations of the difference in composition of
22 the condensates produced in this area so that you can be
23 satisfied that the adjustment of the boundary is truly an
24 appropriate adjustment.

25 In addition, our last witness is Mr. Kloosterman.

1 He's a reservoir engineer, and he'll provide you pressure
2 data to show you that Dagger Draw is separated from Indian
3 Basin. He will go through the calculations of the
4 allocations for you, and hopefully at the end you'll be
5 convinced, as we are convinced, that this adjustment is
6 necessary and appropriate.

7 EXAMINER STOGNER: Will one of these witnesses
8 appear to discuss the land issues or any discontinuity on
9 royalties from going from a 640-acre spacing to a
10 nonstandard 320?

11 MR. KELLAHIN: Mr. Tom Lowry, who is an attorney
12 with Marathon, resides in Midland, is here to make that
13 presentation. During the break he and I discovered an item
14 that we had not attended to. He's gone to the telephone to
15 check, to make sure our representations to you are going to
16 be accurate, and he is the witness to address that item.

17 EXAMINER STOGNER: I thought you said you had an
18 engineer and two geologists.

19 MR. KELLAHIN: Yes, sir, and Mr. Lowry is my land
20 expert. He's not listed on the prehearing statement. He's
21 not in the hearing room and cannot be sworn at this time.

22 EXAMINER STOGNER: Oh, okay.

23 MR. KELLAHIN: He's gone to check his homework.

24 EXAMINER STOGNER: All righty. So we may have
25 four witnesses?

1 MR. KELLAHIN: Yes, sir, and if Mr. Lowry and I
2 are not able to address the land issue, then we will deal
3 with that topic at that time and either ask you for a
4 continuance or an opportunity to submit that information by
5 affidavit.

6 We'd like to begin with the technical part.

7 EXAMINER STOGNER: Okay, let's do that.

8 MR. KELLAHIN: All right.

9 EXAMINER STOGNER: Thank you.

10 DENISE COX,

11 the witness herein, after having been first duly sworn upon
12 her oath, was examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. KELLAHIN:

15 Q. Ms. Cox, for the record, ma'am, would you please
16 state your name and occupation?

17 A. My name is Denise Cox. I'm an advanced geologist
18 for Marathon Oil Company in Midland, Texas.

19 Q. On prior occasions, Ms. Cox, have you testified
20 as the geologist before the Division?

21 A. Yes, I have.

22 Q. Pursuant to your employment as a geologist, have
23 you made a study of the geologic evidence available from
24 which to make conclusions about the appropriateness of
25 adjusting the boundary between Dagger Draw and the Indian

1 Basin Pools?

2 A. Yes, I have.

3 Q. And based upon that study, have you satisfied
4 yourself that there is sufficient reliable geologic
5 information upon which to reach such conclusions?

6 A. There is, indeed.

7 Q. And you have those conclusions for us?

8 A. And I have those conclusions right now.

9 MR. KELLAHIN: We tender Ms. Cox as an expert
10 geologist.

11 EXAMINER STOGNER: Ms. Cox is so qualified.

12 THE WITNESS: Thank you.

13 Q. (By Mr. Kellahin) Let's move past the locator
14 map. We've spent a few moments talking about that. Let's
15 go to the first illustration so that we can refresh the
16 Examiner's recollection about the reservoir environment, if
17 you will, that you're examining when you address the issue
18 about an appropriate boundary between what I called Indian
19 Basin and South Dagger Draw.

20 First of all, describe for us where we are, and
21 what are we looking at.

22 A. Exhibit 2 contains two parts that show the
23 stratigraphy or the reservoir compartments of the South
24 Dagger Draw field. These also apply to the Indian Basin
25 gas cap.

1 We look at South Dagger Draw/Indian Basin gas cap
2 as divided into three part: the Cisco, shaded in pink; the
3 Canyon 1, shaded in blue; and the Canyon 2 in the darker
4 blue.

5 The gray that you see between each of these are
6 shales, and these form barriers to flow between the
7 different horizons. So the Cisco is a separate and
8 distinct reservoir from the Canyon 1 and Canyon 2.

9 The Canyon 1 is what we have been developing in
10 the South Dagger Draw Pool. It produces predominantly oil
11 out of the South Dagger Draw Pool.

12 And the Canyon 2, as we have stepped further to
13 the west -- you can see this is a west-east cross-section
14 -- as you move further to the west, we actually begin
15 producing out of the Canyon 2 reservoir.

16 And that's why we're asking for the pool rule to
17 be moved over, is that we have additional reservoir that we
18 have not yet developed within the South Dagger Draw field.

19 If you look down at the bottom of the two
20 diagrams here, this is what South Dagger Draw looks like,
21 Indian Basin/South Dagger Draw looks like when placed on a
22 structural datum. You can see here that the Canyon beneath
23 minus 3850 is going to be the main oil producer, 3850 being
24 our working gas-oil contact.

25 The Canyon 2 does have reservoir there that has

1 not been developed until we drilled our NIBU 30 in Section
2 10 and realized that the Canyon 2 is going to be a
3 significant contributor to our South Dagger Draw Pool.

4 Q. When you look at Indian Basin Gas Pool, that
5 Upper Pennsylvanian gas production for Indian Basin is
6 being produced out of which one of these intervals?

7 A. When you say "Indian Basin", you refer to the
8 Indian Basin gas cap?

9 Q. Yes, ma'am.

10 A. The Indian Basin gas cap produces predominantly
11 from the Cisco, and that is a separate and distinct gas and
12 condensate reservoir than the oil reservoir in the Canyon.

13 Q. The significance of the minus 3850 datum point on
14 the structure map is what?

15 A. That is our working gas-oil contact for the
16 Canyon only. I show it extended here to the Cisco to make
17 a point, that the Cisco nowhere in the South Dagger Draw
18 produces oil. The Cisco is predominantly a gas and
19 condensate -- it is only gas and condensate producer in the
20 Indian Basin/South Dagger Draw fields.

21 Q. As you move above the minus 3850, in the Canyon 2
22 to the west, is that production oil or gas?

23 A. The Canyon 2 above minus 3850 is also gas and
24 condensate.

25 Q. Let's take a moment and relate the stratigraphy

1 to the structure map we're seeing for Exhibit 3. If you'll
2 turn your attention to that display, let me have you orient
3 us as to the basic information, and then we'll ask you
4 questions about this exhibit.

5 A. Mr. Examiner, it may help if you leave that
6 stratigraphy diagram out. I realize I'm very familiar with
7 it, and I'll be using these Canyon 1, Canyon 2 terms
8 freely, so hopefully I'll keep you oriented with this
9 conveniently colored diagram.

10 Exhibit Number 3 is a Canyon 1 structure map.
11 That's the lighter blue-colored stratigraphic unit. And
12 what you can see on the Canyon 1 structure map, in the
13 South Dagger Draw Pool as it is currently defined as shown
14 by the blue outline, I've colored in a light shade of green
15 everything that we know to be productive from the Canyon 1
16 reservoir. And you can see that that pretty much
17 encompasses almost every well in the South Dagger Draw
18 Pool.

19 We can contrast that with Exhibit Number 4, which
20 is the Canyon 2 reservoir. That would be the darker blue
21 on our stratigraphic chart. And you can see that that
22 boundary of productive reservoir extends past the South
23 Dagger Draw Pool rules, as they currently are defined, and
24 moves to the west, into the half-sections of 3, 10 and 15.
25 It is this Canyon 2 oil that we would like to continue to

1 develop if we can find a spacing and allowable rules which
2 will allow us to do that.

3 Q. All right. Let's go back to Exhibit 3 now, from
4 the structure map --

5 A. That would be the Canyon 1 structure map.

6 Q. Yes, we're on Canyon 1, and we're looking at the
7 shaded blue area. Canyon 1 is the oil production in Dagger
8 Draw that was historically developed in this area, in
9 Dagger Draw?

10 A. That's correct.

11 Q. The existing boundary between Dagger Draw and
12 Indian Basin appears to have some reasonable justification
13 when you're looking only at the Canyon 1 oil?

14 A. That's correct.

15 Q. Historically, then, that's how this was divided?

16 A. That's my understanding.

17 Q. When we go to Canyon 2, which is the oil below
18 the Canyon 1, you've changed the shading. The same light
19 green or light blue shading has been expanded, and you have
20 placed a green stippled rim around that shading?

21 A. That's right. What I've tried to distinguish
22 here, Mr. Examiner, is an area that should be -- that is
23 known proven oil production shaded in a solid green color,
24 and what I have stippled in the light green is the
25 undeveloped Canyon 2 oil. This is placed at the minus 3850

1 structural boundary of the Canyon 2, and it's set up by our
2 NIBU 30, which we had drilled last year and a well that we
3 have drilled this past year, our NIBU 32. That is -- NIBU
4 32 being in Section 15.

5 Q. Let's look at the relationship of Section 11 and
6 the opportunity for Canyon 2 oil that is represented in
7 Section 10 -- No, I want to go farther down. I want to
8 compare 14 to 15.

9 A. Okay.

10 Q. In comparing 14 to 15.

11 A. I'm there.

12 Q. Are you with me?

13 A. I'm there.

14 Q. All right. In Section 14 the operator is Santa
15 Fe?

16 A. That's correct.

17 Q. And they have Canyon 2 oil wells in 14?

18 A. They have Canyon 1 and Canyon 2 in Section 14,
19 yes.

20 Q. Okay. Is there an opportunity for Canyon 1 and
21 Canyon 2 oil production in the east half of 15?

22 A. There's an opportunity for predominantly Canyon 2
23 oil production in Section 15.

24 Q. Does that Canyon 2 oil opportunity also exist in
25 Sections 10 and 3?

1 A. Yes, it does.

2 Q. How have you determined -- Let me ask you:
3 Farther upstructure, there is a transition between the oil
4 and the gas intervals. There's a gas -- a general change
5 from oil to gas?

6 A. There is -- Yes, I believe what you're asking is,
7 if we perforated above minus 3850 we would make a gas well;
8 that is correct --

9 Q. Okay. Let's look --

10 A. -- in the second Canyon.

11 Q. In the -- In Canyon 2?

12 A. In Canyon 2, yes.

13 Q. In Canyon 2, you're going to have oil production
14 at minus 3850 or deeper?

15 A. That's correct.

16 Q. If you're above 3850, it's going to be gas
17 production in the Canyon 2?

18 A. That's correct.

19 Q. Except the Canyon 2 gas production is isolated
20 and separated from any of the Cisco gas production?

21 A. Absolutely.

22 Q. These containers shown on Exhibit 2 are isolated
23 and separate reservoirs, unique unto themselves?

24 A. That's correct.

25 Q. All right. On Exhibit 4, then, as you compete

1 for the Canyon 2 oil, do you have a recommendation as to
2 whether the Canyon 2 oil competition ought to take place
3 under the same set of pool rules?

4 A. Yes, any wells that are going to produce oil out
5 of Section 15 should be subject to the same rules, to
6 fairly compete for the oil with Santa Fe in Section 14.

7 Q. What do the rules in 14 provide an opportunity
8 for Santa Fe to do?

9 A. They can produce at a GOR of 19.8 per 650, and we
10 can only produce at a -- I mean not a GOR, a total gas
11 allowable -- help me out here -- of 6.5 million in Section
12 15.

13 In order to produce the gas in -- Excuse me, in
14 order to produce the oil in South Dagger Draw, you produce
15 at very high gas rates. And so if we want to get the oil,
16 we have to move the gas. If we want to do it economically,
17 we have to have the same rules in 15 to fairly compete with
18 14.

19 Q. All right. In Dagger Draw you've got 320
20 spacing?

21 A. Yep.

22 Q. You can have multiple wells in the 320?

23 A. That's correct.

24 Q. They're not limited to simply being gas or oil
25 wells; you can have any combination?

1 A. That's correct.

2 Q. You can locate a well anywhere within a setback
3 of 660 around that entire side or end boundary, right?

4 A. Yep.

5 Q. And you get an oil allowable for that unit of
6 1400 barrels a day, right?

7 A. That's right.

8 Q. Your GOR is 7000 to 1, and the spacing unit gas
9 allowable is going to be 9.8 million a day?

10 A. Right.

11 Q. Give or take? All right.

12 A. That's what I meant to say.

13 Q. If you're over in the gas pool for Indian Basin,
14 you're on 640 spacing, right?

15 A. That's correct.

16 Q. Your well setbacks are 1650, and your maximum gas
17 allowable is 6.5 million a day for a 640 GPU.

18 How do you propose to change the rules so that
19 the Canyon oil production that is available in 3, 10 and 15
20 is under the same set of rules as the oil wells in the
21 Canyon in Sections 2, 11 and 14?

22 A. We're proposing splitting 3, 10 and 15 into two
23 standup 320s. The western half would stay under the Indian
24 Basin gas cap rules at 6.5 million allowable, and -- I'm
25 sorry, be cut in half, since you've gone to a 320 spacing,

1 320 acres, you'd be down to half the 6.5 million.

2 And the same thing on the east side, you'd go to
3 320 acres, and again you'd be at half the allowable of the
4 640.

5 Q. All right.

6 A. Did I state that clearly?

7 Q. I think so.

8 Let's look at Exhibit 4 and talk about the
9 geologic data that you have developed that gives you
10 confidence that minus 3850 is the correct elevation upon
11 which to contour the oil-gas contact in Canyon 2. Starting
12 up in Section 3 with the well in the northeast quarter of
13 3, that Comanche 1 well, describe for us what results you
14 achieved with that well and where it is in positioning the
15 Canyon 2.

16 A. The Comanche 3 Number 1 was completed in the
17 Second Canyon. It made oil on the initial test, the first
18 day of testing, and then went to 100-percent gas in future
19 tests after that.

20 This well was completed in the second Canyon and
21 was not a sustained oil producer. Therefore we felt the
22 3850 contact defined that boundary, that portion of Section
23 3.

24 We can go down to the NIBU Number 3, to the south
25 of that. That well also is completed right to the minus-

1 3800 boundary, and it also has made 100 percent gas.

2 Q. These wells are named similar. Let's make sure
3 we're staying straight. In the southwest quarter of 3 --

4 A. Yes.

5 Q. -- the NIBU 3 that you're talking about, it
6 encountered the Canyon 2 where?

7 A. The NIBU 3 was initially -- It's a very old well;
8 it was initially completed in the Cisco. We have
9 recompleted it in the second Canyon, and it makes gas above
10 minus 3800.

11 Q. All right. As you move down your structural
12 control line, give us some other data points that give you
13 confidence that the 3850, minus 3850, is the gas-oil
14 contact in Canyon 2.

15 A. The NIBU 30 in the northeast quarter of Section
16 10 is completed in the second Canyon below minus 3850 and
17 is an oil producer.

18 Q. It's going to be one of the wells we show on the
19 cross-section?

20 A. That's correct, we will get to the cross-section,
21 and that might be the easiest way to look at the oil and
22 gas production in reference to the minus 3850 interpreted
23 contact.

24 Q. Okay.

25 A. And then the last well that we've just recently

1 drilled in Section 15, the northwest quarter, you can't see
2 it very well, it's the NIBU Number 32, and that well was
3 completed as deep as we could go in the reservoir. So we
4 went to the very bottom of the upper Penn reservoir to see
5 if we could make oil out of it, and we put it on production
6 and it has only made gas, and that is right at the minus-
7 3800 boundary.

8 Q. The objective, then, in changing the boundary of
9 South Dagger Draw is so that the east half of these
10 sections are applying the same rules for Canyon 2 oil
11 production that is available to the other Canyon oil wells
12 east of these half-sections?

13 A. That's correct.

14 Q. Let's turn to the cross-section now, to
15 illustrate this relationship. If you'll take a moment and
16 unfold Exhibit Number 5, let's talk about this.

17 Either Exhibit 3 or 4 could be used -- Let's use
18 4 as our locator.

19 Let's start with X and go to X'. If you'll start
20 on the west, walk us through the cross-section.

21 A. Yes, this is a structural cross-section hung at
22 minus 3850, and it is a west-to-east cross-section going
23 from the limits of the reservoir, NIBU 34 being a well
24 that's 100-percent limestone, not having any reservoir
25 facies present, continuing through NIBU 3, which has been a

1 long-standing Indian Basin gas-cap-classified well -- it
2 was one of the initial wells drilled in the field -- and
3 extending all the way down to the eastern extent of South
4 Dagger Draw field, the Bone Flats 6.

5 What I'd like to do is walk through and look at
6 the completions so you can see how these different
7 stratigraphic units -- the Cisco, the Canyon 1 and the
8 Canyon 2 -- relate to gas and oil production in the
9 reservoir.

10 If you look at the NIBU Number 3, that has
11 historically been a Cisco and Canyon 1 production. The
12 only current producing perfs right now are Cisco, and they
13 are gas production. The Canyon 1 production was gas and
14 condensate and has been squeezed off. And most recently we
15 added Canyon 2 perforations, and we've gotten -- getting
16 gas and condensate out of that well. That is one of the
17 key wells we've used to define this minus 3850 horizon.

18 We move to the next well to the east, the NIBU
19 30, you can see we've tested the second Canyon. And this
20 well initially came on at 389 barrels of oil a day. This
21 is between the NIBU 3 and the NIBU 30, we've chosen the
22 minus-3850 contour.

23 And you can see I've highlighted in blue above
24 the NIBU 30, we have proposed to move the pool-rule
25 boundaries to the west between NIBU 3 and NIBU 30, and the

1 current boundaries are actually between NIBU 30 and NIBU 7.

2 And just to summarize the rest of the cross-
3 section to the east, NIBU 7, NIBU 19, Bone Flat 6, all of
4 the Canyon 1 and Canyon 2 production is oil, and it's the
5 same oil that, we'll hear testimony later, that has
6 produced out of NIBU 30.

7 Q. Okay. Let me direct your attention to Exhibit 6,
8 which is a log portion of a well that's not shown on the
9 cross-section but was one of your control points for
10 determining the gas-oil contact in Canyon 2. I believe
11 it's down in Section 15 that you referred to.

12 A. That's correct, NIBU 32 is in the northwest
13 quarter of Section 15. It's a well we've drilled this
14 year. We went down to the deepest portions of the well in
15 the Canyon 2, we opened up the entire Canyon 2 interval,
16 and we've produced no oil from the NIBU 32.

17 You can see it marked on the log, the red line,
18 minus 3850, and if you look in the depth portion of the log
19 you can see the marking, a minus 3800, you can get a feel
20 that we're only making gas above minus 3850.

21 Q. This well is in the northwest of 15?

22 A. That's correct.

23 Q. And the west half of 15 stays subject to the gas
24 rules?

25 A. That's correct.

1 Q. All right. Let's focus on the gas cap now and
2 have you direct your attention to Exhibit 7, and let's talk
3 about the Indian Basin-Cisco gas cap.

4 A. Right.

5 Q. If you'll look at 7, identify and describe what
6 we're seeing, and then let me ask you some questions.

7 A. This is a structure map on the top of the Cisco
8 carbonate. On our stratigraphic chart in Exhibit 2, that
9 was the reservoir that's shaded in pink.

10 What's shown on the map in Exhibit 7, shaded in
11 the dark pink color is Cisco water-free gas production.
12 This is what most of the operators that are present in the
13 Indian Basin gas cap call the Indian Basin gas cap, is
14 Cisco reservoir, and it produces water-free.

15 The area that is with the striped shading also
16 produces from the Cisco, but it produces with water. This
17 is what we'd call co-production area of the Cisco. And you
18 can see if you look at the boundary, where that water-free
19 gas production is. It is to the west of the area we're
20 proposing to go to the pool rules.

21 I might say that, no matter how hard I try to
22 keep my maps up to date, I'm always a step behind, and that
23 water-free gas production is actually further west than is
24 shown here. We are currently making water out of the Cisco
25 in both NIBU 3 and NIBU 1, NIBU 3 being in Section 3, NIBU

1 1 being in Section 10.

2 Q. One of the decisions for Examiner Stogner is the
3 contraction of Indian Basin, to delete the east half of
4 each of these sections. At this point in withdrawals from
5 the Cisco, the Cisco water-free gas production has now
6 moved west of where we propose to move the boundary?

7 A. That's correct.

8 Q. Can you conclude, then, that it's appropriate to
9 delete the east half of each of these sections from Indian
10 Basin gas cap rules?

11 A. It would be very appropriate.

12 Q. Is there any opportunity in the east half of
13 these sections to drill a water-free Cisco stand-alone
14 Cisco well?

15 A. To my knowledge, that would not be possible.

16 Q. So if wells are drilled in the east half of these
17 sections, they're targeting the Canyon hydrocarbons?

18 A. Absolutely.

19 Q. Summarize for us, Ms. Cox, what you see to be the
20 opportunity that you cannot now attain under the current
21 rules and what you're trying to accomplish with this
22 change.

23 A. If we go back to Exhibit 4 -- it's easiest for me
24 to talk off the map -- right now, the pool rules that exist
25 under the Indian Basin gas cap in Sections 3, 10 and 15

1 mean that I should place my well in an orthodox location,
2 1650-1650 from the lease lines.

3 In almost every -- In every case here, by doing
4 that, I will be outside my boundary of oil production. So
5 if I go with an unorthodox location I'm most likely to make
6 a gas well. So therefore, I will not produce the reserves
7 in the Canyon 2 and effectively compete with Santa Fe and
8 basically will not be developing reserves.

9 The other problem is, if we get an unorthodox
10 location and put it in the 660-660 from the corner, to be
11 within the South Dagger Draw, the oil -- excuse me, to be
12 within the Canyon 2 oil zone, we'll have to take a penalty
13 on the gas. As we stated earlier, to make the oil in South
14 Dagger Draw, you've got to move the gas.

15 So to effectively compete with people that have
16 -- across the boundary that are making gas and oil at a
17 higher rate, we will have to have the same rules. If we're
18 penalized, we're not going to have fair and equal treatment
19 across the -- in the same pool.

20 MR. KELLAHIN: Mr. Examiner, that concludes my
21 examination of Ms. Cox.

22 We move the introduction of her Exhibits 1
23 through 7.

24 EXAMINER STOGNER: Exhibits 1 through 7 will be
25 admitted into evidence at this time.

EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY EXAMINER STOGNER:

Q. Ms. Cox, in referring to Exhibit Number 7, you had mentioned that you try your best to keep this updated but the water keeps moving. What -- Do you have any idea where the initial gas-water contact was back when the Indian Basin-Upper Pennsylvanian Gas Pools --

A. Yes, the --

Q. -- first developed?

A. Excuse me. The historic gas-water contact for Indian Basin has always been considered to be minus 3770.

Q. Which would have taken it up there to what? Sections 2, 11 and 14?

A. That's correct.

Q. Roughly around there?

A. Roughly.

Q. Now, you also show a fault about that area too, don't you?

A. Yes, I do.

Q. Is there a correlation?

A. The fault that is present in the South Dagger Draw field does cut the Cisco, and I don't believe it has an effect on the contact, because we do know down to the south of the field, where there is no fault, that minus 3770 is actually where that gas-water contact was more

1 accurately defined, the true gas-cap area.

2 You can see where the height of the structure is
3 down there to the south. That would be more in Sections 4,
4 5 of 22-23.

5 Q. Now, what's the Cisco like on the east side of
6 that fault? Is that all watered out?

7 A. In the South Dagger Draw field it is the same
8 thing. You have Cisco gas with water production.

9 And that's very well established by our MOC Fed 1
10 in Section 1, in the northeast quarter. We perforated that
11 Cisco well down below minus 3850 and produced only gas and
12 water from that well.

13 Q. Referring to Exhibit Number 1 -- and that's just
14 for reference only -- the Well Number 30 in Section 10 --

15 A. Yes, sir.

16 Q. -- how long has that well been producing?

17 A. One moment. That well is also on cross-section
18 -- on Exhibit 5, the cross-section. That well was put on
19 production in 10-96, so it's about a year and a half now.
20 I'm sorry, half a year.

21 Q. Okay. Now, the Cisco was not perforated in this
22 well, but can you tell what the water contact is or
23 anything, just by the logs itself?

24 A. One of the reasons the Cisco is not perforated in
25 this well, if you look up, the top line would be the top of

1 the Cisco, the second line is the Canyon 1, and you can see
2 the majority of the Cisco is actually limestone. You can
3 see that by the overlap of the density and neutron curves.
4 And at this point we couldn't tell where a water contact
5 would be for the Cisco.

6 I might add that log analysis in a vuggy,
7 carbonate reservoir, especially this reservoir, is very
8 misleading. We would love to have the secret code to
9 interpreting water saturations in Dagger Draw, but I don't
10 think any of the operators out there have figured it out.

11 And it is a problem we are all faced with,
12 especially the Dagger Draw Complex Operators Committee,
13 facing the same problems: How do you determine water
14 saturations, and where is the water zone?

15 Q. Now, you move over there on your cross-section,
16 back toward the east, to the NIBU Number 19. Now, that one
17 you have some perforations in the Cisco; is that correct?

18 A. That's correct.

19 Q. And what's perforations there making? Is that
20 water or oil, gas?

21 A. Yes, the red shading would indicate that it is
22 making gas. If we look down at the detail underneath the
23 NIBU 19, at the very bottom of the log, you can see the
24 first two completions were in the Canyon 1. That's shaded
25 green for oil. And they were making less than -- well, the

1 very -- Excuse me, the very first set of perfs were very
2 low in the reservoir, and they made all water. The second
3 set of perfs, shaded green, were making about -- were
4 making 70 -- 69 barrels of water.

5 We came up and added the Cisco, we increased gas
6 rate and we also increased water to 373 barrels of water.
7 So NIBU 19 is making gas and water out of the Cisco and is
8 also making water out of the Canyon 1.

9 Q. When I refer to Exhibit Number 2, you show -- The
10 pink interval, as far as the Cisco goes --

11 A. Uh-huh.

12 Q. -- looks relatively the same -- I hope I'm
13 putting this right -- the same thickness throughout, from
14 the west to the east, at least the pink portion that you're
15 showing. Is that somewhat interpretive as far as the --
16 whenever that structure was laid down during the early --
17 or whenever it was first formed?

18 A. That's very perceptive. What I didn't go into
19 was the detail of our geologic model. Indian Basin is a
20 carbonate margin. It's a series of prograding margins.

21 So what you can envision is, when you're in the
22 shallow shelf environment, the reservoir is very flat, like
23 the Cisco is drawn. As you move toward the margin it
24 thickens, as you would envision a reef thickening as you go
25 to the margin. You can see the Canyon 1 shows that

1 beautifully. And then as you go to the basin it thins
2 again. So your best portion of the reservoir is at the
3 margin. What this shows here is that the Cisco margin is
4 never reached in the South Dagger Draw field for Marathon's
5 acreage. So we're still in a flat -- more flat-shelf
6 environment there.

7 Q. So Exhibit Number 2 pretty muchly exhibits what
8 is happening in Section 3, 10 and 11?

9 A. That's correct.

10 EXAMINER STOGNER: Okay. And the transition
11 zone, there again, the request that they have essentially a
12 buffer zone between the two pools that have come together.

13 Okay, I have no other questions of this witness.

14 Thank you, Ms. Cox.

15 THE WITNESS: Thank you.

16 EXAMINER STOGNER: You may be excused.

17 MR. KELLAHIN: Mr. Examiner, this next witness is
18 sponsoring Exhibits 8 and 9. Mr. Harry Dembicki is a
19 geologist with Marathon Oil Company.

20 HARRY DEMBICKI, JR.,

21 the witness herein, after having been first duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. KELLAHIN:

25 Q. For the record, sir, would you please state your

1 name and occupation?

2 A. Harry Dembicki, Jr., advanced senior geologist
3 with Marathon Oil Company in Littleton, Colorado.

4 Q. Have you on prior occasions testified before the
5 Division, Mr. Dembicki?

6 A. No, I haven't.

7 Q. Summarize for us your education.

8 A. I have a PhD in geology with emphasis in organic
9 geochemistry from Indiana University. I received that in
10 1977.

11 Q. With regards to this particular project, what has
12 been your involvement and what are you here to describe?

13 A. I have been requested by our Midland office to
14 analyze a series of liquid hydrocarbons from the Indian
15 Basin field area in South Dagger Draw to determine
16 composition of these liquid hydrocarbons and see how they
17 interrelate, what the composition will tell us in terms of
18 whether or not they are related or whether or not they
19 represent different fluids.

20 Q. Is this the kind of activity that you perform on
21 a regular basis?

22 A. Yes, it is.

23 Q. Are the kinds of samples that you received taken
24 and prepared in a way that's acceptable for people with
25 your expertise to analyze?

1 A. Yes, they were.

2 Q. And were you able to reach certain conclusions
3 with regards to these samples?

4 A. Yes, I was.

5 MR. KELLAHIN: We tender Mr. Dembicki as an
6 expert geologist with special expertise in geochemical
7 analysis.

8 EXAMINER STOGNER: So qualified.

9 Q. (By Mr. Kellahin) Let me have you take Exhibit
10 8, which is a spreadsheet showing various data and which
11 has superimposed in the right margin some photographs. Let
12 me have you help us orient the photographs to the data
13 shown on the spreadsheet, and then let me ask you some
14 questions.

15 A. Okay. The spreadsheet lists seven liquid
16 hydrocarbon samples that we analyzed. They are grouped
17 according to geochemical families that we ascertained they
18 belong to based on the compositional data that we gathered
19 during their analysis.

20 The top group is the Indian Basin gas cap group.
21 It consists of the Indian Basin D Number 2 and the NIBU
22 Number 9.

23 Q. What characterizes those samples and the analysis
24 of those samples to this A1 geochemical family?

25 A. We went through six different geochemical

1 analyses and were able to distinguish these samples from
2 the others, based on these geochemical parameters.

3 We were also able to do a classification and
4 separate them based on physical characteristics. The
5 compositional characteristics that these oils or liquids
6 exhibit also allow us -- also are manifest in the physical
7 appearance of the liquids.

8 Q. Let's take a moment and look at Exhibit 9, which
9 is the locator map, and have you show us on the locator map
10 the wells from which these two A1 family samples were
11 taken.

12 A. The A1 family samples are designated by the red
13 squares.

14 Q. Those are wells within what we've characterized
15 the Indian Basin gas cap?

16 A. That's correct.

17 Q. Having identified a category of samples that
18 represents Indian Basin gas cap, are you able to analyze
19 hydrocarbons from other portions of these reservoir systems
20 and distinguish the Indian Basin gas cap samples from other
21 samples?

22 A. Yes, we can.

23 Q. Let's go to the next family. You've identified a
24 family identified as 1B. What does that represent?

25 A. 1B is another condensate. The photograph on

1 Exhibit 8 -- it is the second photograph from the top, the
2 single small bottle -- if we looked at the Indian Basin gas
3 cap condensates, they're clear, colorless, waterlike in
4 appearance. The 1B, which is the NIBU 32, is also clear,
5 but it's a dark yellow in color, and it did contain
6 suspended sulfides. They subsequently settled out, and
7 that's the dark black color at the bottom of the bottle in
8 the photograph.

9 Q. Ms. Cox has concluded geologically that there is
10 a physical barrier separating the Cisco gas cap from the
11 Canyon 2 gas and condensate. Do your samples and your
12 analysis verify her conclusions, or are they different?

13 A. Well, the two samples from the gas cap are
14 distinct from that NIBU 32, which is in this transition
15 zone.

16 Q. Let's look at the third family. It's -- Well,
17 come back to the 1B family.

18 A. Okay.

19 Q. Show us on locator map 9 where the 1B family
20 sample was taken.

21 A. 1B family, that's the gold-colored square.

22 Q. In Section 15?

23 A. In Section 15, yes.

24 Q. All right. Let's move up to Section 3 on Exhibit
25 9, and that represents the NIBU 3, and you have categorized

1 the sample from NIBU 3 as a 1C family type?

2 A. That's correct.

3 Q. Let's go back to Exhibit 8 and have you describe
4 for us how you distinguished 1C sample from the others
5 we've just described.

6 A. 1C, again, that's another condensate sample. It
7 had different geochemical characteristics, different
8 compositional characteristics, that would distinguish it
9 from the others and, in addition to that, its physical
10 appearance. It is a clear, but this time pale yellow,
11 condensate with no suspended particles, no precipitates.

12 Q. Geologically, Ms. Cox has identified the east
13 half of each of these sections as having an opportunity for
14 Marathon to produce condensate and oil out of the Canyon 2.
15 Have you examined Canyon 2 samples? And if so, what
16 conclusion did you reach about those samples?

17 A. Well, primarily the Canyon 2 samples that we
18 looked at were from the South Dagger Draw group, the NIBU
19 30 and the NIBU 7. An additional sample out of South
20 Dagger Draw was the Federal Number 7.

21 These would be more closely aligned with oils
22 instead of condensates. They are dark brown in color, they
23 are cloudy, they contain suspended paraffins, and they are
24 compositionally, again, different from the condensates that
25 we previously discussed.

1 Q. Again on Exhibit 9, the location of the wells
2 from which those three samples were taken are identified by
3 the green boxes?

4 A. Correct, those are the green boxes.

5 Q. What is your professional opinion, then, about
6 the separation of hydrocarbons between the Canyon 2 and the
7 Cisco?

8 A. We have a distinct compositional difference in
9 the liquid hydrocarbons between the Canyon 2 and the Cisco.
10 It demonstrates that they are from separate compartments.
11 If they had been one compartment and in communication,
12 there has been sufficient time that the hydrocarbons would
13 have mixed and we would have had a more homogeneous
14 composition, we wouldn't have these compositional
15 differences.

16 Q. In your opinion, did you have sufficient data
17 available to you to reach the conclusion that the Cisco
18 reservoirs, in fact, are isolated and separate from the
19 Canyon 2 reservoir?

20 A. I believe I have sufficient evidence.

21 MR. KELLAHIN: That concludes my examination of
22 Mr. Dembicki.

23 We move the introduction of his Exhibits 8 and 9.

24 EXAMINER STOGNER: Exhibits 8 and 9 will be
25 admitted into evidence.

EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY EXAMINER STOGNER:

Q. Dr. Dembicki, whenever I'm looking at Exhibit Number 8, you've classified these out, but nowhere have I seen you talk about the API density or the -- of the liquids that you show over here and describe.

A. Uh-huh.

Q. Are they similar, or why did you not include that information?

A. One of the things that we wanted to do in terms of the analytical work was to be able to provide me with a minimal amount of data on the samples at the time I was doing the analysis so I would not be biased in my analytical work and interpretation of the data.

So at the time I was doing the work and compiling geochemical families, I did not have the API gravity information. However, I do believe that's available.

MS. COX: Yes, it is.

Q. (By Examiner Stogner) What is usually the API cutoff between condensate and oil? Or are there other things to consider?

A. Well, there are other things to consider. An API gravity cutoff is not necessarily an applicable parameter for distinguishing between oil and a condensate in some instances. Usually you'll have to look at compositional

1 variation as well. We could get an oil that is in the high
2 40s in terms of its API gravity and still be a very thick,
3 viscous oil. It all depends on paraffin content.

4 Q. What in this area -- what else do you look at
5 besides the API gravity between the condensate and oils?
6 What would you consider the difference?

7 A. Well, I would look at the volatility of the oil,
8 how much of the material was in, say, the C10, C15 range,
9 versus the lighter materials. That would be a very good
10 descriptor for it.

11 Q. How about sulfur content?

12 A. In general, these are very high in sulfur, all of
13 them. It just depends. It -- These oils, the sulfur
14 compounds that are contained in there, they're just
15 partitioned differently between the condensates and the
16 oils.

17 Q. How about the con- -- Is the condensate, is that
18 sulfuric out here?

19 A. It has lots of light sulfur-bearing compounds
20 like mercaptans.

21 Q. How about the Cisco gas and the Canyon gas? Is
22 there much of a sulfuric contents difference between the
23 two gases?

24 A. Not that we could detect.

25 Q. Would this indicate a separate migration, or a

1 particular area that the gas or oil or hydrocarbons were
2 formed, and as it migrated into this area does it indicate
3 there are two separate environments of a formation of the
4 hydrocarbons?

5 A. Yes, it does. The condensates and the gas may
6 have been formed at the same time, from the same source,
7 migrating in place, whereas the oils probably came from
8 either an earlier generation from the source or a separate
9 source coming in a different migration path.

10 Q. Any indication of overlapping of the migrational
11 -- I call it Cisco gas, in the Canyon area?

12 A. Some of the data that we have in the intermediate
13 zone, we're not clear yet on exactly the source of the
14 differences between those condensates and the gas cap, and
15 it's difficult to say with any certainty if we do have any
16 overlap or intermingling in that zone.

17 Q. As far as the samples that you chose, any
18 particular reason, or did you just do them at random?

19 A. They were supplied by our Midland office.

20 Q. Okay. So you had no -- You had nothing to do
21 with the choosing of the samples?

22 A. No. Again, that was part of the design, was to
23 keep me blind and unbiased.

24 EXAMINER STOGNER: Oh, surely Marathon doesn't do
25 that, Steve, do they?

1 Thank you, sir. I have no other questions.

2 MR. KELLAHIN: All right, John, you're up.

3 Mr. Examiner, John Kloosterman is a reservoir
4 engineer. He's got two chapters in his presentation. One
5 is to show you the reservoir pressure we have by which he
6 has concluded there's separation. In addition, his second
7 chapter deals with the allocation of production and how he
8 proposes to divide that in the spacing unit among the new
9 spacing units.

10 JOHN T. KLOOSTERMAN,

11 the witness herein, after having been first duly sworn upon
12 his oath, was examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. KELLAHIN:

15 Q. Mr. Kloosterman, for the record, sir, would you
16 please state your name and occupation?

17 A. My name is John Kloosterman. I'm a senior
18 reservoir engineer with Marathon Oil serving on the Indian
19 Basin asset team.

20 Q. And you reside where, sir?

21 A. In Midland, Texas.

22 Q. On prior occasions have you testified before the
23 Division?

24 A. I have not testified before this Division before.

25 Q. Summarize for us your education.

1 A. I received a bachelor of science in mechanical
2 engineering from Rose-Hulman Institute of Technology in
3 1982. I started employment with Marathon in 1982 in
4 Illinois. I worked there for nine years.

5 While in Illinois I did serve as an expert
6 witness in a waterflood unitization hearing in Michigan and
7 also in a litigation in Illinois.

8 After Illinois I worked for three and a half
9 years in Alaska, working on some reservoir modeling up
10 there. And for the last two and half years I've been in
11 the Midland office, working Permian Basin, the last year of
12 which I've been serving as a senior reservoir engineer on
13 the Indian Basin asset team.

14 Q. As part of your responsibilities in Indian Basin,
15 have you compiled and analyzed the pressure data that's
16 available in this area?

17 A. Yes, I have.

18 Q. In addition, have you tabulated the production
19 information and provided displays and conclusions with
20 regards to how you propose to reallocate the allowables
21 among these spacing units?

22 A. Yes, I have.

23 MR. KELLAHIN: We tender Mr. Kloosterman as an
24 expert engineer.

25 EXAMINER STOGNER: Mr. Kloosterman, you said you

1 had testified in Michigan?

2 THE WITNESS: Yes, sir.

3 EXAMINER STOGNER: And when was that?

4 THE WITNESS: That was 1985.

5 EXAMINER STOGNER: And that was for a waterflood?

6 THE WITNESS: We were putting together a
7 waterflood unit in West Branch, Michigan.

8 EXAMINER STOGNER: Mr. Kloosterman is so
9 qualified. Did I pronounce that right?

10 THE WITNESS: Kloosterman.

11 EXAMINER STOGNER: Kloosterman. Mr. Kloosterman
12 is so qualified.

13 Q. (By Mr. Kellahin) Let me have you take your
14 first two displays, Mr. Kloosterman. Let's take 10 and 11.
15 Let's start with 10, and give us an understanding of how
16 you have separated your pressure data by a color code.

17 A. Okay. The red open circles are pressures that we
18 have acquired historically in the Indian Basin Pool. The
19 green open circles are pressures we've acquired in the
20 South Dagger Draw Pool. The colored green -- the filled-in
21 green and red circles are pressures that we've acquired in
22 the three sections of interest, 3, 10 and 15, and they
23 exhibit trends, in some cases more similar to South Dagger
24 Draw and in some cases more similar to Indian Basin.

25 Q. Do you have sufficient pressure data to reach any

1 conclusions concerning whether the Cisco gas cap in Indian
2 Basin is in pressure communication with the Canyon
3 production in South Dagger Draw?

4 A. Yes, I do.

5 Q. What is your conclusion?

6 A. I conclude that the Indian Basin Pool is not in
7 communication, pressure communication, with the South
8 Dagger Draw Pools -- Pool.

9 Q. Have you plotted your pressure data on another
10 display so that we can see the level of separation in
11 pressures upon which you base that conclusion?

12 A. Yes, I have. That's displayed in Exhibit Number
13 11.

14 Q. All right. There are a lot of data points on
15 Exhibit 11. Let's take a few minutes and make sure we can
16 recognize the differences in your coding for that pressure
17 data.

18 A. Okay. The red open squares on the graph
19 correspond to the red open circles on the locator map.
20 Those are pressures that correspond to pressures in the
21 Indian Basin Gas Pool.

22 The green open triangles are pressures that were
23 acquired in South Dagger Draw.

24 The red -- or, excuse me, the green filled-in
25 triangles are pressures taken from Section 3.

1 The green-colored circles are pressures taken
2 from Section 10.

3 The red-colored squares are Cisco pressures from
4 Section 15.

5 And the green-colored diamond are Canyon
6 pressures in Section 15.

7 Q. Let's draw the comparison between the Indian
8 Basin-Cisco pressures and the Dagger Draw-Canyon pressures
9 that you accumulated in Sections 1, 2, 11 and 12. There's
10 a difference in where these are positioned on the display?

11 A. That's correct. The -- If you notice the trend
12 for the Indian Basin Gas Pool, the red squares all form a
13 very nice trend, with the exception of a few scattered
14 points there at the tail end, indicating a very constant
15 pressure decline in the Indian Basin Gas Pool through time.

16 The pressure data I have available for South
17 Dagger Draw started in 1994. That's when we started
18 developing the Sections 1, 2, 11 and 12.

19 Q. Those are the open --

20 A. The open --

21 Q. -- triangles?

22 A. The open green triangles, yes, sir.

23 Q. Okay.

24 A. You can see the pressure at the time of initial
25 development of South Dagger Draw was close to 1000 pounds

1 higher than the Indian Basin Gas Pool at that time.

2 Q. Is that enough pressure differential to cause you
3 to conclude that they're, in fact, separate reservoirs?

4 A. Yes, it is. I've corrected all the pressures to
5 a common datum, so there's no elevation differences
6 involved. So there is -- That's a very large pressure
7 difference.

8 Q. The question is, in what pool should we place the
9 east half of 3, 10 and 15? Based upon pressure, do you
10 have a recommendation as to where to place those half-
11 sections?

12 A. Yes, I do. I'll direct your attention to the
13 green-colored triangles. They are taken from Section 3,
14 either from the -- Most of the data points are from the
15 NIBU 3 in the southwest quarter. See, those pressures are
16 much more closely aligned with the South Dagger Draw
17 pressures.

18 And the final green triangle at the far right of
19 the exhibit, that's actually two data points there that are
20 virtually identical. One is from the Comanche 1 and one is
21 from the NIBU Gas Com 3, the two wells in Section 3.

22 Based on this data, I would conclude from a
23 pressure standpoint that the Section 3 is more closely
24 aligned with South Dagger Draw.

25 Going through the other sections, in Section 10

1 we have only one pressure data available from one well, the
2 NIBU 1 in the southwest quarter. See, that pressure falls
3 in between the South Dagger Draw pressures and the gas cap
4 pressures.

5 You also notice it's on a different trend. The
6 South Dagger Draw and Indian Basin gas cap pressures are
7 declining more steeply than the pressure data we have from
8 Section 10. That, to me, indicates -- The other thing is,
9 the Section 10 pressure is a Cisco-only pressure, whereas
10 the pressures in Section 3 are Canyon pressures.

11 That indicates to me that in Section 10 it's
12 not -- I can't draw a firm conclusion whether it's the
13 Canyon because I don't have Canyon pressure data, but the
14 Cisco is somewhere in between the South Dagger Draw and the
15 Indian Basin Gas Pool.

16 In Section 15, the Cisco data -- which is, on the
17 locator map, the red-colored circle and on the pressure
18 display the red-colored squares -- you can see that falls
19 very much in line with the Indian Basin Gas Pool, whereas
20 the pressure from NIBU 32, the green-colored circle on the
21 map in Section 15 and the two green-colored diamonds at the
22 far right of the pressure display, show that the Canyon
23 pressure is in line with the South Dagger Draw Pool.

24 Q. In summary, then, can you support a
25 recommendation to adjust the western boundary of South

1 Dagger Draw by moving it a half section west in relation to
2 Sections 3, 10 and 15?

3 A. Yes, I think the pressure data confirms the
4 previous testimony from a geologic and geochemistry
5 standpoint that it is appropriate to move the pools a half
6 section to the west.

7 Q. Let's turn to the topic of how -- of what the
8 data shows on the allocation of production --

9 A. Yes, sir.

10 Q. -- and then finally to your recommendations as to
11 how to readjust these allocations.

12 Let's start with Section 15. Describe for us how
13 Exhibit 12 is organized, and then we can go through the
14 conclusions.

15 A. Exhibit 12 has production data from the two wells
16 in Section 15. Both wells are in the west half, so they're
17 both colored the same. You can see there is a black line
18 in the middle of the blue production data at the bottom of
19 the graph that distinguishes the production from the two
20 wells.

21 The blue dotted line across the graph at 100,000
22 per month, that would be a half-allowable line. The full-
23 allowable line is shown as the burgundy line at 200,000,
24 which is the 640-acre proration unit allowable at Indian
25 Basin.

1 What this display is showing is that the two
2 wells in the west -- Well, for one thing, it shows there
3 was no production until early this year in that section.
4 We reactivated a well in the southwest quarter of Section
5 15 and drilled a new well, NIBU 32, in the northwest
6 quarter, and that production is shown on the graph.

7 It shows that the production has not exceeded the
8 full allowable or even half-allowable, assuming that if we
9 split the section in half we'd get a half-allowable for
10 that 320-acre nonstandard proration unit.

11 So there is really no action required from the
12 standpoint of reallocating production. It would be quite
13 clean just to split the proration unit and apply a half-
14 allowable to the west half of that section.

15 Q. All right, let's turn to Section 10.

16 A. Okay, Exhibit 13 shows production history from
17 Section 10. Again, the blue color is from the west half.
18 You can see production declining through time from -- that
19 would be NIBU 1 in the southwest quarter of that section.

20 The burgundy color coming on in October of 1996
21 corresponds to gas production from NIBU 30 in the northeast
22 quarter. Ms. Cox previously testified about the oil
23 production of that well. This is the gas production of
24 that well.

25 This display shows that these two wells combined

1 have not exceeded the full allowable for that proration
2 unit, and the western-half well by itself does not exceed
3 the half-allowable for a 320-acre nonstandard proration
4 unit.

5 So again in this case, there would be no
6 allocation adjustments required.

7 Q. Okay, let's turn to the next display, Exhibit 14,
8 and look at the tabulation of production for Section 3.

9 A. Okay, Exhibit 14 is production history for
10 Section 3. You can see a -- back in early 1995 it was very
11 low production; it was a marginal well. What the display
12 does not show is that we worked on this well in November of
13 1995, and this would be the NIBU Number 3 in the southwest
14 quarter, and I have some additional exhibits to enter about
15 that --

16 Q. All right, let me find on the horizontal scale on
17 14 where the NIBU 3 in the west half was worked over.

18 A. Okay, it was worked over in November of 1995.

19 Q. Okay.

20 A. That's where the production goes essentially to
21 zero.

22 Q. All right. And then it is apparently not
23 produced, despite the workover, it's not produced until May
24 of 1996?

25 A. That's correct. It was actually June of 1996 when

1 we --

2 Q. June of 1996?

3 A. -- reactivated that well.

4 Q. Did the well have the capacity to produce during
5 this period of time, despite the fact that it was not
6 produced?

7 A. Yes, the well had a substantial capacity to
8 produce. At the time we were limited by the Indian Basin
9 Gas Plant, which processes the gas in the area.

10 Because of the substantial development of South
11 Dagger Draw and some infill development drilling in the
12 Indian Basin Gas Pool, the inlet capacity of the gas plant
13 was exceeded, forcing cutbacks in some production.

14 We chose to cut back these wells because they
15 were not oil producers. We preferentially produced oil and
16 associated gas from the oil producers and used these gas-
17 only producers as swing wells. We reinstated production
18 in these wells once the capacity of the Indian Basin Gas
19 Plant was expanded in October-November of 1996.

20 Q. When we look at the combined production for the
21 640 spacing unit, it has the capacity to exceed the 6.5
22 million a day?

23 A. That is correct.

24 Q. And so it has overproduced its allowable. Is it
25 more than six times overproduced?

1 A. No, sir, it's not.

2 Q. So it's still being produced in compliance with
3 the gas proration system?

4 A. That is correct.

5 Q. Let's set this exhibit aside for a moment and
6 turn to the supporting data in Exhibit 15 to show the
7 workover and the additional capacity added to the NIBU
8 Number 3 well in the southwest of 3.

9 A. Okay, Exhibit 15 is a metering and testing
10 production report showing hourly production from this well.
11 I know this is a lot of numbers on there.

12 The important column is the third one from the
13 right, which shows the gas rate from this well. This was
14 after the well had been tested about three or four days.
15 Gas rate continually built during that time.

16 By this time, on November 26th and 27th, you can
17 see the gas rate was averaging about 3.4 million a day,
18 with -- And the next column over is the bottomhole
19 producing pressure. This well is produced via sub pump,
20 and it was the pressure data recorded from that submersible
21 pump. You see pressures of about 650 pounds. Reservoir
22 pressure at the time was 1800 pounds. So we were producing
23 3.4 million of gas with relatively limited drawdown on that
24 well.

25 Q. Let's turn to Exhibit 17 and describe for us how

1 you've recommended the gas production in Section 3 be
2 reallocated.

3 A. Okay. Do you want to go through 16 first, which
4 is the test sheet for the Comanche?

5 Q. Yes, please.

6 A. Okay. Exhibit 16 is a test sheet for the other
7 well in that -- in Section 3. That well was drilled in
8 February of 1995. You can see again the third column from
9 the right is the gas rate. You can see by the end of the
10 test there on February 13th we're up over 5 million cubic
11 feet of gas a day on test, again with limited drawdown.
12 The producing bottomhole pressure was 1465 pounds at that
13 time.

14 The one thing to note is, these two wells
15 combined, the NIBU Gas Com Number 3 and the Comanche
16 Federal Number 1, have production capacity in excess of the
17 allowable for the proration unit. Combined, they have a
18 production capacity of over 8 million a day, compared to an
19 allowable of 6.5 million a day.

20 Q. All right, let's turn to 17 and see how you have
21 reconciled the allowable and the gas production and
22 balanced between the over- and underproduction.

23 A. Okay, let me walk you through Exhibit 17. The
24 first column to the right of the date is the monthly gas
25 production, and that production corresponds to the graph

1 shown in Exhibit 14.

2 The next column is the monthly allowable for a
3 full section, a standard gas proration unit in Indian
4 Basin, of 200,000 MCF a month.

5 The next column is the difference between the
6 monthly gas production and the monthly allowable. You can
7 see up until November of 1996 those numbers were all
8 negative, meaning that we're not exceeding the allowable.

9 The next column over is how we would accumulate
10 under- and overproduction from February of 1996, which, as
11 I pointed out in Exhibits 15 and 16, show that in February
12 of 19- -- excuse me, Feb- -- yes, February of 1996, that
13 the well was capable of -- that unit was capable of
14 producing in excess of the allowable.

15 I'd like to go back. On Exhibit 16, the test
16 date shown as February 12th of 1995, that should be a 1996.
17 That well was drilled in early 1996, not 1995. That's why
18 I stuttered there for a second, I -- threw me off.

19 That is the point in time we're proposing that
20 the well should be declared as -- the gas proration unit
21 should be declared as nonmarginal and, as such, should
22 start accumulating underproduction from that point in time,
23 as being February of 1996.

24 As you follow down that column you see we
25 accumulate underproduction until November of 1996 and at

1 that point start reducing the underproduction, the
2 accumulated underproduction, until July of 1997.

3 The June and July numbers, production numbers on
4 here, are estimates based on daily production data we have
5 to date. We don't actually have the allocated production,
6 but they're estimates.

7 And you see from that we're still cumulatively
8 underproduced 665 million cubic feet of gas.

9 How I propose to handle that when we split the
10 gas proration unit in half is, allocate half of that
11 accumulated underproduction to the west half of Section 3.
12 So at the time an order is issued to split that, if it's so
13 ordered, I propose that the west half of Section 3 would
14 have an accumulated underproduction of 332 million cubic
15 feet of gas to be worked off by subsequent overproduction.

16 The other two columns on there are -- were just
17 for reference, if for some reason a decision was made not
18 to go back to February of 1996 but start at the beginning
19 of the April 1, 1996, proration period, how that number
20 would work out.

21 And then if for some reason there was a decision
22 made not to declare the well nonmarginal and allow us to
23 accumulate any underproduction, where we would be at today,
24 the gas proration unit would be at 729 million cubic feet
25 of gas overproduced, which is about 3.3 times the

1 allowable, so nowhere near the six times.

2 MR. KELLAHIN: That concludes my examination of
3 Mr. Kloosterman.

4 We move the introduction of his Exhibits 10
5 through 17.

6 EXAMINER STOGNER: Exhibits 10 through 17 will be
7 admitted into evidence at this time.

8 EXAMINATION

9 BY EXAMINER STOGNER:

10 Q. Now, the Number 1 well, the Comanche Number 1
11 well, that will still produce, will it not?

12 A. That's correct, it will produce in the South
13 Dagger Draw Pool.

14 Q. Okay. Now, what's the gas allowable for that
15 pool?

16 A. The gas allowable is -- There's a GOR allowable
17 set of 7000. There's an oil allowable for 1400 barrels of
18 oil a day, multiplied by the 7000 GOR gives a gas allowable
19 for a 320-acre proration unit of 9.8 million cubic feet of
20 gas a day.

21 Q. And how does that Number 1 production compare
22 or -- Yeah, how does it compare with the GOR casinghead
23 limit for that pool?

24 A. The Comanche Number 1 well currently produces
25 about 4 million cubic feet of gas a day and about 1500

1 barrels of water a day.

2 Q. So it's substantially under the --

3 A. That's correct.

4 Q. So there's really no concern on that well getting
5 put over into the Dagger Draw Pool and chance of it -- or
6 no chance of it overproducing its allowable; is that
7 correct?

8 A. That's correct.

9 Q. Okay. Now, the figures you give me on Exhibit
10 Number 17, that is the cumulative production from both
11 wells in the Indian Basin; is that correct?

12 A. That is correct. That's the combined total,
13 monthly production total from both the NIBU 3 and the
14 Comanche 1 well.

15 Q. For me to make sure what -- I want to make sure
16 that I'm reading this right.

17 A. Okay.

18 A. So you've got -- You're proposing to bring some
19 underproduction from the both of those pools combined, that
20 was cumulative for 640, just cut that in half and bring it
21 into the new scheme just to be applied to the Number 3
22 well; is that correct?

23 A. That's correct, that's what I'm proposing.

24 Q. Are both these wells shut in, or are they
25 producing?

1 A. Currently they're both active.

2 Q. Okay, because -- Okay, on the right-hand side of
3 the scale it just comes down to zero.

4 A. Well, yeah, that's just where the end of the data
5 -- The last data I've included was July of 1997.

6 Q. Okay. Did you run this kind of a scheme, Exhibit
7 Number 17, by splitting the wells' productions out and just
8 looking at the Number 3 production?

9 A. Yes. Yes, sir.

10 Q. And how the over- and the underage that was
11 accumulated would have -- how it would have been affected?

12 A. Yes, sir, I did. I looked at the NIBU Number 3
13 in relationship to a half allowable, basically assuming
14 that we'd been producing as a 320 proration unit all along.

15 And in that analysis I went back to December of
16 1995 to start accumulating underproduction since at that
17 point, if you refer back to Exhibit 15, in late November of
18 1995 the well was shown to be capable of producing in
19 excess of the half-allowable, which would be 3.25 million a
20 day.

21 And accumulating that production from November or
22 December, the accumulated underproduction to date would be
23 341 million cubic feet of gas a day, compared to the 332
24 million cubic feet under the exhibit I showed you or
25 presented here. So very similar.

1 Q. Very similar. Because that's what I was --
2 Actually, you've done something that I was thinking about,
3 and that would make it retroactive, essentially, back to
4 November or December or something to that effect.

5 A. Right.

6 Q. So no gain, no advantage.

7 A. Right, either way you do it, it comes out
8 essentially the same.

9 Q. Okay. Now, you show the monthly allowable for
10 those pools to be what? 200,000 MCF?

11 A. That's correct.

12 Q. And that has been consistent for some time now?

13 A. That has been consistent at least for the last
14 couple of proration periods. I know it had been lower
15 previously. I know at one point it was slightly lower,
16 like 190,000.

17 And then back in the -- I really don't have a
18 good working knowledge of what the allowable was prior to
19 1995.

20 Q. I wonder if anybody does.

21 MR. KELLAHIN: I'm not sure it works anymore; I
22 know the number. But we've had 200,000 a month back here
23 for at least the last six proration periods. So it would
24 predate 1995.

25 Q. (By Examiner Stogner) Which leads me up to -- On

1 Exhibit Number 17 you do show the monthly allowable as
2 200,000 all the way down. Were you able to pull that
3 number out of old schedules and such?

4 A. I just knew that it was -- that number was
5 applicable from April of 1995 forward.

6 Q. Okay.

7 A. That's been the allowable in the field from that
8 time.

9 Q. So we're able to get that off of proration
10 schedules --

11 A. That's correct.

12 MR. KELLAHIN: We pulled it off the Commission
13 orders, Mr. Examiner.

14 Q. (By Examiner Stogner) Okay. When I had asked
15 you that question about essentially going back to
16 retroactive stuff, November, and you had given me some
17 figures of it being around 340,000, do you have those
18 written out or --

19 A. Yes, sir, I do.

20 EXAMINER STOGNER: Mr. Kellahin, just for
21 comparison, can I have you submit that information as a
22 supplement to this exhibit?

23 MR. KELLAHIN: Sure, we'll be happy to do that.
24 We'll prepare it in the form of an exhibit and show you a
25 spreadsheet like this one using the west half, and that way

1 you'll have all the numbers.

2 EXAMINER STOGNER: I would appreciate that. I
3 would just suggest you make that like, say, 14A or make it
4 subsets to the present exhibit.

5 MR. KELLAHIN: All right, sir.

6 EXAMINER STOGNER: I have no other questions of
7 this witness.

8 MR. KELLAHIN: All right, sir.

9 EXAMINER STOGNER: He may be excused.

10 MR. KELLAHIN: I need just a minute with Mr.
11 Lowry to see if we've checked on our --

12 EXAMINER STOGNER: Yes.

13 MR. KELLAHIN: -- equities.

14 (Off the record)

15 MR. KELLAHIN: With your permission, Mr.
16 Examiner, I'd like to call Mr. Tom Lowry for a few minutes
17 to talk about the equities.

18 EXAMINER STOGNER: Okay.

19 MR. KELLAHIN: Mr. Lowry was out of the room when
20 you swore the witnesses, Mr. Examiner. If we could put Mr.
21 Lowry under oath.

22 EXAMINER STOGNER: Mr. Lowry, would you please
23 stand and raise your right hand?

24 (Thereupon, Mr. Lowry was sworn.)

25 EXAMINER STOGNER: You may be seated.

1 Mr. Kellahin?

2 MR. KELLAHIN: Thank you, Mr. Examiner.

3 THOMAS C. LOWRY,

4 the witness herein, after having been first duly sworn upon
5 his oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. KELLAHIN:

8 Q. Mr. Lowry, on prior occasions have you testified
9 as an attorney on behalf of Marathon Oil Company before the
10 Division?

11 A. Yes, I have.

12 Q. Pursuant to your employment in that capacity,
13 have you become familiar with the contractual arrangements
14 and the equities established in the three existing spacing
15 units that we're discussing today?

16 A. Ye, I'm familiar with the various agreements that
17 govern the ownership of oil produced from those sections.

18 Q. In addition, have you caused Marathon personnel
19 to tabulate under your supervision the names and addresses
20 of all equity interest owners in these three spacing units?

21 A. Yes, I have.

22 MR. KELLAHIN: We tender Mr. Lowry as an expert.

23 EXAMINER STOGNER: Mr. Lowry is so qualified.

24 Q. (By Mr. Kellahin) Let's talk about the notice
25 requirements.

1 With your permission, Mr. Examiner, I need to
2 give you a certificate. I've left it on my desk. I need
3 to bring it to you this afternoon.

4 But the certificate that we prepared and
5 compiled, Mr. Lowry, was that done under your supervision?

6 A. Yes, it was.

7 Q. And what were you attempting to do with that
8 notification?

9 A. We were attempting to notify all of the owners of
10 any interest whatsoever within Sections 3, 10 and 15 as to
11 our Application, as well as the operators of all offsetting
12 units.

13 Q. As a result of that attempt, were you able to
14 satisfy yourself that you had accurately tabulated all
15 those interest owners, including the offset operators to
16 whom notice was entitled?

17 A. Yes, I did.

18 Q. And was that notice sent?

19 A. Yes, it was.

20 Q. To the best of your knowledge, is there any
21 opposition raised by any of the parties to whom you sent
22 notice?

23 A. There is none.

24 Q. Let's talk about the equities in Sections 3, 10
25 and 15.

1 Have you satisfied yourself concerning the
2 equities of these three existing spacing units in terms of
3 what happens to their equity if the pool boundary is
4 shifted?

5 A. Yes, I've analyzed the various agreements
6 involved, and in my opinion those agreements will remain in
7 place following this change, should it be granted, and the
8 ownership will not be affected at all by the change. In
9 other words, every barrel of oil and every MCF of gas will
10 continue to be owned as the production is currently owned
11 from those sections.

12 Q. So despite this shift in spacing, the underlying
13 agreements that commit all interest owners will allow those
14 parties to continue to be paid in the same percentages, to
15 the same people as are currently being paid for the
16 production?

17 A. Yes.

18 Q. In your opinion, will the approval of this
19 Application impair correlative rights?

20 A. No, it will not.

21 MR. KELLAHIN: That concludes my examination of
22 Mr. Lowry.

23 EXAMINER STOGNER: Okay, Mr. Lowry -- By the way,
24 we'll keep the record open pending the receipt --

25 MR. KELLAHIN: The two exhibits, the notice and

1 the supplemental exhibit on the west-half allocation.

2 EXAMINER STOGNER: Right.

3 Q. (By Examiner Stogner) Just by some of the
4 exhibits that I do have -- and I'm referencing Exhibit
5 Number 1 --

6 A. Uh-huh.

7 Q. -- especially I'm interest in Section Number
8 15 --

9 A. Okay.

10 Q. -- because that looks like it's split, north half
11 being in the unit, south half being a federal com. Is that
12 the way you --

13 A. Actually 3 and 15 are both split that way.

14 Q. Okay.

15 A. The unit involves all of Sections 2 and 11, 10, 9
16 and 16, and the south half of 3, north half of 15 and the
17 south half of 4, up in the upper left-hand corner.

18 Three and 15 have their own 640-acre com
19 agreements, which provide for the sharing on an acreage
20 basis of production from those individual sections.

21 The production from those sections that's
22 allocated to the south half in the case of Section 3 and
23 the north half in the case of Section 15 is then shared
24 amongst the unit owners, since those lands are within the
25 unit.

1 In our discussions with the BLM regarding the
2 treatment of the com agreements, they have indicated that
3 even though the spacing will be changing, that they wish
4 those com agreements to remain in place as they are, so
5 that all production continues to be shared in the same
6 manner as it has been for 30 years.

7 Q. The com agreements that are in effect for 15 and
8 3, are those 100-percent voluntary?

9 A. Yes.

10 Q. Okay. So there's no force-pooling?

11 A. No.

12 Q. Okay. And in Section Number 3, you're going to
13 have a 320-acre nonstandard proration unit, standup, over
14 on the west half. And -- Going to the Number 3 well.

15 The Number 1 well is going to be a standard 320
16 in the South Dagger Draw; is that correct?

17 A. That's right.

18 Q. Okay, they're the same percentages because you
19 have two laydowns. The com agreement essentially takes in
20 the two half-sections as a laydown?

21 A. That's right, that's right.

22 Q. Okay. Now, in Section 15 you're going to have
23 two wells now in the Indian Basin and no production at this
24 point --

25 A. Initially in that new -- that new South Dagger

1 Draw 320, that's right.

2 Q. So -- But as far as the percentage goes, it's not
3 going to matter?

4 A. No.

5 Q. Okay.

6 A. No, the same ownership division will be used for
7 both halves.

8 EXAMINER STOGNER: Okay. I don't have anything
9 further, Mr. Lowry.

10 MR. KELLAHIN: All right, sir. Thank you.

11 EXAMINER STOGNER: Thank you.

12 MR. KELLAHIN: Subject to those two supplemental
13 exhibits, Mr. Examiner, that concludes our presentation.

14 EXAMINER STOGNER: And I'd be more than happy to
15 accept a rough draft order.

16 MR. KELLAHIN: Yes, sir, I'll be happy to prepare
17 one.

18 EXAMINER STOGNER: Yeah, you're to be commended
19 on this, Marathon, putting some sort of a buffer area in
20 two pools that come together that are formed different and
21 have different allowables.

22 This is very commendable, trying to get something
23 out there. I wish it would be this easy in many cases
24 where these kind of pools come together. So...

25 If I could, I'd rule from the bench now, but

1 since we don't have that in place...

2 MR. KELLAHIN: All right, thank you, Mr.
3 Examiner.


4 EXAMINER STOGNER: With that, I'll take this
5 under advisement pending the additional information.

6 And let's take a ten-minute recess.

7 (Thereupon, these proceedings were concluded at
8 12:00 noon.)

9 * * *

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I do hereby certify that the foregoing is
a correct and true copy of the proceedings in
the examination of Case No. 11816,
heard by me on 2/24/97.

Oil Conservation Division, Examiner

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) SS.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL July 28th, 1997.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1998