

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: )  
APPLICATION OF BURLINGTON RESOURCES OIL )  
AND GAS COMPANY FOR COMPULSORY POOLING, )  
EDDY COUNTY, NEW MEXICO )

CASE NO. 11,837

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

RECEIVED

August 21st, 1997

SEP 11 1997

Santa Fe, New Mexico Oil Conservation Division

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, August 21st, 1997, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

## I N D E X

August 21st, 1997  
 Examiner Hearing  
 CASE NO. 11,837

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>RICK GALLEGOS</u> (Landman)	
Direct Examination by Mr. Kellahin	7
Examination by Mr. Stonestreet	24
Examination by Mr. Carroll	29
Examination by Examiner Stogner	32
Further Examination by Mr. Carroll	33
<u>KEITH WINFREE</u> (Geologist)	
Direct Examination by Mr. Kellahin	36
Examination by Mr. Stonestreet	52
Examination by Examiner Stogner	54
<u>DOUG SEAMS</u> (Engineer)	
Direct Examination by Mr. Kellahin	55
Examination by Mr. Stonestreet	70
Examination by Examiner Stogner	71
KERRY and KP ACQUISITION WITNESS:	
<u>HARDEMAN L. STONESTREET</u>	
Examination by Mr. Carroll	74
Statement by Mr. Stonestreet	75
Statement by Mr. Kellahin	76
REPORTER'S CERTIFICATE	78

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	8	23
Exhibit 2	11	23
Exhibit 3	18	23
Exhibit 4	21	23
Exhibit 5	37	51
Exhibit 6	39	51
Exhibit 7	41	51
Exhibit 8	41	51
Exhibit 9	44	51
Exhibit 10	46	51
Exhibit 11	46	51
Exhibit 12	56	70
Exhibit 13	58	70
Exhibit 14	58	70
Exhibit 15	59	70
Exhibit 16	62	70
Exhibit 17	63	70
Exhibit 18A	64	70
Exhibit 18B	64	70
Exhibit 19	65	70
Exhibit 20	67	70
Exhibit 21	68	70

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Legal Counsel to the Division  
2040 South Pacheco  
Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

KELLAHIN & KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265  
By: W. THOMAS KELLAHIN

## ALSO PRESENT:

HARDEMAN L. STONESTREET  
Kerry Petroleum and KP Acquisition Corporation  
500 West Texas, Suite 1450  
Midland, TX 79701

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2 11:05 a.m.:

3           EXAMINER STOGNER: Hearing will come to order.  
4 I'll call next case, Number 11,837.

5           MR. CARROLL: Application of Burlington Resources  
6 Oil and Gas Company for compulsory pooling, Eddy County,  
7 New Mexico.

8           EXAMINER STOGNER: Call for appearances.

9           MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of  
10 the Santa Fe law firm of Kellahin and Kellahin, appearing  
11 on behalf of the Applicant.

12          EXAMINER STOGNER: Any other appearances?

13          Please stand up -- In fact, why don't you come up  
14 here and take one of these seats?

15          MR. STONESTREET: My name is Stonestreet,  
16 Hardeman L., Kerry Petroleum and KP Acquisition  
17 Corporation.

18          EXAMINER STOGNER: I'm sorry, repeat your name  
19 again?

20          MR. STONESTREET: My name?

21          EXAMINER STOGNER: Yes, sir.

22          EXAMINER STOGNER: Hardeman, H-a-r-d-e-m-a-n,  
23 Stonestreet, S-t-o-n-e-s-t-r-e-e-t.

24          MR. CARROLL: And who -- On behalf of what  
25 companies?

1 MR. STONESTREET: Kerry, K-e-r-r-y, Petroleum and  
2 KP Acquisition Corporation.

3 MR. CARROLL: And those are your corporations?

4 MR. STONESTREET: KP, and Kerry is a corporation  
5 too.

6 MR. CARROLL: They're both your corporations?

7 MR. STONESTREET: Yeah, I'm...

8 MR. CARROLL: You're the principal officer or  
9 owner?

10 MR. STONESTREET: I'm not an owner. Officer.

11 MR. CARROLL: The second one was KP what?

12 MR. STONESTREET: Acquisition.

13 MR. CARROLL: Acquisition.

14 Mr. Stonestreet, are you going to be testifying?

15 MR. STONESTREET: I will if you want me to.

16 MR. CARROLL: Yeah, we'll swear you in at the  
17 same time as the other witnesses.

18 MR. STONESTREET: Okay.

19 EXAMINER STOGNER: Are there any other  
20 appearances besides Mr. Stonestreet and Mr. Kellahin?

21 Okay. Will all the witnesses please stand to be  
22 sworn at this time?

23 (Thereupon, the witnesses were sworn.)

24 EXAMINER STOGNER: Mr. Kellahin?

25 MR. KELLAHIN: Thank you, Mr. Examiner.

1           Mr. Examiner, my first witness is Rick Gallegos.  
2 Mr. Gallegos is a landman who resides in Midland, and he's  
3 employed by Burlington Resources Oil and Gas Company.

4                           RICK GALLEGOS,

5 the witness herein, after having been first duly sworn upon  
6 his oath, was examined and testified as follows:

7                           DIRECT EXAMINATION

8 BY MR. KELLAHIN:

9           Q.   Mr. Gallegos, for the record, sir, would you  
10 please state your name and occupation?

11           A.   My name is Rick Gallegos and I'm a landman.

12           Q.   Where do you reside, sir?

13           A.   In Midland, Texas.

14           Q.   On prior occasions have you testified before the  
15 Division?

16           A.   No, I have not.

17           Q.   Summarize for us your education and your  
18 employment experience.

19           A.   I am a graduate of the University of Colorado.  
20 I've got a minerals land management degree.

21           Q.   In what year, sir?

22           A.   In 1987. I have worked as a landman for Phillips  
23 Petroleum Company for over five years and as a landman with  
24 Burlington Resources for three years.

25           Q.   All right. Have you assumed the responsibilities

1 in this portion of Lea County, New Mexico, on behalf of  
2 your company, having taken over this area from Leslyn  
3 Swierc?

4 A. Yes, I have, and it's Eddy County, New Mexico.

5 Q. I'm sorry, Eddy County, New Mexico.

6 As part of your efforts, have you become familiar  
7 with the title opinions and the division of interest within  
8 the proposed spacing unit that you're trying to form here?

9 A. Yes.

10 Q. In addition, have you assumed her duties of  
11 negotiating with the various working interest owners in an  
12 effort to obtain their voluntary agreement?

13 A. Yes.

14 Q. Have you been the principal landman responsible  
15 for this project since Leslyn was transferred to other  
16 duties?

17 A. Yes, I have.

18 MR. KELLAHIN: We tender Mr. Gallegos as an  
19 expert petroleum landman.

20 EXAMINER STOGNER: Mr. Gallegos is so qualified.

21 Q. (By Mr. Kellahin) Let me have you turn your  
22 attention, sir, to what we've marked as Burlington Exhibit  
23 1. Let's unfold the map area.

24 When we're looking at this portion of the  
25 properties involved in Eddy County, New Mexico, what's the

1 significance of the area shaded in yellow?

2 A. The yellow represents Burlington Resource  
3 leasehold, either partial or 100-percent leasehold. And  
4 the red outline there is the outline for the proposed unit,  
5 which is composed of the north half of Section 23.

6 Q. This is identified as Burlington's proposed El  
7 Paso 23 Federal Well Number 2?

8 A. Yes, it is.

9 Q. This is a well that is proposed to be a  
10 multilateral directional wellbore; is that not true?

11 A. Yes, sir.

12 Q. The proposed target interval, as you understand  
13 it, is to be principally the Wolfcamp formation?

14 A. Yes, sir.

15 Q. And within the Wolfcamp formation it's what we  
16 characterize as the Wolfcamp A?

17 A. That is correct.

18 Q. All right. Also shown on this display are  
19 locations for other wells. Do you know if these are  
20 displaying wells below 11,000 feet?

21 A. Yes, to my knowledge they are.

22 Q. All right. Let's set aside the locator map for a  
23 moment.

24 When you look within the area to be investigated  
25 by you, were you utilizing -- in order to tabulate the

1 various interest owners, were you utilizing title opinions?

2 A. Yes, I was. I was utilizing a title opinion done  
3 by the law firm of Turner and Davis.

4 Q. What's the approximate of that title opinion?

5 A. That opinion was dated December 18th, 1996.

6 Q. At that time, what percentage interest had  
7 Burlington acquired or accumulated when we look at working  
8 interests?

9 A. Right at 52.5 percent.

10 Q. Do you remember or recall what is the approximate  
11 cost of this well?

12 A. It is a -- Total to drill and complete was about  
13 \$1.987 million.

14 Q. When you received, Burlington received, the title  
15 opinion in December of 1996, approximately how many record  
16 title owners and working interest owners had an interest  
17 below the Bone Springs formation?

18 A. Eighteen.

19 Q. On July 29th, 1997, the compulsory pooling  
20 Application was filed; is that not true?

21 A. That is correct.

22 Q. By that time, had you obtained voluntary  
23 agreement of any of these working interest owners?

24 A. Yes, I had. By that time I had obtained a  
25 voluntary agreement of seven of the working owners, which

1 represented 64 percent of the working interest in the unit.

2 Q. So including Burlington, you had, during the  
3 course of that period of time, increased the committed  
4 interest up to about 64 percent?

5 A. That's correct. And including Burlington, it  
6 would have been eight parties.

7 Q. As of last week on August 15th, what was the  
8 status of your efforts to obtain voluntary agreement?

9 A. As of last week, I had obtained the voluntary  
10 agreement of 13 parties total -- that's exclusive of  
11 Burlington -- representing approximately a 74-percent  
12 working interest in the unit.

13 Q. Let's turn to Exhibit 2 for a moment and have you  
14 identify for the record what is tabulated on these two  
15 pages.

16 A. What is tabulated on these two pages is the  
17 various working owners that hold a working interest in  
18 their unit. Also, it's their working interest ownership  
19 within such unit.

20 And the parties that have an asterisk by them,  
21 that asterisk represents the parties which have elected to  
22 participate. And you can see, of the parties involved  
23 we've got 14 parties that have elected to participate, an  
24 overwhelming majority.

25 Q. All right, let me make sure I understand the

1 display. The working interest percentage is the working  
2 interest in relation to the spacing unit, the 320 acres?

3 A. That is correct.

4 Q. And if we read down the list and we find an  
5 asterisk, it indicates that that company has agreed to  
6 participate?

7 A. Yes, sir.

8 Q. As we look at the names with asterisks, in what  
9 ways have they elected to participate?

10 A. They've elected to participate in two ways.  
11 They've elected to participate by executing our AFE, and in  
12 addition to that they've signed our operating agreement.

13 Q. Have any of these interest owners thus far  
14 committed their interest in any other way, such as a term  
15 assignment, a farmout agreement, a sale?

16 A. No.

17 Q. So when we look at participating here, we're  
18 looking at a particular category in which everyone thus far  
19 has agreed to pay their share of the well and participate  
20 as a working interest owner?

21 A. That is correct.

22 Q. Of all those interest owners that have signed  
23 your operating agreement, has anyone objected to the terms  
24 of the operating agreement?

25 A. No, they haven't, and there has been no

1 alterations to our operating agreement. Each one of those  
2 parties has signed our operating agreement as it was  
3 presented to them.

4 Q. Okay. Under the terms of your operating  
5 agreement, what are you proposing and what have they agreed  
6 to for overhead rates?

7 A. What we're proposing is an overhead rate of \$650  
8 producing well rate and \$5500 drilling well rate.

9 Q. Okay. Have any of those parties, prior to  
10 signing your AFE, objected to any of the costs set forth in  
11 that AFE?

12 A. No, they have not.

13 Q. The AFE submitted to them was one that detailed  
14 the proposed plan to take this as a horizontal multilateral  
15 wellbore?

16 A. That is correct.

17 Q. What is the status of your approvals of the  
18 horizontal multilateral directional well, pursuant to  
19 Division Rule 111?

20 A. We have received those approvals.

21 Q. Okay. When we go down the list here, give us a  
22 short summary on where we stand with those parties that are  
23 not yet committed, starting with the first entry on Exhibit  
24 2, the Geodyne Nominee Corporation.

25 A. Geodyne Nom- -- Geodyne, I've had several

1 conversations with them, and their last response to me was  
2 that until such time that we push them into making a  
3 decision one way or the other, it really wasn't worth their  
4 time to evaluate, and they weren't going to be able to get  
5 their management's response until such time as they're  
6 forced to make such an election.

7           The second party, Ralph E. Williamson, we've  
8 spoke with him and I've also sent him a letter, and we're  
9 -- at this point we're not there on the terms. He's  
10 wanting one term, and we're offering another.

11           Q.    Now, as to the Geodyne interest, your  
12 understanding is, they -- you're going to need a force-  
13 pooling application in order that interest?

14           A.    Yes, it is.

15           Q.    All right. And as to Ralph E. Williamson, what's  
16 the position there?

17           A.    That's -- I'm taking the same position there.

18           Q.    All right. As we flip to the next page, then, we  
19 get down to Finwing Corporation?

20           A.    Yes.

21           Q.    What's the status of that effort?

22           A.    I've spoke with Mr. John Stark on several  
23 occasions, and his reply to me was that he didn't want to  
24 be the last one. If it was just him we were force-pooling,  
25 he would make an agreement with us based on the terms that

1 we've offered. However, he wants to go ahead and -- We're  
2 leaving this open, our offer open to these parties, to give  
3 them a chance to take our offer while this pooling process  
4 is ongoing, and he said either way, that he would either  
5 take our offer or go under the pooling order. He just kind  
6 of wanted to wait and have a little more time to think  
7 about it.

8 Q. When we get down to the next two entities, they  
9 are separated on this spreadsheet as KP Acquisition  
10 Corporation and then Kerry Petroleum Company, Inc. At the  
11 time you began negotiations and efforts, with whom were you  
12 dealing on behalf of both of those interests?

13 A. My initial talks were with Lynn Scharek, a  
14 geologist, and then I also spoke with Mr. Hardeman  
15 Stonestreet.

16 Q. Okay. Let's go back, then, and look at the title  
17 information that you have assimilated and for which you can  
18 express opinions. As of July 25th, then, of 1997, describe  
19 for us what is the total federal lease burden on the north  
20 half of 23.

21 A. On the north half of 23 the federal lease burden  
22 is one-eighth.

23 Q. All right, so it's 12.5 percent?

24 A. That is correct.

25 Q. When we look at the KP/Kerry interest, that

1 collective interest, were there burdens on that interest in  
2 terms of overriding burdens?

3 A. Yes, there were. In addition to the one-eighth  
4 royalty -- now, this is just dealing with the KP  
5 Acquisition Corporation interest -- there is also a one-  
6 sixth royalty that all the parties in the unit have.

7 And unique to KP Acquisition's interest is an  
8 additional 3-percent override. So there's a one-eighth  
9 royalty, then a one-sixth royalty, and an additional 3.25-  
10 percent royalty.

11 Q. When we translate these into percentages, the  
12 northwest quarter of 23 for the KP/Kerry interest has an  
13 underlying overriding royalty burden of 6.25? Did I get  
14 that right?

15 A. No, it has an underlying burden of -- that would  
16 be --

17 Q. 9.25?

18 A. Nine -- Yeah.

19 Q. Of which 3 percent represents an overriding  
20 royalty burden shared among certain interest owners of KP  
21 and Kerry Petroleum?

22 A. I can't speak to Mr. William -- and I don't know  
23 if I'm pronouncing this right -- Ahern --

24 Q. Ahern.

25 A. -- and C.T. Richmond, but the other royalty

1 overriding is to Mr. Stonestreet --

2 Q. All right.

3 A. -- a one-third of that 3 percent.

4 Q. In addition, what investigations have you  
5 concluded to determine if the KP interest had any  
6 additional kinds of burdens?

7 A. We've checked the federal records and we checked  
8 the county records, and in the county records we found a  
9 net proceeds interest that was attached to this interest.  
10 It's a 50-percent net proceeds interest. And we find that,  
11 based on our review of the county records, that this  
12 interest is in force and effect.

13 Q. All right, let's go back and summarize this,  
14 then. When we look at Kerry Petroleum's interest at this  
15 time, what is their percentage of net revenue? What's  
16 their net revenue interest in the spacing unit?

17 A. KP Petroleum's --

18 Q. No, the other one, Kerry Petroleum.

19 A. Okay, Kerry Petroleum, they have a one-eighth  
20 royalty and a one-sixth royalty attached to their interest.  
21 So their net revenue would be -- It would be 81.25 percent.

22 Q. Okay, that would give --

23 A. On an 8/8 basis.

24 Q. All right. So they're dealing with an 81.25-  
25 percent net working interest, is the way I would describe

1 that.

2 A. That is correct.

3 Q. Okay.

4 A. While KP is dealing with a 78.25 percent.

5 Q. All right. And the reason the KP interest is  
6 slightly less is, there's an additional 3-percent  
7 overriding royalty burden, of which 1 percent Mr.  
8 Stonestreet controls?

9 A. That is correct.

10 Q. All right.

11 A. And in addition to that the net proceeds  
12 interest, 50 percent.

13 Q. All right. Let's go through the sequence of  
14 correspondence so that you can describe for me Ms. Swierc's  
15 efforts and your efforts to obtain voluntary agreement,  
16 starting with what we've identified as Exhibit Number 3.  
17 Identify and describe that document.

18 A. Exhibit Number 3, dated June 2nd, 1997, is our  
19 original well proposal that we sent out to the parties that  
20 we identified as having a working interest within the unit.

21 Q. Okay. Attached to this proposal to participate  
22 in this well is an AFE?

23 A. Yes, it's an AFE in the amount of \$1,987,300.  
24 And this same AFE is the one that we've had parties,  
25 thirteen other parties, execute and return to us.

1 Q. All right, let's start with your efforts to  
2 negotiate an agreement with KP and Kerry. I collectively  
3 refer to them together because that's how you negotiated  
4 them, is it not?

5 A. That's correct.

6 Q. So following June 2nd, 1997, and prior to July  
7 21st of 1997, which is your next letter, summarize for me  
8 how many conversations you had, who you had them with, and  
9 what resulted.

10 A. I spoke with Mr. Lynn Scharek -- and I don't know  
11 if I'm pronouncing that one right either -- on probably  
12 three different occasions, and this was prior to July 14th.  
13 He then -- My initial conversations with him were to see  
14 whether or not they were going to participate or not. He  
15 said they were looking at it.

16 Then I called him back a few weeks later to bump  
17 him, to see where he was. He is in the Midland office. He  
18 then referred me to Mr. Stonestreet, who I reached at a  
19 Salt Lake number or -- It's Area Code 801, a Utah number.  
20 And I spoke with Mr. Stonestreet on July 14th.

21 Q. Summarize your conversation with Mr. Stonestreet  
22 concerning your negotiations in an effort to get his  
23 commitment of his interest, the KP/Kerry interest, to this  
24 project.

25 A. I basically offered, as I've offered all the

1 parties -- I offered them all the same thing, that we would  
2 be willing to purchase their interest for \$250 an acre or  
3 take a net -- or take a farm-in, which would deliver to us  
4 a 78-percent net revenue interest, proportionately reduced.  
5 This 78 percent is the level which enables us to realize a  
6 profits-to-investment ratio of 10 percent.

7 And Mr. Stonestreet had countered to me he wanted  
8 to deliver to us a 75-percent net revenue interest, subject  
9 to a 50-percent back-in, proportionately reduced.

10 Q. Were you authorized or allowed to accept his  
11 counteroffer?

12 A. Absolutely not.

13 Q. It was below this threshold?

14 A. It was below the threshold. Not only was that  
15 below the threshold, but then when you bring on that net  
16 profits interest that is attached to that interest, it was  
17 very uneconomic at that point.

18 Q. All right. Did you continue to offer to Mr.  
19 Stonestreet the opportunity to pay his share and  
20 participate in the well --

21 A. Yes, we did.

22 Q. -- as an option?

23 A. That has always been an option and still is an  
24 option.

25 Q. On July 21st, did you communicate in writing this

1 verbal proposal on participation or acquisition of his  
2 interest by a farm-in?

3 A. On July 21st, I sent a letter out where I did  
4 offer to either purchase the interest for \$250 per net acre  
5 or farm it in on a 78-percent net revenue basis.

6 Q. Let's have you identify and describe Exhibit 4,  
7 then.

8 A. Exhibit 4 is the letter dated July 21st, 1997,  
9 and on that letter were all those parties that had not  
10 elected to participate at such time as the letter went out.  
11 I offered an opportunity to either sell their interest or  
12 farm out their interest.

13 Q. On August 8th of 1997, did you receive a copy of  
14 Mr. Stonestreet's written opposition to the Application?

15 A. Yes, I did.

16 Q. And did you execute an affidavit on behalf of  
17 your company on August 15th, which was filed with the  
18 Division as part of its prehearing statement in response to  
19 Mr. Stonestreet's affidavit?

20 A. Yes, sir.

21 MR. KELLAHIN: All right. Mr. Examiner, I don't  
22 know if that's available in front of you as part of the  
23 case file, but I have an additional copy here. It should  
24 be attached -- There it is.

25 Q. (By Mr. Kellahin) The items in Mr. Stonestreet's

1 opposition was a request to have a continuance in order to  
2 continue with further negotiations with you on behalf of  
3 his company; that was one of the items he was concerned  
4 about.

5 Are you willing to continue negotiations with  
6 him, despite the fact we're at a pooling hearing today?

7 A. Yes, I'm willing to continue negotiations. I  
8 don't foresee that -- I think we've offered our best deal,  
9 and Mr. Stonestreet has offered what his company, I guess,  
10 can authorize him to offer, but we -- our offer is open,  
11 and it will stay open.

12 Q. All right. You're unable to improve the offer  
13 that you've made to him; you've made your best offer?

14 A. That is correct.

15 Q. At this point do you believe that it's necessary  
16 to have a force-pooling order issued in order to have his  
17 interest committed so that he can either participate under  
18 a pooling order, or to go nonconsent under that pooling  
19 order?

20 A. Yes, I do.

21 Q. In addition, Mr. Stonestreet raises some  
22 questions about having the availability of 3-D seismic  
23 information. Are you allowed to release to Mr. Stonestreet  
24 any of your 3-D seismic data?

25 A. No, I am not.

1 Q. In addition, Mr. Stonestreet is concerned about  
2 marketing his share of gas as a working interest owner.  
3 Have you made any investigations in determining whether or  
4 not he has reasonable access to a gas market?

5 A. Yes, I have. The gas that will come from that  
6 well will most likely, as the -- There's a well that's  
7 located in the same section that's dedicated to the Sid  
8 Richardson Gasoline Plant, some of the production from  
9 that. That's a market right there in itself, the Sid  
10 Richardson Gasoline Plant.

11 In the event that you didn't want sell to Sid  
12 Richardson, at the tailgate of Sid Richardson is an El Paso  
13 Natural Gas main line. And I've spoke with El Paso Natural  
14 Gas. They will take as little as 15 MCF per day on that  
15 line. However, there is a market with no limiting  
16 constraints there to the Sid Richardson Plant.

17 Q. Do you have an opinion, Mr. Gallegos, as to  
18 whether or not you've exhausted good-faith opportunities to  
19 negotiate voluntary agreements with all of these remaining  
20 interest owners who are not yet committed?

21 A. Yes, I feel I have.

22 MR. KELLAHIN: Mr. Examiner, we submit to you Mr.  
23 Gallegos's exhibits, which have been marked as Exhibits 1  
24 through 4.

25 EXAMINER STOGNER: Exhibits 1 through 4 will be

1 admitted into evidence.

2 MR. KELLAHIN: That concludes my examination of  
3 Mr. Gallegos.

4 EXAMINER STOGNER: Mr. Stonestreet, do you want  
5 to -- ?

6 EXAMINATION

7 BY MR. STONESTREET:

8 Q. Yes, do you remember our first conversation?

9 A. We've had a couple, but I believe I do.

10 Q. During that conversation, did you mention at all  
11 that if we can't go along with, don't go along with, that  
12 you would just go to the Commission and have us force-  
13 pooled and get 300-percent penalty? Did you ever say  
14 anything like that?

15 A. I did mention that we would try to work a deal,  
16 but at last result, if we cannot arrive at a deal, we will  
17 have to go to the force-pooling.

18 Q. Why did you say that?

19 A. I basically said it that first we want to give  
20 you the opportunity. I reiterated it in writing. But the  
21 reason I said that was, we have -- We've got certain time  
22 constraints to get this well drilled under, and that was  
23 part of the reason.

24 Q. But why did you say it?

25 A. Just to advise you that we were probably going to

1 be filing such an application.

2 Q. Were you attempting to hold a club over my head?

3 A. No, I don't feel I was.

4 Q. If you can't get what you want from us this way,  
5 you can get it from the Commission here, the Division?

6 A. With you and the other working interest owners  
7 that elected not to participate, that at a certain point we  
8 negotiate in good faith, and when we're able to come to  
9 terms, that is our last outlet.

10 Q. I guess we don't agree on negotiations in good  
11 faith, Mr. Gallegos.

12 You made an offer, we countered, and on the phone  
13 you refused to go along or even talk about anything in  
14 between; is that right?

15 A. I made my best first, that is correct.

16 Q. Have you bought any property up there in the last  
17 year or two in this area?

18 A. Yes, we -- I have.

19 Q. What do you pay an acre for it?

20 A. We pay anywhere from a range of \$150 to \$500 an  
21 acre. It varies.

22 Q. What kind of burdens?

23 A. It -- At the sale, if we go pick it up at a  
24 federal sale, it's a one-eighth burden.

25 And those burdens also vary. We'll see anywhere

1 from -- they vary anywhere -- I've seen them from 75  
2 percent to 87.5 percent.

3 Q. We're not talking about buying them from the  
4 federal government or winning the lease; we're talking  
5 about buying them from some party who may own the lease,  
6 and he'll sell it to you for X amount, reserve an override  
7 or whatever. Have you done any of that?

8 A. No, I have not, because I've worked the area two  
9 months, and I have not bought from any other party.

10 Q. Do you know anybody in your company or anywhere  
11 who's bought it and what they had to pay for it, the  
12 consideration, cash, override or anything?

13 A. The considerations that I've seen are around  
14 that. They're around \$250 an acre for an 80-percent net  
15 revenue interest delivered.

16 Most of the HBP leases out there do have  
17 overrides, but they're not as heavily burdened as I see  
18 here.

19 Q. Do you consider it, or does Burlington consider  
20 this well, the 2-23, a wildcat, development, or what have  
21 you?

22 A. We consider it a wildcat, an exploratory well.

23 Q. In your AFE it's shown as a development well. I  
24 just wondered how that...

25 A. And I will --

1 Q. It says development well, so you have a different  
2 opinion, which is fine. But the people who made the AFE up  
3 show it as a development well, I believe.

4 A. And that will be addressed --

5 MR. KELLAHIN: Mr. Examiner, we have the man that  
6 wrote the AFE and other experts to address these concerns.

7 Q. (By Mr. Stonestreet) Do you remember another  
8 conversation we had, on the telephone?

9 A. Yeah, I remember. We had a couple.

10 Q. And what were you asking me to do in the second  
11 conversation?

12 A. I was asking for the same thing, that we were  
13 willing to purchase your interest or take it on the basis  
14 of the 78-percent net revenue interest.

15 Q. Do you remember asking us to go ahead and sign  
16 the operating agreement but not join in the well, and we'd  
17 get all the information on the well as it was drilled,  
18 because you're going to get 300 percent from the Oil and  
19 Gas Division anyway?

20 A. Yes, we did say and I did represent that if you  
21 sign the operating agreement and participate in it, you  
22 would get all well information; that is correct.

23 And that is correct for any other party that's  
24 signed our operating agreement to participate in this well:  
25 You will get all the -- We will give the well information.

1           However, we will not give well information to a  
2 party that does not participate in the well.

3           Q.    In your earlier testimony, you indicated you  
4 would be willing to negotiate, quote, unquote, further on  
5 this deal?

6           A.    Negotiate further --

7           Q.    What does that mean?

8           A.    That means we'll be -- this offer stands open,  
9 the offer made by -- in writing by letter dated July 21st,  
10 1997, will stay open.  It's got a date till -- It will  
11 expire on October 1st of 1997, and I guess we're willing to  
12 leave that open.

13                    But when I say negotiate further, I do not mean  
14 better terms than the 78-percent net revenue delivered to  
15 Burlington.

16           Q.    Does "negotiate" mean give and take?

17           A.    I -- Yeah, "negotiate" means "negotiate", and I  
18 think what we did is, we started and we offered our best  
19 terms that we can and still have an economically viable  
20 project.

21           MR. STONESTREET:  That's all I have.

22           EXAMINER STOGNER:  Thank you, Mr. Stonestreet.

23           Mr. Kellahin, any redirect?

24           MR. KELLAHIN:  No questions.

25           EXAMINER STOGNER:  Mr. Carroll?

## EXAMINATION

1  
2 BY MR. CARROLL:

3 Q. I notice in the June 2nd letter, the attached  
4 list of interest owners sent the proposal, Kerry is not  
5 listed but KP is?

6 A. At that -- Yeah, at that time the title opinion  
7 that we had did not show Kerry Petroleum with an interest.  
8 I do have an updated title opinion that was updated in July  
9 of this year that does show Kerry with an interest.  
10 However, at that time, that title opinion did not.

11 Q. Okay. And in your negotiations with KP and  
12 Kerry, with Mr. Stonestreet, you didn't back off your  
13 initial offer. Did Mr. Stonestreet offer -- make another  
14 offer besides his offer?

15 I guess my question is, you both -- There's been  
16 an offer and counteroffer. Have either of your budged off  
17 each of your --

18 A. That's correct, we did not back off and neither  
19 did Mr. Stonestreet.

20 And I would like to point out here that we're  
21 looking at an interest that has, in addition, a 50-percent  
22 net proceeds interest attached to it.

23 We are going to be taken -- At a 78-percent net  
24 revenue interest, if we take that deal there and then you  
25 attach the 50-percent net-proceeds interest -- which is

1 only unique to KP's interest, to no other parties in the  
2 unit -- that is -- that in itself is uneconomical. And  
3 we're willing to take that and take it at a loss to get  
4 this well drilled.

5 Q. You're willing to take what?

6 A. The interest of KP Acquisition Corporation is  
7 subject to a 50-percent net-proceeds interest. And the way  
8 I interpret this net-proceeds interest is that 50 percent  
9 of your profits goes to another party, the holder of that  
10 net-proceeds interest.

11 So this 4 percent, the approximately 3.9-percent  
12 working interest of KP's, even if we're delivered a 78-  
13 percent net revenue interest farmout, we'll be uneconomical  
14 on a stand-alone basis.

15 Q. Maybe I heard you incorrectly. It sounds like  
16 you're willing to accept Mr. Stonestreet's counteroffer.

17 A. No, our offer is the 78 percent. We've offered  
18 to farm in to his interest, having them deliver to us 78-  
19 percent net revenue interest.

20 MR. KELLAHIN: Mr. Carroll, if I may interrupt,  
21 Mr. Stonestreet wants to retain after payout a 50-percent  
22 working interest option, which is a different critter --

23 MR. CARROLL: Oh, than the net proceeds --

24 MR. KELLAHIN: -- than the 50-percent --

25 THE WITNESS: Yes.

1 MR. KELLAHIN: -- net proceeds paid to a third  
2 party, not --

3 THE WITNESS: Yeah, I'm sorry --

4 MR. CARROLL: And he also wants to retain an

5 MR. KELLAHIN: Just --

6 THE WITNESS: Yeah, that --

7 MR. CARROLL: -- additional 3-percent --

8 MR. KELLAHIN: Rick --

9 THE WITNESS: Fifty -- Okay.

10 MR. KELLAHIN: -- one at a time. Let him  
11 finish --

12 MR. CARROLL: Okay.

13 MR. KELLAHIN: -- his question. What's the  
14 question?

15 Q. (By Mr. Carroll) Okay, I think I understand.  
16 And he also wants to retain an additional 3-percent  
17 override?

18 A. Yes, and in addition to a 50-percent back-in, or  
19 there is that net-proceeds interest hanging out there.

20 MR. CARROLL: Okay.

21 MR. STONESTREET: May I say something?

22 MR. CARROLL: Sure, go ahead.

23 MR. STONESTREET: We want to reserve an  
24 overriding royalty with election to exchange the override  
25 for a working interest at payout.



1 But we have control and authority over KP.

2 EXAMINER STOGNER: I'm going to call about a  
3 five-minute recess at this point.

4 (Thereupon, a recess was taken at 11:42 a.m.)

5 (The following proceedings had at 11:52 a.m.)

6 EXAMINER STOGNER: Hearing will come to order.  
7 Mr. Carroll?

8 FURTHER EXAMINATION

9 BY MR. CARROLL:

10 Q. Mr. Gallegos, just for clarification, will you  
11 lead us through an example of what exactly Burlington  
12 offered as to that interest and what Mr. Stonestreet  
13 counteroffered? The 78-percent net revenue interest  
14 subject to the 50-percent net proceeds, and then the  
15 counteroffer from Mr. Stonestreet?

16 A. Okay, our offer to them was to either, one,  
17 purchase their interest for \$250 an acre or, two, take a  
18 farm-in of their interest where they would deliver to us a  
19 78-percent net revenue interest, proportionately reduced to  
20 their working interest.

21 MR. KELLAHIN: With no back-in?

22 THE WITNESS: Yeah, with no back-in. And that,  
23 according to the County records, would be subject to a 50-  
24 percent net profits interest that we would have to bear,  
25 Burlington Resources.

1 Q. (By Mr. Carroll) Okay --

2 A. Mr. --

3 Q. -- how does that work, then? Give an example of  
4 some revenue figures.

5 A. Okay, I'll give you an example, just assuming  
6 that KP Acquisition owned 100 percent of the working  
7 interest.

8 Q. Okay.

9 A. They would deliver to us a 78-percent net revenue  
10 interest, so we'd be getting 78 percent of the stream.

11 And then they would reserve an override, being  
12 the difference between burdens, existing burdens, and that  
13 78 percent.

14 Q. Okay, and then how is the 50-percent net profits  
15 interest, how is that affected?

16 A. Okay, how that would affect it -- and this is  
17 based on my reading of the net proceeds instrument is that  
18 from day one when our well starts producing, if we make  
19 \$200 profits, after we paid all the royalties and everybody  
20 else and paid all our expenses, then whatever's profit, we  
21 give 50 percent of that to the party that holds the net  
22 proceeds interest.

23 Q. Okay.

24 A. So essentially we'd be giving away 50 percent of  
25 our profits.

1 Q. And Burlington is willing to accept that burden?

2 A. Yes, we are. We would not be willing to if we  
3 were doing this and had 100-percent working interest. It  
4 would be an unecon- -- it would be nonviable project for  
5 us.

6 But in this circumstances, since we're only  
7 dealing with about 3.9-percent working interest, we're  
8 willing to do so to get the well drilled.

9 Q. Okay, and Mr. Stonestreet's counteroffer is  
10 delivering you a 75-percent net revenue interest --

11 A. That's correct.

12 Q. -- with a right of conversion to 50 percent --

13 A. That would -- at payout, at such time that we  
14 paid out 100 percent of our costs.

15 Q. Okay, and that's not acceptable?

16 A. That is unacceptable. That alone, as a stand-  
17 alone proposal goes below our economic parameters. That  
18 doesn't even include adding on that 50-percent net proceeds  
19 interest.

20 Q. Uh-huh.

21 A. It would be ludicrous for us to take such a risk  
22 to drill a well and then give half of it away at payout and  
23 during the whole time be giving half away -- away half of  
24 the profits.

25 It just -- We wouldn't stay in business long,

1 doing that.

2 EXAMINER STOGNER: Anything further?

3 You may be excused.

4 Mr. Kellahin?

5 KEITH WINFREE,

6 the witness herein, after having been first duly sworn upon  
7 his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. KELLAHIN:

10 Q. Mr. Winfree, for the record would you please  
11 state your name and occupation?

12 A. My name is Keith Winfree and I'm a geologist.

13 Q. Where do you reside, sir?

14 A. Midland, Texas.

15 Q. And by whom are you employed?

16 A. Burlington Resources.

17 Q. Have you testified on prior occasions before the  
18 Division?

19 A. No, I have not.

20 Q. Summarize for us your education and employment.

21 A. I received a bachelor's degree in geology in 1981  
22 from LaMar University, received a master's degree in  
23 geology from the University of Wisconsin in 1983, and in  
24 1983 I began employment as a geologist with Exxon, and  
25 resigned from Exxon approximately two months ago and came

1 to work for Burlington Resources.

2 Q. As part of your preparation for today's hearing,  
3 have you made a review of the Wolfcamp geology that is the  
4 target portion of this wellbore?

5 A. Yes, I have.

6 Q. And while you're recently involved in the  
7 project, have you reviewed the work product of others that  
8 was developed in a geologic sense for your preparation?

9 A. Yes, I have.

10 Q. Have you satisfied yourself that you have  
11 sufficient data upon which to express opinions?

12 A. Yes, I do.

13 MR. KELLAHIN: We tender Mr. Winfree as an expert  
14 geologist.

15 EXAMINER STOGNER: So qualified.

16 MR. KELLAHIN: Mr. Examiner, we have a number of  
17 exhibits. We're not going to spend much time on each one.  
18 The built-in sequence to give you a general picture of what  
19 Burlington's strategy is in this Wolfcamp play, the first  
20 part of the puzzle, obviously, is Mr. Winfree, and then  
21 we'll follow him up by Mr. Doug Seams who is the reservoir  
22 engineer.

23 Q. (By Mr. Kellahin) All right, Mr. Winfree, let's  
24 turn to what is marked as Exhibit Number 5 and have you  
25 identify and describe this display.

1           A.    This is the Wolfcamp completion zone map. The  
2 scale is one inch equals 2000 feet. The yellow indicates  
3 the Burlington leasehold in the area, whether it be a  
4 partial interest or a full interest.

5           Q.    At this point, regardless of the color code of  
6 these various dots, those represent producing Wolfcamp  
7 wells in one or more of the three Wolfcamp zones?

8           A.    That is correct.

9           Q.    And you have identified for the Division three  
10 Wolfcamp zones, with the higher one being labeled the "A",  
11 the lower the "B", and finally the deepest is the "C"?

12          A.    That is correct.

13          Q.    All right. When we look at the Burlington  
14 acreage, but for your interest in the southwest of 23 with  
15 that El Paso well, you do not yet have producing Wolfcamp  
16 wells on your acreage; did I read that right?

17          A.    That's correct to the best of my knowledge.

18          Q.    All right. Part of the exploration strategy,  
19 then, for the development of Wolfcamp on your acreage is to  
20 commence with a well in the north half of 23?

21          A.    That is correct.

22          Q.    All right. The plan for this wellbore is for it  
23 not to be a vertical well but for it to be a directional  
24 well, insofar as it will be drilled vertically to a point  
25 to intersect the top of the Wolfcamp A, and then you're

1 going to have two laterals that would access the Wolfcamp  
2 A, right?

3 A. That is correct.

4 Q. All right. Let's set this aside and go to the  
5 next display.

6 In the southwest quarter of 23, you've got a  
7 Wolfcamp well?

8 A. That's correct.

9 Q. And Exhibit 6 is the type log for that well; is  
10 it not?

11 A. That is correct.

12 Q. Identify for us how you have separated the  
13 Wolfcamp into these three different intervals.

14 A. The entire Wolfcamp section consists of  
15 limestones interbedded with shales. The limestones have a  
16 relatively low gamma ray, and we can recognize them on this  
17 compensated neutron formation density log. The shales have  
18 a relatively high gamma-ray.

19 And as you can see, what we've colored in blue  
20 are three thick limestone layers, or three limestone layers  
21 of varying thickness. The uppermost of those is called the  
22 "A", the second is the "B", and the third is the "C". And  
23 you can see that the "A" is the thickest and the "B" and  
24 "C" are not as thick.

25 Q. All right. Does Burlington operate this well?

1 A. Yes.

2 Q. Give us a short history of the sequence in which  
3 this well was produced in the Wolfcamp interval.

4 A. It was first completed in the Wolfcamp B and it  
5 produced approximately 200 million cubic feet, and then  
6 depleted, and it's subsequently been recompleted in the  
7 Wolfcamp A just recently. The IP was approximately 2  
8 million a day. And we believe the EUR to be approximately  
9 1.6 BCF.

10 Q. You're looking for further opportunities in the  
11 Wolfcamp in this vicinity in which you have acreage  
12 position?

13 A. That's correct.

14 Q. The logical place to look is an opportunity in  
15 the north half of 23?

16 A. That's correct.

17 Q. Which portion of the Wolfcamp will you attempt to  
18 access with this well that's the subject of this case?

19 A. The initial completion will be in the A, as we  
20 mentioned before, with the horizontal laterals.

21 Q. Okay. Do you have a series of displays where we  
22 can first of all see the structural component of the  
23 Wolfcamp?

24 A. Yes, I do.

25 Q. Let's start with that. If you'll turn to Exhibit

1 7, let's look at your interpretation of the structure.

2 The type of wells identified on the display are  
3 what, sir?

4 A. These are the wells in the area that have total  
5 depths greater than 11,000 feet.

6 Q. And this log data was available to you?

7 A. Yes.

8 Q. You constructed a structure map?

9 A. That's correct.

10 Q. Any importance to structure in determining the  
11 location of the well?

12 A. No.

13 Q. Does structure affect decisions about risk for  
14 drilling in the Wolfcamp in this immediate vicinity?

15 A. No.

16 Q. All right, sir, let's set that aside and go to  
17 Exhibit 8.

18 Exhibit 8 represents to be a Wolfcamp "A"  
19 limestone isopach, right?

20 A. That is correct.

21 Q. When you're isopaching this "A" interval in  
22 relation to the type log, are you isopaching the entire  
23 Wolfcamp limestone interval shown on the type log?

24 A. That's correct, the Wolfcamp "A".

25 Q. So it would be a gross number, if you will, in

1 the Wolfcamp "A"?

2 A. Yes.

3 Q. All right, sir. You had certain data points that  
4 went into that effort, and the data points are the log  
5 information shown on wells that are illustrated on this  
6 display?

7 A. That is correct. The actual thickness value is  
8 posted just to the right of the well symbol, with the blue  
9 numbers.

10 Q. There's a green cross-section, A-A'. If you use  
11 that as a reference point and look at everything north and  
12 east of that reference point, you have a total absence of  
13 Wolfcamp well control, don't you?

14 A. That is true.

15 Q. Is this an isopach computer-generated, or did you  
16 hand-draw this?

17 A. It was generated by the computer.

18 Q. So what does the computer do if you put in this  
19 minimal number of data points, how does the computer, by  
20 its program, draw the contours?

21 A. It extrapolates away from the well control to  
22 areas where there are no well control, using the well  
23 control as a guide, basically, and it does it in a very  
24 speculative manner, obviously, since there's no data up  
25 there. It's a pure extrapolation.

1 Q. All right, sir. You're not representing to us,  
2 then, that you're going to rely on this with your expertise  
3 to determine thickness of the Wolfcamp "A" using that  
4 computer-generated isopach, are you?

5 A. Well, I can't really speculate what the exact  
6 value will be at that point. It's too speculative. I  
7 interpret there could be a range of values at that point.

8 Q. All right. It's simply a general indication of  
9 where you might go with another well location?

10 A. Right.

11 Q. All right, it's not intended to represent that  
12 that is going to be a well located where it's going to have  
13 75 feet of Wolfcamp "A"?

14 A. I would never testify that I could guarantee  
15 that.

16 Q. All right. How do you then decide for yourself  
17 what is the likely size and shape of a Wolfcamp "A"  
18 reservoir?

19 A. There's a process where you look at a range of  
20 values and you assess the risk, based on your data points,  
21 and you essentially take an average value.

22 Q. All right. Is the next step in the sequence,  
23 then, to determine the potential size and shape of these  
24 reservoirs, is to look at some cross-sections?

25 A. That's true.

1 Q. Before we leave the isopach, though, can you  
2 demonstrate for us, at least in the vicinity of Section 15  
3 to the south and west, the magnitude of range of thickness  
4 of the Wolfcamp even within that section?

5 A. Yes, as you can see, if you follow the cross-  
6 section line, B-B' on the map, as you move away from the  
7 type log in the southwest of Section 23, which has 78 feet,  
8 the next well, which would be in the next proration unit,  
9 only has 48 feet. And then the next well -- That was the  
10 Florida Exploration Number 8 Ross Draw. The next well down  
11 there, indicated as the Baxter Number 5 Ross Draw unit,  
12 only had 15 feet of limestone.

13 So it's easy to conclude that any one given well  
14 does not guarantee you're going to have a similar-looking  
15 well in the adjacent proration unit.

16 Q. Let's take a quick look at your series of cross-  
17 sections so we can get an illustration of how this is  
18 depicted in a vertical sense. If you'll take Exhibit 9,  
19 which is the A-A' cross-section, you're dealing with wells  
20 on this cross-section that are more than a mile apart?

21 A. That's true.

22 Q. And within that interval, then, as depicted,  
23 describe for us what you see in the Wolfcamp "A".

24 A. Okay. These wells represent the two wells  
25 nearest to the location in a northwest and southeast

1 direction. The type log we've looked at before, the El  
2 Paso 23, is in the center.

3 The well to the left, to the northwest, is the  
4 Adams Exploration well in Section 16, and it has about 48  
5 feet of limestone on it, indicated in blue, which is  
6 significantly less than what we saw in the El Paso.

7 The well on the right is the Florida Gas Ross  
8 Draw Number 7, down in Section 25, indicated on the map as  
9 the Adobe. That well only has 15 feet of lime.

10 So you can see that in both directions away from  
11 the type log the limestone is thinner, and it's  
12 dramatically thinner in one direction.

13 Q. When we look for Wolfcamp production in the "A",  
14 what kind of reservoir do we have here? What is the  
15 trapping mechanism?

16 A. It's a stratigraphic trap. The trap is caused by  
17 a loss of porosity.

18 Q. So as we move from location to location, the  
19 reservoir quality of the Wolfcamp deteriorates to some  
20 point that, while you're in the Wolfcamp, the containers  
21 are erratic in size and shape?

22 A. That's correct.

23 Q. Geologically, have you found that these Wolfcamp  
24 containers are small and disconnected?

25 A. Yes, that is true.

1 Q. Let's look at the B-B' cross-section. As you --  
2 Let's start the other way around. Let's start at the right  
3 side and go from B' to B. If you start with the well in  
4 the southwest quarter, what do you see in terms of Wolfcamp  
5 "A" thickness?

6 A. It's 78 feet.

7 Q. Okay, as you move to the southwest, though, what  
8 happens to the Wolfcamp?

9 A. You only have 48 feet in that well. And then as  
10 you go down to the far end of the cross-section, down in  
11 the southwest quarter of Section -- I believe that's  
12 Section 27, that well down there only has 15 feet of lime.

13 And again, this cross-section illustrates this  
14 rapid change in thickness in the lime reservoir.

15 Q. With this limited well data, are you able to at  
16 least hypothecate the likely direction that you would place  
17 a well for offsetting the well in the southwest quarter of  
18 23?

19 A. I don't think so.

20 Q. All right, you just -- you don't -- Too  
21 speculative at this point?

22 A. It is very speculative.

23 Q. All right, let's go to C-C' and see what that  
24 shows. All right, give us your conclusions about C-C'.

25 A. C-C', the left-hand well is in the northwest of

1 Section 27, the center well is in the southwest of Section  
2 27, and the right-hand well is just to the south of there,  
3 indicated on the map as the Williamson well.

4 All three of these wells have very thin  
5 limestones. The thickest one is the one on the left, which  
6 has 34 feet.

7 The importance of this cross-section is that it  
8 shows that you can't extrapolate this thick onto the south,  
9 which you might be tempted to do in normal geologic  
10 contouring. It really shows that this thick comes to a  
11 complete end in this area and points out that going to the  
12 north in Section 23, up to our proposed location, you could  
13 have exactly the same situation, where there was  
14 essentially no reservoir at all.

15 Q. That is all the available log data and  
16 information that you have available to analyze, right?

17 A. That's correct.

18 Q. Does Burlington have access to any seismic  
19 information and, if so, is it useful in the Wolfcamp?

20 A. Yes, we do have seismic -- 3-D seismic in this  
21 area, and no, it has not helped us mitigate the risk for  
22 this location at all.

23 Q. That 3-D seismic was utilized for Delaware play,  
24 was it not?

25 A. That's correct.

1 Q. And you're not able to use it for any useful  
2 purpose in the Wolfcamp?

3 A. That's correct.

4 Q. All right, set aside for a moment your  
5 involvement with Mr. Seams as a reservoir engineer, and  
6 let's just look at the exploration risk involved as a  
7 geologist with this amount of data.

8 Do you have an opinion as to what the geologic  
9 risk is in terms of a risk-factor penalty that is  
10 accessible for interest owners that won't commit to this  
11 well?

12 A. Yes, it's my opinion that the cost plus 200  
13 percent is justified.

14 Q. Now, at this point, you as a geologist have a  
15 real dilemma, don't you? Because you don't know the size  
16 and the shape of these Wolfcamp reservoirs, and you're not  
17 sure, if you hit one, how good it's going to be?

18 A. That's correct.

19 Q. What is the typical thing you do now when you ask  
20 the reservoir engineer to examine it? What are you looking  
21 for?

22 A. I'm looking for an estimate of risked reserves.

23 Q. All right. You're going to get a reservoir to  
24 tell you that when you find a Wolfcamp interval, how much  
25 gas you can expect to recover?

1 A. That is correct.

2 Q. Okay. And with that, then, you can work with him  
3 and try to approximate the size and the shape of these  
4 containers that contain the Wolfcamp gas?

5 A. That's true.

6 Q. Have you attempted to determine whether or not,  
7 based upon his reserve calculations, it's useful to further  
8 explore for Wolfcamp using vertical wells in this area?

9 A. Yes.

10 Q. And what is your conclusion?

11 A. They are noncommercial and too much risk.

12 Q. And generally why is that so?

13 A. They don't drain a large enough area to recover  
14 an economic volume of gas.

15 Q. As a strategy, then, for attempting further  
16 Wolfcamp exploration, what have you and Mr. Seams agreed to  
17 try to do?

18 A. Attempt some horizontal drilling.

19 Q. All right, what would be the potential advantage  
20 of a horizontal wellbore, as you see it as a geologist?

21 A. There really are -- There are two advantages.

22 One, in this laterally discontinuous reservoir  
23 you have a greater chance of finding more porosity by  
24 reaching out through the reservoir.

25 And secondly, we have indication that there are

1 fractures, and by going horizontal, we should be able to  
2 intersect some fractures, which should dramatically improve  
3 our permeability.

4 Q. All right, let's talk about your database for a  
5 speculation that you have a fractured reservoir. Do you  
6 have core data?

7 A. No, no core data.

8 Q. Do you have any of those core-imaging log stuff?

9 A. There are no image logs.

10 Q. What do you utilize to come to any conclusion or  
11 belief that this might be a fractured reservoir?

12 A. We have well cuttings, and we hired a consultant  
13 to describe these well cuttings for us.

14 And he found ample evidence of free calcite  
15 crystals in the samples, and free calcite crystals are an  
16 indication of fractures.

17 Q. Based upon his information and your own study,  
18 how would you characterize the reservoir in terms of its  
19 reservoir characteristics?

20 A. Well, geologically I'd say a deep-water limestone  
21 deposit. It tends to have low permeabilities, except in  
22 the vicinity of fractures where your permeabilities should  
23 be greater.

24 Vertically and laterally, the good porosity and  
25 permeability intervals are discontinuous, and there's no

1 predictive style to how these reservoirs are laid together  
2 in what we call reservoir architecture. The reservoir  
3 architecture does not seem to be organized in a predictable  
4 manner, laterally or vertically.

5 Q. Based upon that assessment, what's your  
6 conclusion about the risk?

7 A. I think to quantify it, we probably have about a  
8 one-in-two chance, and I think that justifies the cost-  
9 plus-200-percent penalty.

10 Q. Okay. There's still a significant risk. This is  
11 not a step-out Wolfcamp well that you're going to be able  
12 to play off the first well and make the second one  
13 commercial?

14 A. Right, I think the isopach and the cross-sections  
15 demonstrate that clearly. With no well control to the  
16 north, you have no indication at all what you'll find at  
17 that location.

18 MR. KELLAHIN: Mr. Examiner, at this point we  
19 move to introduce Mr. Winfree's Exhibits 5 through 11.

20 EXAMINER STOGNER: Exhibits 5 through 11 will be  
21 admitted into evidence at this time.

22 MR. KELLAHIN: That concludes my examination of  
23 Mr. Winfree.

24 EXAMINER STOGNER: Thank you, Mr. Kellahin.

25 Mr. Stonestreet, your witness.

## EXAMINATION

1  
2 BY MR. STONESTREET:

3 Q. Who picked the location of this Number 2-23 well?

4 A. I don't know if I know of all the people that  
5 were involved in the location.

6 I know Doug Seams was involved and Markus  
7 Thomerson.

8 That's the best that I can answer to my  
9 knowledge.

10 Q. Are you afraid that going to the northeast, then,  
11 this Wolfcamp section is going to thin out insofar as  
12 porosity is concerned?

13 A. I really don't have any opinion about the  
14 variation of thickness in any particular part of the  
15 section, because I have no data, and anything I say there  
16 would be pure speculation.

17 However, we will talk about the location more  
18 when Mr. Seams testifies.

19 Q. This map indicates there's about 78 feet in the  
20 1-23, in the "A" zone; is that --

21 A. That's correct.

22 Q. -- is that correct?

23 Could you have brought this location closer, or  
24 did you have to go that far up in the north part of Section  
25 23 to conform with the State rules and regulations, or

1 could you have brought it closer to the 1-23?

2 A. Again, I don't know all the details here, but I  
3 would like to try to answer your question.

4 We did move the location because of some  
5 archeological sites.

6 But again, we'll give you more detail on that in  
7 further -- later testimony.

8 Q. Would you feel more comfortable if you moved it  
9 closer to the 1-23, as far as you could, based on the state  
10 regulations?

11 A. As I said before, any change in that location is  
12 equivalent to me, because I can't speculate about what the  
13 thickness is going to be at any one given point, relative  
14 to another.

15 Q. Did you use any data from your 3-D seis to do  
16 these isopachs?

17 A. No.

18 Q. You didn't use any data, huh?

19 EXAMINER STOGNER: I'm sorry, I didn't hear the  
20 answer.

21 THE WITNESS: The answer was no.

22 Q. (By Mr. Stonestreet) When the seis was done, did  
23 they know ahead of time that you couldn't get a good  
24 picture of the Wolfcamp?

25 A. I don't know that.

1 MR. STONESTREET: That's all, thanks.

2 MR. KELLAHIN: No.

3 EXAMINATION

4 BY EXAMINER STOGNER:

5 Q. The well to the south in Unit M of Section 23,  
6 that's presently producing from Wolfcamp "A"; is that what  
7 I understand?

8 A. The El Paso Number 1-23 Federal in the southwest  
9 of 23?

10 Q. Yes, sir.

11 A. Yes, that is currently completed in the "A" zone.

12 Q. Okay, but it was initially completed in the "B"  
13 zone --

14 A. Right.

15 Q. -- and how long did it produce from the "B" zone?

16 A. I don't know that exact number, but it was not a  
17 long time.

18 Q. How was the "A" sand of the Wolfcamp -- Do you  
19 have any idea how that was stimulated?

20 A. No, I do not.

21 EXAMINER STOGNER: Okay. I have no other  
22 questions of this witness.

23 You may be excused.

24 MR. KELLAHIN: Mr. Examiner, at this time we  
25 would call Doug Seams.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

DOUG SEAMS,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Seams, for the record would you please state your name and occupation?

A. My name is Doug Seams. I'm a reservoir engineer employed by Burlington Resources in Midland, Texas.

Q. On prior occasions, Mr. Seams, have you testified as an expert in reservoir engineering in the State of New Mexico?

A. Yes, I have.

Q. And as part of your duties as a reservoir engineer, have you worked with Mr. Winfree and others to develop this prospect that is now known as the El Paso 23 Federal Well Number 2?

A. Yes, I have.

Q. In addition, have you prepared engineering calculations and reached engineering conclusions concerning the appropriate risk factor penalty to apply in this case?

A. Yes, I have.

MR. KELLAHIN: We tender Mr. Seams as an expert reservoir engineer.

EXAMINER STOGNER: Mr. Seams is so qualified.

1 Q. (By Mr. Kellahin) Mr. Seams, let's talk about  
2 the parts of your technical work. First of all, in order  
3 to aid Mr. Winfree and Burlington to determine how big a  
4 reservoir you have here, have you gone through the  
5 conventional reservoir calculations and databases to  
6 determine what you project to be the actual and estimated  
7 ultimate recoveries for these Wolfcamp wells in this area?

8 A. Yes, I have gone through all the Wolfcamp wells  
9 in this area and estimated their ultimate recoveries.

10 Q. In order to depict that as an illustration, have  
11 you created what I'd call a bubble map?

12 A. I have.

13 Q. All right, let's do that. Let's go to Exhibit  
14 12. When we look at the red circles on Exhibit 12, have  
15 you confined your calculations to just the Wolfcamp "A", or  
16 does it include all Wolfcamp production from that well?

17 A. Mr. Examiner, the bubbles on this map represent  
18 all Wolfcamp zones. And of course, the larger the bubble  
19 the larger would be the EUR. And the EUR would be noted  
20 there, just to the right of the circle.

21 Q. Obviously, these wells don't drain in circles;  
22 it's simply a depiction, if you will, to give the Examiner  
23 a sense of the relative relationship of the size of the  
24 drainage areas; is that not true?

25 A. This is true.

1 Q. All right. Give us a sense of what you're seeing  
2 in the estimated ultimate recoveries here in relation to  
3 the Wolfcamp pay interval in the "A"?

4 A. Mr. Examiner, as you take a look at this bubble  
5 map, the average -- or the estimated recoveries vary  
6 anywhere from 32 million, there kind of the left in the  
7 Federal BF Com Number 1, all the way up to 3.2 BCF there in  
8 the Phantom Draw Unit Number 1 there to the right.

9 Now, if you look at just the "A" recovery in our  
10 El Paso 23 Federal Number 1, that's going to be 1.6 BCF in  
11 that particular well.

12 Q. Describe for us how you determine an estimated  
13 ultimate recovery for these wells.

14 A. I determine the estimated ultimate recovery  
15 through these wells using decline-curve analysis, and most  
16 of these wells were in probably the last 10 percent of  
17 their reserve life, so the bulk of that number is actual  
18 cumulative production, so there's very little actual  
19 forecasting added to that.

20 Q. When we look at the well in the southwest of 23,  
21 the closest offsetting producing well, how did you forecast  
22 your ultimate recovery on that well?

23 A. We did actually forecast the reserves on the El  
24 Paso 23 Federal Number 1 in a different way. We obtained  
25 the initial pressure buildup on that well after completing

1 the well, and then about three to four months down the  
2 line, after a period of sustained production, we got  
3 another pressure buildup to where we saw an actual pressure  
4 depletion throughout the reservoir. And then being able to  
5 extrapolate that fresh completion versus the amount of gas  
6 that we produced, we can estimate that that well will  
7 produce about 1.6 BCF out of the "A" zone in the Wolfcamp  
8 in the El Paso 23 Number 1 well.

9 Q. All right. Are you satisfied that that's an  
10 accurate and reliable way to forecast an EUR for a well  
11 like this?

12 A. I am. And in fact, the current well rates  
13 probably reflect that.

14 Q. All right. Now you know you've got the potential  
15 to recover 1.6 BCF. The next challenge is to figure out,  
16 using certain assumptions, what the likely drainage area  
17 would be. Do you have a drainage map?

18 A. Yes, I do.

19 Q. Let's turn to Exhibit 13 and look at that.

20 In addition, before we look at how this is  
21 illustrated, let's look at Exhibit 14, which shows the  
22 Examiner how you went about the calculation.

23 A. Yes, Exhibit 14 shows the way that I estimated  
24 the drainage area for each one of these wells. And what I  
25 did was, I took the estimated ultimate recovery for each

1 one of these wells and then divided it by the porosity and  
2 the height of the pay zone, the gas saturation, and then a  
3 function of the initial gas formation volume factor minus a  
4 function of the final gas formation volume factor.

5 And as you look at the inputs there in the middle  
6 of the page, you can see a couple notables that I use, such  
7 as an initial reservoir pressure of 9200 pounds and a final  
8 abandonment pressure of 500 pounds.

9 This particular calculation on the bottom of the  
10 page is based on the El Paso 23 Number 1 in the "A" zone of  
11 the Wolfcamp, which calculates out to 67 acres.

12 Q. In addition, to show the Examiner the specific  
13 details of the drainage circle map on 13, you have a  
14 supporting document that's marked 15?

15 A. Yes.

16 Q. Let's look at Exhibit 15 and have you show us the  
17 specific values in the actual information.

18 A. Exhibit 15 is the actual calculations through a  
19 spreadsheet on what the drainage areas are. The well names  
20 are listed there on the left, followed by the originating  
21 company. And some other interesting facts there would be  
22 the IP, and then the EUR, and then the producing zone in  
23 the Wolfcamp, and then the feet of pay and the average  
24 porosity.

25 One thing to note, Mr. Examiner, is, on the

1 drainage areas, is the wide variance of the drainage areas  
2 in here, which is also indicative of a fractured, very  
3 heterogeneous-type reservoir.

4 Q. Let's take an example here. Let's look at the  
5 second well down on this spreadsheet, the Phantom Draw 21,  
6 Texas Pacific well.

7 A. Yes.

8 Q. Where is that well on Exhibit 13?

9 A. The Phantom Draw 21 Number 1 has a drainage area  
10 of 149 acres and is located over on the right-hand side of  
11 the drainage-area map near the bottom.

12 Q. All right, it's in Section 20, it's in the  
13 southwest of 20?

14 A. It's in the southwest of Section 20.

15 Q. All right. You read over, its initial potential  
16 was -- what, 10 million a day?

17 A. Yes.

18 Q. 10.5 million a day?

19 A. Yes.

20 Q. And as you run through the calculation, you had  
21 calculated an EUR of what? 3.2 BCF?

22 A. Yes.

23 Q. It's out of the "B" zone, you give it 30 feet,  
24 and its drainage area is only 149 acres?

25 A. That's correct.

1 Q. Is there a relationship -- Well, let's look down  
2 at another one, the El Paso 23-1, the one you just  
3 described, which is the fourth well down, has an IP of 2.5  
4 million, EUR of 1.6 BCF, and the "A" zone was 60 feet, and  
5 its drainage area is only 67 --

6 A. That's true.

7 Q. -- acres. What accounts for this, Mr. Seams?

8 A. Well, the wide divergence in drainage areas is  
9 caused by the type of reservoir that we're producing in,  
10 and this reservoir is fractured not throughout the  
11 reservoir but only in patches, and is very laterally and  
12 vertically heterogeneous. So these drainage areas will  
13 vary upon the extent that the porosity is present.

14 Q. Do you have an opinion as to where it is  
15 economically practical to explore for Wolfcamp production  
16 in this area with further vertical wells?

17 A. We've done extensive work on that, and we do not  
18 see it economically practical to continue development of  
19 this field with vertical wellbores.

20 Q. How have you recommended and how has Burlington  
21 decided to explore for Wolfcamp production in this area?

22 A. We recommend exploring the Wolfcamp in this area  
23 using horizontal extensions.

24 Q. Has anybody yet to do that here in the Wolfcamp,  
25 in this portion of the Wolfcamp area?

1 A. No, they haven't. We would be the first.

2 Q. Let's turn to 16 and have you illustrate for the  
3 Examiner using this cartoon how you think you want to go  
4 about doing this.

5 A. Mr. Examiner, what we propose is that we will  
6 take a vertical drill well, and we will drill a vertical  
7 section through the Wolfcamp "A" zone, and during that  
8 we'll core that pay zone. We'll then take that core to the  
9 surface and we'll determine fracture azimuth.

10 Once we determine fracture azimuth, we'll then  
11 orient two 1000-foot horizontal extensions perpendicular to  
12 those fracture azimuths. Now, these horizontal extensions  
13 won't be true horizontal; they'll be between 84 and 87  
14 degrees off of the vertical scale, or off of the vertical  
15 plan. So actually we'll start at the top of the Wolfcamp  
16 "A" zone, and we'll terminate 1000 feet later at the base  
17 of the Wolfcamp "A" zone.

18 Q. The process would be to drill one lateral, and  
19 then you come back and drill the other one?

20 A. Yes, we will. We'll do the vertical well, look  
21 at the core, get the fracture azimuth, drill the first  
22 lateral and then come back and drill the second lateral.

23 Q. Okay. The hope, then, would be to access more of  
24 the Wolfcamp reservoir, connect the fracture system and  
25 open up a potential drainage contribution area that would

1 be larger than available to a conventional vertical well?

2 A. Yes, it is.

3 Q. Do you have an illustration that shows the  
4 potential comparison of drainage areas between a vertical  
5 and a horizontal well?

6 A. I do.

7 Q. Let's look at Exhibit 17 and have you identify  
8 and describe that exhibit.

9 A. Mr. Examiner, shown on Exhibit Number 17 at the  
10 top is an estimated drainage area of the El Paso 23 Number  
11 1 in the Wolfcamp "A" zone. That represents 67 acres. And  
12 with a 67-acre drainage area, if it was circular, it would  
13 be 964 feet at the radius.

14 Q. All right, we've already got that information  
15 shown on Exhibit 15, and you've simply taken the radius for  
16 a 67-acre drainage circle?

17 A. Yes, I have.

18 Q. All right. Is it appropriate engineering  
19 methodology to apply that drainage distance from a vertical  
20 well to a horizontal wellbore?

21 A. Yes, it is.

22 Q. And so have you done that?

23 A. I have. Located in --

24 Q. The resulting calculation shows an expectation of  
25 a larger drainage area?

1 A. Yes, it does.

2 Q. And what does the calculation conclude?

3 A. The calculation shows that we can increase the  
4 drainage area from 67 in a vertical well to 156 total acres  
5 of drainage in a horizontal application.

6 Q. This is where you get your potential 3.7 BCF for  
7 the horizontal well?

8 A. Yes.

9 Q. All right. Let's go to the cost comparisons  
10 involved. One of the things the Examiner must do is make a  
11 judgment that your proposed AFE is fair and reasonable  
12 before he assesses those amounts against any nonconsenting  
13 interest owner. To demonstrate that comparison, let's have  
14 you turn to Exhibit 18A and identify and describe what  
15 you're showing.

16 A. 18A is a cost estimate for a vertical Wolfcamp  
17 well. Now, this vertical Wolfcamp well would penetrate all  
18 of the available Wolfcamp pay zones, the "A", the "B" and  
19 the "C", and has a total cost estimate to drill, complete  
20 and equip of \$1.7, just shy of that.

21 Q. When we turn over to Exhibit 18B, what is your  
22 forecast of the estimated cost of a directional well with  
23 the two laterals?

24 A. It's just under \$2 million, \$1.987 million.

25 Q. Okay. How can you drill a directional well with

1 two laterals that's only \$340,000 more than a conventional  
2 vertical well in the Wolfcamp.

3 A. The convertical well --

4 Q. Yeah.

5 A. The conventional vertical well in the Wolfcamp is  
6 very expensive and slow drilling through the Wolfcamp.  
7 Hence the costs rise considerably.

8 If we limit that to drilling just to the top of  
9 the Wolfcamp "A" and drilling our horizontals within the  
10 porosity section of the Wolfcamp "A", our time is greatly  
11 reduced. Hence, it's not much more expensive than a  
12 vertical well.

13 Q. Let's go to the comparison of the economics,  
14 then. If you'll turn to Exhibit 19, identify and describe  
15 here what you're concluding.

16 A. Mr. Examiner, this is a spreadsheet showing the  
17 difference in economics between a vertical Wolfcamp well  
18 and a horizontal application, where you can see the gross  
19 investment for the vertical well is \$1.7 million, unrisks  
20 reserves of 1.8 BCF. That's a combination of 1.6 BCF in  
21 the Wolfcamp "A" and about 200 million in the lower zones.

22 We have a negative rate of return on the vertical  
23 prospect and, you know, of course a negative net present  
24 value.

25 If you look at the horizontal well, it has just

1 under a \$2-million cost where we'll recover -- have  
2 unrisks reserves of 3.7 BCF as positive economics of a 24-  
3 percent rate of return and a discounted profit-to-  
4 investment ratio of 10 percent.

5 Q. Is this the kind of analysis, then, that was  
6 given to Mr. Gallegos from which Burlington concluded that  
7 in order to negotiate with uncommitted interest owners, you  
8 were not able to offer better terms than keeping a 78-  
9 percent NRI?

10 A. Yes, it was.

11 Q. Even despite this effort to try to produce  
12 Wolfcamp gas with this directional multilateral well, does  
13 that reduce the risk?

14 A. No, it does not.

15 Q. In terms of the penalty the Division is allowed  
16 to award, the maximum is cost plus 200 percent. Do you  
17 have an engineering opinion as to what the appropriate  
18 penalty should be in this case?

19 A. The appropriate penalty on this project should be  
20 cost plus 200 percent.

21 Q. Describe for us why you support that opinion.

22 A. I support this opinion for several different  
23 reasons.

24 Number one, we're going to be the first operator  
25 in the area drilling horizontals in a Wolfcamp that has

1 high reservoir pressure of 9200 pounds.

2           The second reason is geologically, is, we stand a  
3 chance of having a high risk of even finding the gross  
4 lime. And then once we find the gross lime, we have the  
5 reservoir characteristics within it of having the  
6 permeability and porosity present.

7           So we have three levels of risk which form  
8 together to be a very high level of risk for this prospect.

9           Q. Let's turn to Exhibit 20 and have you identify  
10 and describe what we're seeing here.

11           A. The top page on Exhibit 20 is a seven-day letter  
12 from the BLM showing their acceptance of our application of  
13 the APD, and then following that is our completed APD,  
14 which is currently residing with the BLM.

15           Q. Mr. Stonestreet asked a question a while ago  
16 about why this well is located where it is. Let's use this  
17 as an illustration. If you'll turn to page 3 of Exhibit  
18 20, there is a survey plat that gives you a point of  
19 reference as to how you might have an opportunity to put  
20 the laterals into this producing window allowed pursuant to  
21 the Division Rules 111?

22           A. Yes.

23           Q. All right, what's the strategy?

24           A. The strategy here was to place the well as close  
25 as possible to the center of that applicable window. We

1 did have to move the well several times in different  
2 locations in order to avoid both archaeologically sensitive  
3 sites and some environmentally sensitive sites.

4 Q. Turn to the next page, which is page 4. It gives  
5 you a wellbore diagram. Again, summarize for us how you  
6 propose to do this.

7 A. We propose to drill the vertical well, set casing  
8 on top of the Wolfcamp. We'll then drill with a core down  
9 through the Wolfcamp "A" pay zone, determine that fracture  
10 azimuth, and then orient our horizontal extensions  
11 perpendicular to that.

12 We'll drill one extension 1000 feet, and then  
13 we'll come in and drill the second extension 1000 feet, 180  
14 degrees opposed to the first. And then we'll complete the  
15 well, either through natural process or using an acid  
16 stimulation.

17 Q. Finally, let's turn to Exhibit 21 and have you  
18 use this illustration to show us how you will abide by the  
19 setback requirements of a directional wellbore approved  
20 pursuant to Rule 111.

21 A. Yes, the actual position of this well is going to  
22 be 1120 feet from the north line, 2630 from the east line.  
23 And as you can see, I have highlighted the 320-acre north-  
24 half gas proration boundary.

25 Within that is a window that's 650 feet [sic]

1 from both the east and the west lines and 660 feet from the  
2 north and the south lines, which is the window that our  
3 horizontal well must reside within. We cannot go outside  
4 of that window.

5 Q. As a reservoir engineer, do you see that the  
6 proximity of this location to the El Paso Natural well in  
7 the southwest of 23 diminishes your risk?

8 A. No, it does not.

9 Q. Mr. Stonestreet made a point of looking at the  
10 AFE, and it had been characterized as a development well.  
11 In reflection, when you look at all this information, is  
12 this a conventional development well?

13 A. No, it is not.

14 Q. And why would it not be?

15 A. There is -- As I referred to, there's really  
16 three large elements of risk.

17 You have the mechanical, you have the geological  
18 risk from finding the gross lime, and then you have the  
19 reservoir risk of finding porosity and permeability within  
20 that gross lime.

21 Q. Okay. Do you have an engineering opinion as to  
22 whether approval of this Application with your requested  
23 penalty factors would be appropriate?

24 A. Yes, it will be.

25 MR. KELLAHIN: All right. That concludes my

1 examination of Mr. Seams.

2 We move the introduction of his Exhibits 12  
3 through 21.

4 EXAMINER STOGNER: Exhibits 12 through 21 will be  
5 admitted at this time.

6 Thank you, Mr. Kellahin.

7 Mr. Stonestreet, your witness.

8 EXAMINATION

9 BY MR. STONESTREET:

10 Q. Exhibit 19 uses the term "unrisked reserves".  
11 What does that mean?

12 A. Unrisked reserves is the target that we see if we  
13 capture the zone that we hope to find.

14 Upon that you would, of course, use additional  
15 risk factors, depending on if you're able to find that  
16 zone.

17 Q. Do you really mean there's no risk here? Is that  
18 what "unrisked" means?

19 A. Oh, absolutely not.

20 Q. It's a term with which I'm not familiar. That's  
21 why I was wondering.

22 A. When you heard Keith Winfree's testimony earlier,  
23 part of the process that we went through is, he said, If I  
24 could find you a certain type of rock with this type of  
25 porosity, what type of reserves would that have in it?

1 That would be the unrisks reserves.

2 MR. STONESTREET: No further questions, thank  
3 you.

4 THE WITNESS: Okay.

5 EXAMINATION

6 BY EXAMINER STOGNER:

7 Q. Your Exhibit Number 20, has this been approved by  
8 the BLM Office in Roswell, this well location?

9 A. No, it hasn't. We're expecting approval either  
10 late this week or early next week.

11 We have gotten verbal approval from Mr. Gum in  
12 the Artesia Office.

13 Q. And that was essentially for the C-102, your  
14 directional drilling portion of the Application?

15 A. Yes.

16 Q. On your drilling well cost estimate, is there a  
17 cost in there or an estimated cost as far as wellbore  
18 stimulation?

19 A. Yes, there is.

20 Q. And where is that?

21 A. If you'll look at -- Let's take a look at the  
22 horizontal well cost estimate. The first page would be the  
23 actual drilling cost estimate, the next page would be the  
24 drilling time --

25 Q. Okay, okay.

1 A. -- and the following --

2 Q. What exhibit are you looking at?

3 A. I'm looking at Exhibit Number 18B.

4 Q. Exhibit Number 18B.

5 A. If you'll flip back to the fourth page, there's  
6 one called "Well Cost Estimate Completion". Listed there,  
7 just down from the middle of the page, called "Stimulation"  
8 we have \$33,300 estimated for the stimulation cost for this  
9 particular well.

10 Q. And what's that going to entail?

11 A. What we currently have planned is, we're going to  
12 run into each horizontal wellbore with tubing and acidize  
13 as we're pulling the tubing out of the hole so we can  
14 effectively stimulate the entire section.

15 Just above that you see "Swabbing and Coiled  
16 Tubing", Mr. Examiner? That's the coiled-tubing part of  
17 that acid job.

18 Q. In a vertical wellbore, is this well stimulation  
19 cost normally passed on through the well cost estimate and  
20 to the parties that are being force-pooled?

21 A. Yes.

22 Q. And that would be fracturing, acidizing, other  
23 normal -- what you consider normal stimulations?

24 A. Yes, these wells are typically acidized.

25 Q. After you've drilled your cored area -- that's

1 the vertical portion --

2 A. Yes.

3 Q. -- will that portion of the wellbore remain open?

4 A. We'll cement that off, and we'll do that for two  
5 reasons, is, there's some pressure considerations with  
6 having that part of the formation open.

7 And then, two, we'll need something to physically  
8 use to kick off of with our whipstock, to start the  
9 horizontal process.

10 EXAMINER STOGNER: Any other questions of this  
11 witness?

12 You may be excused.

13 Mr. Stonestreet --

14 MR. STONESTREET: Uh-huh.

15 EXAMINER STOGNER: -- do you have anything at  
16 this time that you would like to present?

17 MR. STONESTREET: No.

18 EXAMINER STOGNER: Do you have any closing  
19 statements or anything that you would like to --

20 MR. STONESTREET: Well --

21 EXAMINER STOGNER: And I believe Mr. Carroll has  
22 some questions here of you, though.

23 THE WITNESS: Okay.

24 EXAMINER STOGNER: Let's have that out of the way  
25 first.

1                    HARDEMAN L. STONESTREET,

2        the witness herein, after having been first duly sworn upon  
3        his oath, was examined and testified as follows:

4                    EXAMINATION

5        BY MR. CARROLL:

6            Q.     Mr. Stonestreet, what is Tureck Energy, Inc.?

7            A.     Tureck, that's a company by which we had financed  
8        some property through a bank in London, and they were - and  
9        Tureck is the agent for that bank.

10                  That bank -- I don't think under federal law that  
11        they could get the money, so they had to have another  
12        company to pay rather than to bank directly. I'm really  
13        not certain about all of this stuff.

14            Q.     But you don't own an ownership interest in Tureck  
15        Energy?

16            A.     Oh, no.

17            Q.     And what exactly is your position with KP and  
18        Kerry?

19            A.     I'm a senior vice president with Kerry and vice  
20        president with KP.

21            Q.     Do you have an ownership interest in each too?

22            A.     I do not.

23            MR. CARROLL:    That's all I have.

24            EXAMINER STOGNER:    Thank you, Mr. Carroll.

25            You may have your statement at this time, Mr.

1 Stonestreet.

2 MR. STONESTREET: There are several reasons why  
3 we don't want to join in this well, and as I mentioned in  
4 my letter to all of you, that in past -- I've been with  
5 Kerry since 1980, since we formed the company, and during  
6 that period of time we acquired a bunch of property in New  
7 Mexico, Eddy County, particularly.

8 And one of the wells we acquired was the Federal  
9 1-23, a part interest in it, a little interest in it. And  
10 for maybe two or three or four months, shortly, why, we  
11 were getting funds.

12 And then later on we weren't getting anything,  
13 and the operating expenses were up. This was when it was  
14 Meridian Oil. Had a whole bunch of companies, El Paso,  
15 Meridian, Meridian Oil and Trading Company, whatever.

16 And I talked to people down -- I wrote letters to  
17 Houston, Forth Worth, talked with them. I said, The  
18 operating expenses are running a lot more than the gross  
19 value of the gas being produced in the well. I said, This  
20 is a noncommercial well; let's flood the sucker.

21 And I got no response from anybody, and it kept  
22 going on and on. Finally we quit paying our operating  
23 expenses and -- It went on for years.

24 And the next thing we knew, they wanted to go in  
25 there and rework that well. And we didn't want to mess

1 with it anymore, so we just signed our interest to them.  
2 That's why we're not in the 1-23.

3 Our problem is that the -- is the whole company.  
4 They don't want to cooperate, they won't negotiate. You do  
5 it their way, or it's no way. And that's my problem.

6 And worse, they're trying to rely on the  
7 Commission, Division here, to save them on -- from all this  
8 stuff.

9 That's it.

10 EXAMINER STOGNER: Thank you, Mr. Stonestreet.  
11 Mr. Kellahin?

12 MR. KELLAHIN: To his last point, the testimony  
13 has been -- Let me put it succinctly for you.

14 I'm disappointed that Mr. Stonestreet didn't stay  
15 in that El Paso well, because had he waited it out, it was  
16 recompleted and it now produces at 2.5 million a day.  
17 There was an opportunity there that he let pass that is a  
18 disappointment, I'm sure, to him.

19 Be that as it may, it's not relevant to the case  
20 before you, which is an opportunity for him to participate  
21 in this well.

22 Mr. Gallegos has told you that all the interest  
23 owners, with the exception of these four, have signed to  
24 participate. They want to pay their share. They've signed  
25 an operating agreement. Mr. Stonestreet has another

1 position, another point of view.

2 Mr. Gallegos gave him his first and his best  
3 offer. They are apart. It's a disappointment that they  
4 can't agree, but they cannot, and we have no recourse but  
5 to ask you to enter a pooling order in this case.

6 These are the circumstances that require and  
7 invite such an order when the parties cannot agree, and we  
8 think this is one of those cases.

9 Thank you, Mr. Examiner.


10 EXAMINER STOGNER: Thank you.

11 (Off the record)

12 At this time I will take Case Number 11,837 under  
13 advisement.

14 (Thereupon, these proceedings were concluded at  
15 12:50 p.m.)

16 \* \* \*

17  
18  
19 I do hereby certify that the foregoing is  
20 a complete record of the proceedings in  
the Examiner hearing of Case No. 11837,  
heard by me on 21 August 1997.  
21  , Examiner  
22 Off Conservation Division  
23  
24  
25


## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )  
 ) ss.  
 COUNTY OF SANTA FE )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL August 26th, 1997.



STEVEN T. BRENNER  
 CCR No. 7

My commission expires: October 14, 1998