

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

JAN 22 1998

IN THE MATTER OF THE HEARING CALLED BY)	
THE OIL CONSERVATION DIVISION FOR THE)	
PURPOSE OF CONSIDERING:)	
)	
APPLICATION OF DUGAN PRODUCTION)	CASE NOS. 11,897
CORPORATION FOR COMPULSORY POOLING AND)	
DOWNHOLE COMMINGLING, RIO ARRIBA COUNTY,)	
NEW MEXICO)	
)	
APPLICATION OF DUGAN PRODUCTION)	and 11,899
CORPORATION FOR TWO NONSTANDARD GAS)	
SPACING AND PRORATION UNITS, RIO ARRIBA)	
COUNTY, NEW MEXICO)	
)	(Consolidated)

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

ORIGINAL

BEFORE: DAVID R. CATANACH, Hearing Examiner

January 8th, 1998

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, January 8th, 1998, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

I N D E X

January 8th, 1998
 Examiner Hearing
 CASE NOS. 11,897 and 11,899 (Consolidated)

	PAGE
EXHIBITS	3
APPEARANCES	4
OPENING STATEMENTS	
By Mr. Kellahin	6
By Mr. Carr	9
APPLICANT'S WITNESSES:	
<u>DAVID M. POAGE</u> (Landman)	
Direct Examination by Mr. Kellahin	11
Cross-Examination by Mr. Carr	23
Examination by Examiner Catanach	24
Examination by Mr. Carroll	27
<u>JOHN D. ROE, JR.</u> (Engineer)	
Direct Examination by Mr. Kellahin	28
Cross-Examination by Mr. Carr	60
Examination by Examiner Catanach	62
CAULKINS WITNESS:	
<u>ROBERT L. VERQUER</u> (Field superintendent, Caulkins Oil Company)	
Direct Examination by Mr. Carr	67
Cross-Examination by Mr. Kellahin	79
Examination by Examiner Catanach	87
REPORTER'S CERTIFICATE	93

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	12, 29	22
Exhibit 2	14	22
Exhibit 3	16	22
Exhibit 4	17	22
Exhibit 5	20	22
Exhibit 6	21	22
Exhibit 7	21	22
Exhibit 8	32	60
Exhibit 9	32	60
Exhibit 10	33	60
Exhibit 11	45	60
Exhibit 12	49	60
Exhibit 13	50	60
Exhibit 14	54	60
Exhibit 15	56	60
Exhibit 16	56	60
Exhibit 17	57	60
Exhibit 18	66	66

* * *

Caulkins	Identified	Admitted
Exhibit 1	71	79
Exhibit 2	73	79
Exhibit 3	75	79

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

FOR CAULKINS OIL COMPANY:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 10:12 a.m.:

3 EXAMINER CATANACH: At this time we'll call Case
4 11,897.

5 MR. CARROLL: Application of Dugan Production
6 Corporation for compulsory pooling and downhole
7 commingling, Rio Arriba County, New Mexico.

8 EXAMINER CATANACH: At the request of the
9 attorney for Dugan, we will at this time call Case Number
10 11,899 and consolidate it for the purpose of testimony.

11 MR. CARROLL: Application of Dugan Production
12 Corporation for two nonstandard gas spacing and proration
13 units, Rio Arriba County, New Mexico.

14 EXAMINER CATANACH: I will call for appearances
15 in these cases.

16 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
17 the Santa Fe law firm of Kellahin and Kellahin, appearing
18 on behalf of Dugan Production Corporation, and I have two
19 witnesses to be sworn.

20 MR. CARR: May it please the Examiner, my name is
21 William F. Carr with the Santa Fe law firm Campbell, Carr,
22 Berge and Sheridan. I represent Caulkins Oil Company in
23 this matter, and I have one witness.

24 EXAMINER CATANACH: Additional appearances?

25 Okay, will the witnesses in these cases please

1 stand to be sworn in?

2 (Thereupon, the witnesses were sworn.)

3 MR. KELLAHIN: Mr. Examiner, if you'll turn to
4 Exhibit Number 1 I'll describe for you what Mr. Dugan
5 proposes to accomplish. You can see that Section 14 is the
6 subject of the discussion.

7 In the south half of Section 14, in July of 1997,
8 Mr. Dugan acquired the southeast quarter. That was at a
9 federal lease sale. The southwest quarter is controlled by
10 Caulkins. They have 55 percent. Marathon and Louis
11 Dreyfus each share the remaining interest. They're
12 credited with 22.5 percent. Those are gross working
13 interest numbers. You have to subtract override and
14 royalty burdens.

15 In October, Mr. Dugan proposed to Caulkins the
16 drilling of a Mesaverde Dakota well in the southeast
17 quarter and to be drilled as a downhole commingled well.
18 It has been his preference to have the southeast quarter
19 set aside as a nonstandard proration unit and to allow
20 Caulkins and the interest owners in the southwest quarter
21 to drill their spacing unit.

22 You can see from the map that the only wells in
23 the south half are Pictured Cliff wells. You'll see in the
24 northwest of the southeast it says "M.D.", and there's a
25 dot. That's Dugan's proposed well. In fact, there is no

1 Mesaverda-Dakota well in that quarter section.

2 Over in the southwest quarter you're going to see
3 a gas well symbol. That's a Pictured Cliff well. Also in
4 the northwest southwest, that dot represents the Caulkins
5 proposed location.

6 In October, Mr. Dugan proposed to Caulkins the
7 formation of the spacing unit, pursued the notion of a
8 separate 160 for each. They were not able to make an
9 agreement because Caulkins wants to operate, Mr. Dugan
10 wants to operate, and there's a difference.

11 Mr. Dugan filed a compulsory pooling application.
12 It was set on the docket for, I think, late November or
13 early December. And after the case was filed for hearing,
14 Caulkins has proposed their well; they proposed their well
15 in December.

16 We have Caulkins' support, as I understand it,
17 Mr. Examiner, to have you approve each of these as two
18 nonstandard proration units, and that is our primary
19 preference. If you choose not to do that, then we would
20 like to be awarded operatorship because we have the largest
21 single interest, we proposed the well first, and we would
22 like to go forward under the pooling application.

23 In addition, I think we have the support of all
24 parties that the well ought to be drilled as a commingled
25 wellbore. There is sufficient data available to

1 demonstrate the necessity to save money, to make this an
2 economic venture by consolidating resources and drilling
3 this as a commingled well. In addition, we believe
4 Caulkins supports that concept.

5 There are minor differences in the AFE, there are
6 minor differences in other issues. But predominantly, we
7 believe the south half of Section 14 represents a unique
8 opportunity to let the parties divide a standard spacing
9 unit and to proceed accordingly.

10 It has not necessarily been the practice of the
11 Division to do that, and I'll explain why. Typically,
12 you'll have a 320 Dakota or Mesaverde spacing unit as a
13 parent well, and only later do you have an infill well. In
14 that circumstance, it is virtually impossible to separate
15 the spacing unit without disrupting equity.

16 In this circumstance, we have the unique
17 opportunity to divide this spacing unit because there, in
18 fact, has never, ever been Mesaverde or Dakota production.
19 And in doing so, we let each operator go about his business
20 of operating his well in the manner and in the means they
21 choose appropriate.

22 Therefore, we will ask you to approve the
23 separation of the standard spacing unit and to allow each
24 of these companies to proceed. Should you choose not to do
25 so, we would ask that you approve our Application for

1 compulsory pooling.

2 EXAMINER CATANACH: Mr. Carr, we don't have an
3 application for Caulkins.

4 MR. CARR: Yes, we do. It was filed the first of
5 this week and it is scheduled for the 5th of February. We
6 prefer to do the whole thing at this time at an Examiner
7 level, and on the 5th, when that case is called, we will
8 reference the hearing on this day.

9 I do have a brief opening statement.

10 EXAMINER CATANACH: Go ahead.

11 MR. CARR: May it please the Examiner, one of the
12 fundamental preconditions to obtaining a compulsory pooling
13 order from this Division is that the affected owners have
14 attempted in good faith to negotiate and agree on how the
15 acreage can be developed.

16 In fact, in this case that has happened, and the
17 parties have negotiated, and we also have a primary
18 preference, and that is for the development of the south
19 half of this section with two 160-acre nonstandard units.
20 Dugan owns all of the southeast quarter; we own or
21 represent all of the southwest quarter. And we're in
22 agreement as to how that should be done.

23 The problem is that the Oil Conservation Division
24 has expressed a reluctance to do that. But you need to
25 know we stand before you having negotiated in good faith

1 and having, we believe, resolved the issue.

2 Caulkins operates 189 wells in this area. And
3 for many years they have owned -- since the 1950s -- the
4 southwest quarter of this section, and have been unable to
5 put together a laydown unit in the south half because the
6 prior, Mead, would refuse to do it. That lease expired.
7 Caulkins nominated the southeast quarter, and Dugan was
8 successful in acquiring the lease.

9 Since that time we've had discussions with Dugan
10 representatives in the field about developing the acreage,
11 about who should operate it. Those occurred before the
12 October 8th first formal proposal of the well. And on the
13 very day the well was proposed, there were discussions
14 going on about building a surface location.

15 So I think it's not clear exactly who's first in
16 time on this one and who proposed the well first. If it
17 requires a formal letter while verbal negotiations are
18 going on, it is Dugan, and we're not fighting over those
19 facts.

20 We do believe that you've got a 50-50 ownership
21 split. Dugan owns all of the southeast because they
22 acquired the lease. But we, in an arrangement with
23 Marathon and Louis Dreyfus, own or represent all of the
24 southwest, and we have arrangements with Marathon and Louis
25 Dreyfus by which we operate other properties under the same

1 kind of agreement.

2 I agree with Mr. Kellahin, there are minor
3 differences in the AFE and overhead costs, and those aren't
4 the issue here. And we also agree that downhole
5 commingling is appropriate.

6 So there really is only one issue, and that's
7 operations. And I don't think we're even here, really, to
8 fight, but we've got to get some sort of a resolution on
9 that question from you if, in fact, this Division rejects
10 what the operators are proposing for the development of the
11 south half of this section.

12 EXAMINER CATANACH: Okay, let's proceed.

13 MR. KELLAHIN: Mr. Examiner, my first witness is
14 David Poage. He spells his last name P-o-a-g-e.

15 DAVID M. POAGE,
16 the witness herein, after having been first duly sworn upon
17 his oath, was examined and testified as follows:

18 DIRECT EXAMINATION

19 BY MR. KELLAHIN:

20 Q. Mr. Poage, sir, for the record, would you please
21 state your name and occupation?

22 A. My name is David Poage. I'm land manager for
23 Dugan Production Corporation.

24 Q. On prior occasions have you testified before the
25 Division in your capacity as an expert in land matters?

1 A. Yes, I have.

2 Q. Pursuant to your employment was it your primary
3 responsibility on behalf of Mr. Dugan to contact the other
4 potential working interest owners in the spacing unit and
5 to discuss with them how the south half of Section 14 might
6 be developed for production out of the Dakota and Mesaverde
7 formations?

8 A. That's correct.

9 Q. Are you knowledgeable about the ownership in the
10 south half of Section 14?

11 A. Yes, I am.

12 Q. Has it been your primary responsibility to
13 provide correspondence and reply to correspondence from
14 other interest owners?

15 A. Yes.

16 Q. And the primary telephone contact has been you
17 with these other companies?

18 A. That's correct.

19 MR. KELLAHIN: We tender Mr. Poage as an expert
20 landman.

21 EXAMINER CATANACH: He is so qualified.

22 Q. (By Mr. Kellahin) Mr. Poage, let me have you
23 turn, sir, to Exhibit 1, and let's take a moment and
24 identify first of all the color-coding. You've identified
25 what appears to be spacing units that are outlined in half-

1 section patterns oriented in different configurations, to
2 which you have scribed a yellow outline and the name
3 "Caulkins". What does that represent?

4 A. That's the existing established Mesaverde and/or
5 Dakota spacing units within the area surrounding the south
6 half of Section 14.

7 Q. When we look at those spacing units, there is a
8 well symbol coding. Describe for us what you mean by the
9 coding.

10 A. In an instance where you're looking at a well
11 symbol that has a P and a C next to it, as it was located
12 in the southeast southeast of Section 14, that's a Pictured
13 Cliff and a Chacra well.

14 If you go to the east, you'll see a C.M.D. with a
15 different symbol. That is a Chacra, Mesaverde and Dakota
16 well. And that's pretty much what they stand for.

17 Q. In the south half of 14, you've outlined that in
18 an orange outline. What does that represent?

19 A. That represents the south-half spacing unit that
20 would be considered for the proposed compulsory pooling.

21 Q. When we look at the southeast quarter -- it's
22 identified "Dugan 100 %" -- what type of lease are we
23 dealing with here?

24 A. It's a federal oil and gas lease covering 160
25 acres.

1 Q. And when did Mr. Dugan acquire that lease?

2 A. The lease was effective September 1st, 1997.

3 Q. And to what extent is that lease burdened with
4 royalties, overrides or production payments?

5 A. It is a standard 12-1/2-percent royalty with no
6 overrides.

7 Q. So as to the southeast quarter, then, Mr. Dugan
8 holds an 87-1/2-percent net revenue interest?

9 A. That's correct.

10 Q. When we look at the southwest quarter, when you
11 first proposed the drilling of Mr. Dugan's Mona Lisa Number
12 2 well, what was your belief as to the ownership of the
13 southwest quarter?

14 A. It was our understanding that Caulkins controlled
15 the southwest quarter, and as a result we offered the
16 opportunity to them to join with us in drilling that well
17 on that basis.

18 Q. Let's set aside the locator map for a moment, and
19 let's look at Exhibit Number 2. What have you compiled
20 here?

21 A. Exhibit Number 2 is just a listing of the phone
22 calls that I made a record of, and a brief of each of the
23 descriptions that -- the different phone calls I've made in
24 relation to the Mona Lisa Number 2.

25 Q. Prior to the first phone call on October 16th to

1 Marathon, in fact, you had other phone calls concerning the
2 property in the spacing unit?

3 A. Right, there were other phone calls.

4 Q. At this point, though, you started making
5 notations about your contacts?

6 A. That's correct.

7 Q. Okay. Let's start with that point. Mr. Dugan
8 has acquired the lease in January of 1997. What, then,
9 does he do?

10 A. We acquired our lease in September of 1997 --

11 Q. Yes, sir.

12 A. -- and proceeded to permit, drill and complete
13 and tie in the Mona Lisa Number 1 well, which is the --

14 Q. And that's a --

15 A. -- Pictured Cliff --

16 Q. -- Pictured Cliff well?

17 A. It's a Pictured Cliff-Chacra commingle, located
18 in the southeast southeast of 14.

19 Q. Okay, then what did you do?

20 A. During that same time we had also proposed to
21 Caulkins the drilling of a Mesaverde-Dakota well.

22 Q. On what basis?

23 A. On the south-half basis.

24 Q. Okay. How did the discussions proceed?

25 A. Caulkins advised us that they wanted to operate

1 themselves and advised us of a couple other minor things
2 that they had with -- problems with our AFE and that kind
3 of thing.

4 Q. Who was the company to propose the drilling of
5 the south half for Dakota-Mesaverde? Who was the first
6 company to make that proposal?

7 A. Dugan.

8 Q. And in what manner was that made?

9 A. By our letter on October 6th, I believe it was.

10 Q. The formal letter. Prior to that, you had
11 telephone conversations and expressed the desire to drill
12 and operate the Mona Lisa Number 2?

13 A. That's correct.

14 Q. If you'll turn to Exhibit Number 3, what does
15 this represent, Mr. Poage?

16 A. This is a copy of the letter, dated October 6th,
17 to Caulkins Oil Company proposing the drilling of the
18 Mesaverde-Dakota well that we signify as our Mona Lisa
19 Number 2 well.

20 Q. Mr. Verquer's name is misspelled, but you address
21 this to Bobby Verquer of Caulkins, in Bloomfield?

22 A. That's correct, I had talked to Bobby previously
23 and he advised that I should send it directly to him.

24 Q. And so you did so?

25 A. Yes.

1 Q. All right. Included with that cover letter, did
2 you submit to Caulkins a proposed AFE?

3 A. Yes, we did. It's here as Exhibit Number 4.

4 Q. Okay. What then transpired, Mr. Poage?

5 A. Well, shortly thereafter I received a phone call
6 from Marathon and about the same time frame a letter from
7 Louis Dreyfus, both of them advising me that they had
8 received the copy of the letter, operating agreement, AFE,
9 through Caulkins, and to indicate to us that they
10 definitely had an ownership in the southwest quarter.

11 And as a result of that, we furnished to all
12 three parties a subsequent letter, fully knowing already
13 that they had received the AFE, as well as the operating
14 agreement, we supplied to them a new Exhibit A to the
15 operating agreement outlining the parties' interests in the
16 south half of Section 14.

17 Q. What's your current understanding of Marathon's
18 position concerning the issue of who operates and what
19 spacing unit is formed and dedicated to the well?

20 A. I don't believe that Marathon -- and they've
21 indicated to me that they don't wish to join and have
22 offered to farm out their interest in a wellbore, southeast
23 quarter only, to us.

24 Q. Do you know what position they have taken with
25 regards to Caulkins' proposal for their well that they

1 proposed in December?

2 A. No, I do not.

3 Q. As to your well proposal, their preference is to
4 farm out?

5 A. That's correct.

6 Q. All right. Has that been acceptable to you?

7 A. No, we have not come to an acceptable conclusion
8 because of the lease burdens that they have on there.

9 Q. Let's talk about the lease burdens. Let's go
10 back to your map on the southeast quarter. You've got some
11 percentages here, and these are gross numbers, are they
12 not?

13 A. That's correct.

14 Q. Your research has caused you to reach a
15 conclusion about the total burdens on the southwest
16 quarter, has it not?

17 A. Yes.

18 Q. And what is that percentage?

19 A. Through discussions with Marathon as well as
20 Caulkins, we have found that their lease is burdened with a
21 12-1/2-percent royalty, a 3-percent override and, in
22 addition to the 3-percent override, another override equal
23 to a one-third interest.

24 Q. That one-third characterizes, I think, a
25 production payment; is that --

1 A. I think the assignment I saw characterizes it as
2 an overriding royalty equal to a one-third net profits --

3 Q. Okay.

4 A. -- which effectively would give to the owners of
5 the southwest quarter about a 51-percent net revenue
6 interest.

7 Q. So when we compare net revenue interests, Mr.
8 Dugan has the good fortune of having an 87-1/2-percent net
9 revenue interest, and the southwest quarter has 51-percent
10 net revenue interest?

11 A. That's my understanding, yes, correct.

12 Q. What significance does that have?

13 A. Well, from the standpoint of payout, risk,
14 economic analysis, the high burdens in the southwest
15 quarter would make it extremely more difficult to drill a
16 productive and economic well.

17 Q. Does that form one of the bases by which Mr.
18 Dugan wants to separate out the two quarter sections into
19 separate spacing units?

20 A. That is correct.

21 Q. What is the current status, to the best of your
22 knowledge, of the Louis Dreyfus position concerning your
23 proposal?

24 A. The last discussion I had with Louis Dreyfus, I
25 asked them as to their position as to whether they would

1 want to join in a south-half well, if that would be the
2 case, or to farm out.

3 And the response I got was, they wanted to see
4 the results of this hearing before they made that decision.

5 Q. Summarize for us what your understanding is of
6 Caulkins' position concerning your proposal as we appear
7 here today.

8 A. My understanding is that they have no problem and
9 desire, as well as we do, to drill a well in the south half
10 of Section 14.

11 Disallowing the small difference we have with an
12 AFE and those items, they're -- have always taken the
13 position that they wish to operate, and we have not come to
14 a joinder conclusion as of this date as a result of that.

15 Q. Let's turn to Exhibit 5 and have you identify and
16 describe Exhibit 5.

17 A. Exhibit 5 is a copy of the operating agreement
18 that was furnished to all parties. It includes in it the
19 new Exhibit A outlining the ownership of the south half,
20 showing Dugan Production Corporation with 50 percent,
21 Caulkins Oil Company with 27 1/2 percent, and Louis Dreyfus
22 and Marathon each respectively with 11.25 percent. Those
23 would be gross working interest percentages.

24 Q. When you turn your attention to the COPAS
25 attachment to the operating agreement, what have you

1 proposed for those parties that agree to the operating
2 agreement for a drilling well rate and a producing well
3 rate overhead on a monthly basis?

4 A. Our proposed producing overhead is -- let's see -
5 - I believe it's \$4000 per month for a drilling well rate
6 and \$400 per month for a producing well rate.

7 Q. Are those your recommendations for the Examiner,
8 should he choose to enter a force pooling order in this
9 case?

10 A. Yes, that's correct.

11 Q. How do those rates compare to what Mr. Dugan is
12 being charged by others and what he charges others for
13 Mesaverde-Dakota wells?

14 A. These are very similar for new wells being
15 drilled today.

16 Q. Okay. Let me have you identify and describe
17 Exhibit Number 6, Mr. Poage.

18 A. Exhibit Number 6 is a copy of a letter dated
19 October 28th, to Caulkins, Marathon and Louis Dreyfus, and
20 this is the letter I've referred to previously where we've
21 furnished them an Exhibit -- a new, revised Exhibit A to
22 the operating agreement.

23 Q. All right, sir. Let me have you direct your
24 attention, then, to Exhibit 7. Identify and describe what
25 you're doing here.

1 A. It's a copy of the letter that Dugan Production
2 received on December the 5th from Caulkins Oil Company,
3 well proposal for their Breech B 781, also to be located in
4 the south half of Section 14.

5 Q. All right. And this is the proposal for their
6 well?

7 A. That's correct.

8 Q. All right. At this point, Mr. Poage, do you have
9 an opinion as to whether Dugan and Caulkins are going to be
10 able to agree as to who operates the spacing unit in the
11 event the Division chooses to keep this consolidated as a
12 320 spacing unit?

13 A. As of the present time, I can not see either
14 party changing their present position as to operations.

15 Q. So we'll have to defer to the Examiner to make
16 that choice?

17 A. That's correct.

18 MR. KELLAHIN: That concludes my examination of
19 Mr. Poage.

20 We move the introduction of his Exhibits 1
21 through 7.

22 MR. CARR: No objection.

23 EXAMINER CATANACH: Exhibits 1 through 7 will be
24 admitted as evidence.

25 Mr. Carr?

CROSS-EXAMINATION

BY MR. CARR:

Q. Mr. Poage, could you return to Exhibit 2 for just a second, please? I may not have heard you correctly. It starts with the date October the 16th. That's not your first conversation concerning the prospect, is it?

A. That's correct. This just happened to be the first day that -- When I went back to compile this, to bring myself up to date, I just went back and found the notes I could. I did not attempt to add anything additional, even though I know that Bobby and I and certain other parties have had discussions relating to this well prior to those dates.

Q. You proposed the well, actually, on October the 6th? That was the date of your formal proposal; isn't that right?

A. That is correct.

Q. And there had even been discussions prior to that time?

A. I had discussed with Bobby. That is prior to that, yes.

Q. How many wells, do you know, does Dugan operate in the, say, nine-section area surrounding this prospect? Do you know?

A. I believe it's just the Mona Lisa Number 1.

1 Q. And that's the current well in the southeast
2 quarter?

3 A. That is correct.

4 Q. That's a Pictured Cliffs-Chacra completion?

5 A. Yes, sir.

6 Q. And what is dedicated to that? The 160 acres,
7 being that one lease?

8 A. Southeast quarter is dedicated to that.

9 Q. When you got the letter from Caulkins on December
10 the 4th, there was an AFE and a JOA attached; isn't that
11 correct?

12 A. That is correct.

13 Q. In the JOA from Caulkins, their overhead rates
14 were \$760 while drilling and \$237 while producing. Is it
15 your understanding that if, in fact, Dugan was named
16 operator of the south half, they would agree to those
17 operating figures?

18 A. To those particular figures?

19 Q. To those figures.

20 A. We haven't taken that under consideration.

21 MR. CARR: All right, that's all I have. Thank
22 you.

23 EXAMINATION

24 BY EXAMINER CATANACH:

25 Q. Mr. Poage, if Dugan is named the operator of the

1 south half, is it willing to drill that well, even though
2 the southwest quarter has those lease obligations?

3 A. That presents to us a large problem from an
4 economic standpoint. I think we would -- The answer to
5 that would be, yes, we would go ahead and drill the well
6 because of our 50-percent ownership in the south half.

7 It would take a -- in my opinion, and this will
8 be shown. I believe Mr. Roe has some more data to show
9 you. It would take quite a bit of time for payout and
10 economics to come into line, depending upon how the
11 arrangements can be made for either joinder or nonconsents
12 from the other parties.

13 Q. Is it your understanding that the well Caulkins
14 is proposing, is that proposed to be a downhole commingled
15 well as well? Is that your --

16 A. Well, off the top of my head I just don't
17 remember.

18 Q. Okay. Now, Dugan is the only working interest
19 owner in the southeast quarter?

20 A. That is correct.

21 Q. There are no other royalty interest owners and no
22 other overrides?

23 A. No, it's just a straight federal lease with a
24 federal royalty, and that's it.

25 Q. Do you know, with regards to the southwest

1 quarter, who owns the override on that?

2 A. I've seen the listing of who owns those. It's
3 approximately 24, 25 different people.

4 Q. Okay. And Marathon has expressed their desire to
5 farm out in the southwest quarter?

6 A. Yes, they did. They offered to Dugan to farm out
7 a wellbore position in our Mona Lisa Number 2 well, and we
8 haven't come to any acceptable agreement at this time.

9 Q. Is Marathon aware of the other proposal to form a
10 nonstandard proration unit?

11 A. To form a nonstandard? Yes, they are.

12 Q. Do you know what their position is on that?

13 A. I believe they support their position.

14 Q. And how about Dreyfus?

15 A. Same there. I believe Dreyfus would also support
16 the nonstandard proration unit.

17 Q. If Dugan is named operator of this south half,
18 are they, in fact, prepared to drill two wells?

19 A. We're prepared to operate the south half as a
20 standard operator and to drill the Mona Lisa Number 2 first
21 and then consider infills at a -- further on down the line.

22 Q. Mr. Poage, does the -- These are two separate
23 federal leases, right?

24 A. That is correct.

25 Q. Have you spoken with the BLM, or do you know if

1 they have a position with regards to this situation?

2 A. No, I have not spoken to them.

3 Q. Is there any reason, do you think, they would
4 have a problem with it or they would not accept it?

5 A. I don't have any reason to believe that they
6 would object.

7 Q. They're still going to get their royalty on each
8 of the leases?

9 A. They will receive the same amount of royalty
10 either way. And I believe it's the position of Dugan as
11 well as Caulkins to drill two wells in that south half.

12 EXAMINER CATANACH: That's all I have at this
13 point, Mr. Kellahin.

14 EXAMINATION

15 BY MR. CARROLL:

16 Q. Mr. Poage, do you know who owns the net profits
17 override?

18 A. That's split up amongst 24 -- I think it's either
19 24 or 25 people, and Caulkins, Marathon and Louis Dreyfus
20 are part of the 24 or 25. They have a small interest in
21 that as well.

22 EXAMINER CATANACH: Okay. Are we done with this
23 witness?

24 MR. KELLAHIN: Yes, sir.

25 Mr. Examiner, my next witness is John Roe. He's

1 the engineering manager for Mr. Dugan. Mr. Roe is a
2 professional registered engineer.

3 JOHN D. ROE, JR.,

4 the witness herein, after having been first duly sworn upon
5 his oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. KELLAHIN:

8 Q. Mr. Roe, for the record, sir, would you please
9 state your name and occupation?

10 A. My name is John Dale Roe, Jr., and you spell that
11 R-o-e, and I'm the engineering manager for Dugan Production
12 Corp.

13 Q. On prior occasions, have you testified before the
14 Division as a petroleum engineer?

15 A. Yes, I have.

16 Q. And pursuant to your employment by Mr. Dugan,
17 have you made an engineering study of the Mona Lisa Number
18 2 well?

19 A. Yes, I have.

20 Q. Is it your primary responsibility to make
21 recommendations to Mr. Dugan concerning the economics of
22 these various well proposals?

23 A. Yes, it is.

24 Q. While you did not prepare the AFE, are you
25 knowledgeable about the well costs involved concerning your

1 well proposal?

2 A. Yes, I am.

3 MR. KELLAHIN: We tender Mr. Roe as an expert
4 witness.

5 EXAMINER CATANACH: Mr. Roe is so qualified.

6 Q. (By Mr. Kellahin) Let's start with Exhibit
7 Number 1 here, Mr. Roe, and look at the locator map.

8 As part of your study and preparation, you have
9 examined data on the Caulkins wells in this immediate
10 vicinity, have you not?

11 A. Yes, I have.

12 Q. What is the general vintage of their Mesaverde
13 and Dakota wells?

14 A. Within the spacing units directly offsetting the
15 south half of Section 14, there's 12 wells that have been
16 drilled or are in the process of being drilled, and the
17 earliest was completed in 1959, and the most recent is as
18 late as -- It's either being completed or waiting on
19 completion tools.

20 Q. Where is the newest well that Caulkins is
21 attempting to complete in this area in the Dakota-
22 Mesaverde?

23 A. The well that we show in the southwest southwest
24 of 23 is a well that Caulkins commenced drilling in
25 September of 1997, and the last information we have on it

1 is that it's either waiting on completion or maybe
2 completion is in process. I'm not sure of the current
3 status of that well.

4 Q. Excluding that well, what's the vintage of the
5 last Mesaverde-Dakota well Caulkins drilled in this area?

6 A. The next most recent well would be completed in
7 1985. That would be their Breech B 220M.

8 Q. And then prior to that?

9 A. And, of course, they date from there back to as
10 early as January 20th, 1959, which would be their Breech
11 224.

12 Q. Are there spacing units in this immediate
13 vicinity that Caulkins operates for which there is not an
14 infill Mesaverde and Dakota well?

15 A. Yes, there's -- Well, basically, the spacing
16 units that Caulkins operates that have been developed for
17 any period of time have two wells for each spacing unit.
18 The one spacing unit that Caulkins operates that only has
19 one well would be the west half of Section 23, and that
20 would be the well that they are currently in the process of
21 completing.

22 Q. To your knowledge, to the lease burdens that
23 apply to the southwest quarter of 14 on the Caulkins lease
24 also apply to the other Caulkins-operated spacing units in
25 this area?

1 A. I would anticipate that that burden carries to
2 other wells on that same lease, but I don't know that for
3 sure.

4 Q. When we look at the southwest quarter of 14, does
5 it matter to you as an engineer doing economics that the
6 net revenue interest for the southwest quarter is 51
7 percent?

8 A. As -- From an economics standpoint, that is a
9 very heavy royalty burden and it would create a large
10 disparity, and that's the basis of the problem we see. For
11 Dugan Production it's not a problem. Our interest is going
12 to based on a lease that we have 87-1/2-percent net
13 beneficial interest. But for the owners in the southwest
14 quarter, they're going to have a substantially different
15 set of operating economics than we have.

16 Q. If any of those interest owners decide to not
17 participate in the well, then you'll have to pay their
18 share of the costs of the well, will you not?

19 A. That is correct.

20 Q. And then if the interest is burdened as you've
21 described, you can recover your costs only out of their net
22 revenue interest?

23 A. That's true.

24 Q. So what's going to happen?

25 A. Well, under those conditions, the southwest

1 quarter would be a negative economic impact to Dugan
2 Production.

3 Q. Let's turn to Exhibit 8 and have you identify
4 this.

5 A. Exhibit 8 is nothing more than a copy of the
6 C-102s. It consists of two pages. The top page is the
7 dedicated spacing unit for the Mesaverde formation, and the
8 second page would be that same information for the Basin
9 Dakota.

10 These are the C-102s that were initially
11 submitted with our APD to the BLM to drill this well, which
12 was submitted on September 3rd and approved by the BLM on
13 September 30th.

14 Q. All right. At this point, Mr. Dugan's
15 application for a permit to drill his well has been
16 approved, and he's ready to drill?

17 A. Actually, he's had a rig scheduled to be on
18 location twice. I've had to tell him we need to -- a few
19 other matters to resolve.

20 Q. So at this point we're ready to go, depending on
21 the decision of the Examiner at the hearing?

22 A. That is correct.

23 Q. All right, let's turn to Exhibit 9. In doing
24 your economics, you have to take into consideration the
25 various interests and the burdens on the half section and

1 then on each of the quarter sections; is that not true?

2 A. Yes, sir.

3 Q. And that's all this represents, is the tabulation
4 of those interests and those burdens?

5 A. That's correct. We're just trying to show, if we
6 have two nonstandard 160 spacing units, you would see the
7 net ownership of the parties listed and also the net
8 ownership of those same parties if we developed this with a
9 320-acre spacing unit.

10 Q. Okay. Let's go to the next exhibit, which I want
11 to spend some time on, Mr. Roe. This is your economic
12 analysis, and it's obviously your spreadsheet. Let's take
13 a moment to make sure that everybody recognizes how to read
14 this and how you have prepared it.

15 When we look at the first page, you have coded
16 some information to direct our attention to that
17 information?

18 A. Yes, sir.

19 Q. We are looking at the economics of what on the
20 first page?

21 A. Okay, the first page would be the economics that
22 would exist to the owners that are in the southeast
23 quarter, and that's assuming that this well would be
24 drilled on a 320-acre spacing unit. The owners in the
25 southeast quarter would have a 50-percent working interest,

1 and they would also have a net revenue interest of 43.75 --

2 Q. All right. And we find that information on the
3 left margin where it says "Cost Oil Gas"?

4 A. Yes.

5 Q. The cost is not a dollar number, it's a
6 percentage?

7 A. Yes.

8 Q. It's Mr. Dugan's gross percentage in the
9 southeast quarter --

10 A. That's correct.

11 Q. -- divided into the spacing unit, which gives him
12 the 50 percent?

13 A. Yes, sir.

14 Q. Then we look at the next column; it says "oil".
15 In fact, that is his net revenue interest, less the federal
16 royalty, proportionately reduced to the 320?

17 A. That is correct.

18 Q. All right. You're using those numbers, then, to
19 see what the economic analysis shows for Mr. Dugan and his
20 share?

21 A. That's true.

22 Q. As we go through the analysis for the southwest
23 quarter, the assumptions you've made are consistent with
24 both analyses, with the exception that you've changed the
25 net revenue interest?

1 A. That's correct.

2 Q. All right. When we look at what happens with Mr.
3 Dugan's share, you get down to the bottom where you've
4 highlighted in blue on the last row --

5 A. Yes, sir.

6 Q. -- some information. What does the 210 mean?

7 A. The 210 would be, at the end of the productive
8 life of this well the owners in the southeast quarter will
9 have spent a total of \$210,500, and that's -- in this
10 instance, was in the form of the initial investment in the
11 well. The 210 is 50 percent of our AFE.

12 Q. That would be his share of the costs?

13 A. That would be our share of the development and
14 completion costs.

15 Q. On these spreadsheets, do you calculate and
16 forecast what will be his total profit?

17 A. Yes, sir.

18 Q. And how do I find that?

19 A. Okay, that would be the next column over. That
20 would be the third column from the right side, would be the
21 cumulative cash flow. And I believe I've highlighted that
22 in blue also. At the end of the productive life we will
23 have recovered our investment plus an additional \$683,000.

24 Q. I know it's common for engineers doing economic
25 analysis to reduce that to a present-value number; is that

1 not true?

2 A. Yes, that's true.

3 Q. And that's the number that you really work with,
4 isn't it?

5 A. That's the number, considering that -- Yes, yeah,
6 basically we discount our cash flow to account for such
7 things as other investment opportunities, primarily,
8 putting your money in the bank and comparing it to what you
9 could get with no risk at all.

10 Q. All right, when you discount it what is going to
11 be the present value?

12 A. Okay. We, for this economic analysis, have used
13 a discount value of 10 percent. And using 10 percent, the
14 value of that \$683,000 equates to a present-worth value of
15 \$295,000, rounded off.

16 Q. So this deal is worth \$84,000 after you pay your
17 costs? Or is this after costs are recovered?

18 A. No, these would be after cost recovery.

19 Q. All right.

20 A. In other words, we would realize \$684,000 profit
21 after recovery, and that's worth a present value of
22 \$295,000.

23 Q. And that's a net after we take the cost out,
24 right?

25 A. That's net, that's what we would have in the

1 savings account if all of this money went to a savings
2 account.

3 Q. A lot of times people analyze these in terms of
4 the ratio of profit to investment, that kind of thing.

5 A. Yes, sir.

6 Q. Is that shown on this spreadsheet?

7 A. Our profit to investment is indicated. I didn't
8 highlight it but it's in the upper right corner, and it
9 would be right underneath the highlighted information that
10 I did show as the payout date.

11 Q. It's a little four to one?

12 A. Yes, sir.

13 Q. When Mr. Dugan makes investments on wells such as
14 this, what is his threshold of profit to investment?
15 What's the standard here?

16 A. We like to see at least a 2-to-1 profit-to-
17 investment.

18 Q. When we look at the payout period, how long is it
19 going to take Mr. Dugan to get his money back?

20 A. With this cash flow it would indicate we have a
21 1.9-year payout, which would occur in December of 1999,
22 before-tax basis.

23 Q. To make this forecast, you have made the same
24 assumptions now in terms of price, rate of production, and
25 you have simply adjusted their net revenue interest?

1 A. Yes, sir, the input data is exactly the same,
2 with the exception of the net interest.

3 Q. All right, let's see what happens to the working
4 interest owners in the southwest quarter. The Caulkins,
5 Dreyfus and Marathon interest would be 50 percent, gross?

6 A. That is correct.

7 Q. The three companies will net just over 25
8 percent?

9 A. That's true.

10 Q. All right. What happens under this analysis?

11 A. Basically, the payout would be extended from 1.9
12 years to 4.6 years on a before-tax basis. The profit-to-
13 investment would be reduced to basically a level that you
14 would still do this, that it's not a very -- Like I say,
15 it's close to what we would consider a minimum.

16 The \$210,000 investment that you see necessitated
17 because of the 50-percent working interest results in a net
18 cash undiscounted value of \$244,000, which, discounted at
19 10 percent, reduces to about \$64,000.

20 Q. Under this economic analysis is it possible for
21 Mr. Dugan to accept a farmout from Marathon and take on the
22 obligation of their burdens?

23 A. It's very difficult for us to view that as an
24 economic issue. It's -- And that's going to be one of the
25 hurdles we have to deal with if that's Marathon's election

1 to participate.

2 Q. If the companies, or some combination of them, go
3 nonconsent and you have to pay the costs of the well out of
4 your pocket, what happens to your ability to recover those
5 costs plus being compensated for the risk factor penalty
6 for assuming the risk?

7 A. Well, this economics on this second page would
8 demonstrate that we likely would not ever recover much more
9 than -- well, the risk -- We would ask for a risk factor of
10 200 percent, and that would not be provided --

11 Q. You'd never get it out of the well?

12 A. Right, thank you.

13 Q. Your recommendation to the Examiner, then,
14 concerning the ultimate solution is what, sir?

15 A. Well, it is real clear to us, because of the
16 substantial difference in the net beneficial interest that
17 exists -- One thing that I failed to point out going
18 through this is, if we use just, when do these wells get to
19 an economic limit, the interest owners in the southeast
20 quarter, because of the more -- less of a royalty burden,
21 will have a productive life of nearly 34 years.

22 That same set of economics, the interest owners
23 of the southwest quarter are going to have an economic
24 production life of 27 years.

25 So basically the last six years of this economic

1 analysis -- There's going to be a problem. Dugan is -- If
2 we're operator of a well, we're going to continually get
3 letters from Caulkins and from Marathon and from Louis
4 Dreyfus wanting to know what we're going to do, because
5 they're operating in a negative cash-flow position, and
6 we're not going to be interested in shutting the well in
7 because our economics are still positive.

8 So basically, the last six years of this
9 operation, Caulkins is either going to be in a position to
10 operate at a loss, they're going to want to make some sort
11 of deal with Dugan, or we're going to have to shut the well
12 in before we reach our economic limit.

13 And so the solution to this is, don't create that
14 problem. If we go nonstandard spacing units, Dugan's
15 operating economic limit can be identified when we get
16 there, and the Caulkins parties will not have to worry
17 about whether their month-to-month expenses are going to
18 exceed the revenue from the well. And like I say, they'll
19 be in control of their own economics.

20 Q. Let's talk about the operating rates. We've got
21 \$4000 and \$400 proposed. Caulkins is subject to an old
22 operating agreement that have kept their operating rates
23 substantially less than current price for those rates; is
24 that not true?

25 A. That's true.

1 Q. And they're proposing to apply those rates in the
2 south half of 14 simply because that's what they're stuck
3 with in their contract?

4 A. Well yes, I suspect that it's difficult for them
5 to increase those values to the current terms because
6 that's the operating agreement that's been in place, and if
7 I was one of their partners, I would object to that being
8 increased.

9 Q. Let's talk about comparing the AFEs. Mr. Dugan's
10 AFE is about what? \$420,000?

11 A. Yes, sir.

12 Q. And their AFE is what, \$490,000?

13 A. Yes.

14 Q. And the difference is attributed to what, Mr.
15 Roe?

16 A. The primary difference -- There's two significant
17 differences. Caulkins prepared their AFE anticipating the
18 use of 5-1/2-inch casing. In addition, they included
19 automation equipment in their AFE.

20 Q. Let's talk about the automation equipment. You
21 could put automation equipment on the well too for another
22 \$10,000 and do what they're proposing, could you not?

23 A. Actually, we could probably do it a little
24 cheaper than they've got on their AFE, but that's true.
25 The installation of automation equipment is -- You can do

1 it on a single-well installation, and we could do it with
2 no trouble.

3 Very few of Dugan's wells are automated, simply
4 because we have our people in the field, and we don't see
5 that there's a benefit to us, but that's something that
6 could certainly be done.

7 Q. Mr. Carr made the point that Caulkins has all
8 these operations in the immediate vicinity. In your
9 opinion as an expert, does that attribute to them any
10 advantage in terms of operating this spacing unit, that you
11 cannot duplicate?

12 A. Whether or not we -- No, it doesn't. We have
13 people that drive right by this location every day. Even
14 though Dugan Production doesn't have the good fortune to
15 have additional acreage other than the 160-acre lease we're
16 talking about, we operate around 700 wells in the San Juan
17 Basin. We have over 20 pumpers that go to the field, and
18 at least two of them drive by this location every day.

19 Q. Is there any unusual field operation that creates
20 an advantage such that Caulkins should be the operator?

21 A. None that I'm aware of.

22 Q. Any special -- Anything produce water?

23 A. Not that I'm aware of.

24 Q. What is your plan to give pipeline connections
25 and that kind of thing? What is available in the area for

1 you as well as for Caulkins?

2 A. Well, I do believe that's one issue that Caulkins
3 has -- It's my understanding they are connected to Williams
4 Field Services, although I don't know that.

5 Our plans would be to tie into El Paso system.
6 We're probably within a mile and a half of the El Paso
7 plant.

8 And our Mona Lisa 1, like I say, we've -- we only
9 had the lease in September -- effective September 1st. We
10 actually acquired it in July. But we've already drilled a
11 well and got it hooked up to El Paso, and it's producing
12 gas into the pipeline, and our plans would go back to El
13 Paso with a second well and any future wells.

14 Q. Can you figure out anything, Mr. Roe, that gives
15 Caulkins an advantage over your operating this well, simply
16 because they have other Mesaverde and Dakota wells that
17 they operate in this vicinity?

18 A. Well, for Caulkins it would be an additional well
19 that would help share any overall expenses that they would
20 have. So I can see that there would be a benefit to them.

21 But for Dugan production, I don't see -- Like I
22 say, for us it's just another well in the San Juan Basin
23 and, like I say, we already operate close to 700 wells. I
24 don't see that it's a big problem for us.

25 Q. There's a difference in cost attributable to the

1 fact that Caulkins has proposed 5-1/2-inch casing and Dugan
2 has proposed 4-1/2-inch casing; is that not true?

3 A. Yeah, there's -- Their casing costs for 5 1/2
4 would be right at \$43,000, compared to our casing costs for
5 4 1/2 of \$28,000.

6 We would -- We desire to run 4-1/2-inch casing,
7 and we've written our AFE to do so, but that would be
8 contingent upon us having some confidence that we could
9 downhole commingle the Mesaverde and Dakota and produce
10 both zones with one string of tubing.

11 If for any reason it looks like we can't downhole
12 commingle and we may have to install dual sets of tubing,
13 we also probably would look to running 5-1/2-inch casing.
14 That would increase our AFE cost from about \$18,000 and
15 make it fairly close to what Caulkins -- They AFE at
16 \$43,000. If we ran 5-1/2-inch casing, it would increase
17 our overall AFE costs by about \$22,000.

18 We -- As with any well we drill, we try to keep
19 our completion costs to minimum, and we can do that with
20 4-1/2-inch casing.

21 Q. The only reason to run 5 1/2 is if the Examiner
22 denies your ability to drill this as a commingled wellbore?

23 A. That's true.

24 Q. So the issue is here to discuss and resolve now?

25 A. It would be very important to us to know the

1 Commission's position regarding downhole commingling
2 because, yes, if there's any question we also would look to
3 5-1/2-inch casing.

4 Q. All right, let's turn to that topic then. Let's
5 start with Exhibit 11. Let's talk about where we're going,
6 and then we'll talk about how you get there.

7 When you look at the commingling issues that the
8 Division deals with, one of the first is to have you reach
9 an opinion as to which of these zones or both zones are
10 anticipated to be marginal. Do you have such an opinion,
11 Mr. Roe?

12 A. Yes, I do.

13 Q. And what is that opinion?

14 A. Well, in our view, both zones, both the Mesaverde
15 and the Dakota, fall within economic criteria that would be
16 used to establish marginal nature. Within the near
17 vicinity there's been a substantial amount of information
18 that has demonstrated that the Dakota beyond any doubt is
19 marginal, meets the definition of marginal.

20 And I just might point out that basically a
21 standard procedure for wells in this immediate vicinity to
22 produce the Mesaverde and Dakota is through downhole
23 commingling.

24 Q. The Caulkins wells in here that have Mesaverde
25 and Dakota in them are currently commingled, are they not?

1 A. That's correct.

2 Q. You used as a reference case, if you will, the
3 Conoco order that approved their unitwide commingling of
4 various formations including the Dakota and Mesaverde for
5 the San Juan 28 and 7 unit?

6 A. Yes, I --

7 Q. How far away is that unit from you?

8 A. Okay, the San Juan 28-7 unit is approximately --
9 The boundary of that unit is approximately four miles to
10 the northwest from this acreage.

11 Q. We've included a copy of the order, and we'll
12 talk about your analogies and how you tie together in just
13 a minute.

14 A. Yes.

15 Q. When we talk of the other commingling issues, to
16 the best of our knowledge there's no split, vertical split,
17 in ownership between the Dakota and Mesaverde in this
18 section?

19 A. That is correct.

20 Q. So your allocation formula is intended to be
21 what? How do you propose to allocate?

22 A. Well, we would propose using a fixed allocation
23 from date of first production. And as was shown on the
24 C-107-A form that we're offering as Exhibit Number 11,
25 we're proposing a split of gas and condensate between the

1 zones of 40 percent to the Mesaverde and 60 percent to the
2 Dakota.

3 Q. And what's your basis for getting the fixed
4 percentage split?

5 A. Well, when we discuss the reference case and the
6 resulting order from Conoco in their 28-7 unit, they
7 demonstrated, at least to the satisfaction of the
8 Commission and certainly to my satisfaction, that a fixed
9 allocation percentage is workable for Mesaverde and Dakota
10 production in this area.

11 And when you look at the offset wells, the
12 cumulative production -- which we'll also show that in a
13 subsequent exhibit, and I'll go over that in a lot more
14 detail -- the 40-60 split would be pretty close to what you
15 see in offset wells regarding -- with respect to current
16 production and cumulative production.

17 Q. One of the issues to address is the possibility
18 that you'll have a Dakota pressure higher than the original
19 pressure of the Mesaverde. You've made that assumption,
20 have you not?

21 A. Yes, sir.

22 Q. And you're asking this Division Examiner to grant
23 you an exception from that pressure limitation in the event
24 you should get pressures in the Dakota that exceed the
25 original pressure in the Mesaverde?

1 A. That's correct.

2 Q. In your opinion, is that good engineering
3 practice and sound judgment?

4 A. Yes.

5 Q. And you have reasons to support that?

6 A. Yes, I do.

7 Q. Okay. In looking at your projections on the well
8 and forecasting the economics, you have made the assumption
9 that both the Mesaverde and the Dakota will not be
10 pressure-depleted in the half section?

11 A. Yes, I have.

12 Q. That represents a substantial risk, does it not?

13 A. Yes, it does.

14 Q. Do you have a recommendation to the Examiner,
15 should he choose to enter a pooling order, as to what the
16 risk factor penalty ought to be?

17 A. We would recommend that the maximum allowable
18 penalty be established in this case, and we would ask that
19 that penalty be 200 percent.

20 Q. Based upon what reasons, sir?

21 A. Well, we are drilling on a lease that has 12 --
22 or 10 wells immediately offsetting us that have produced
23 for some time, some as far back as 1959.

24 I presented the economics and the pressure
25 analysis, assuming that our acreage has not been affected

1 by any prior production.

2 But as an engineer, I have to consider the fact
3 that there has been a substantial amount of production
4 occur from the offset wells. In fact, in the Mesaverde the
5 10 wells have produced 3.9 billion cubic feet of gas, and
6 the 10 wells in the Dakota have produced 8.6 billion cubic
7 feet of gas.

8 So it's certainly possible that there could be
9 some pressure depletion that we encounter in the south half
10 of Section 14.

11 Q. Let's turn to Exhibit 12. As part of your offset
12 well data information submitted for commingling, you have
13 tabulated what here, sir?

14 A. This presents -- What I've attempted to do here
15 is walk around our spacing unit, starting to the north, and
16 if you look back to our Exhibit 1, those would be the
17 spacing units that we're looking at here.

18 For instance, to the north we have two wells,
19 Caulkins' Breech B 220R and 220M. I've given you the
20 locations, API numbers, pertinent data for those wells. If
21 you look across the tabulation, I even show the downhole
22 commingling order that was issued in each instance that
23 allows those wells to be downhole commingled, and I've also
24 indicated the allocation factors that were authorized in
25 those orders for both gas and condensate.

1 And kind of the last thing in that tabulation, in
2 the far right side, would be just a listing of what is the
3 average production from the Mesaverde and Dakota for both
4 gas and condensate.

5 And so I've indicated we have fully developed
6 320-acre sections -- or spacing units, to the north,
7 northeast, east, southwest and west. And we have two
8 spacing units that have only a parent well in them, so
9 there would be room for an infill well. And then we have
10 one spacing unit to the northwest -- or a spot for a
11 spacing unit to the northwest that has no Mesaverde or
12 Dakota development.

13 Q. Let me have you turn to Exhibit 13. Summarize
14 for us the information you're submitting on Exhibit 13.
15 What's the purpose here?

16 A. Okay, Exhibit 13 again looks at the spacing units
17 that are adjacent to the south half of Section 14. It
18 looks at the individual wells, and the upper portion of the
19 first page on Exhibit 17 presents the information that's
20 pertinent to the Blanco-Mesaverde Pool. And the lower
21 portion of the page on Exhibit 13 presents that same
22 information for the Dakota completions.

23 As I mentioned a little bit earlier, you can see
24 by individual well the cumulative production, and my data
25 is as of April 1st of 1997. The total of those 10 wells is

1 3.9 billion cubic feet of gas and nearly 40,000 barrels of
2 condensate.

3 From the Mesaverde those same spacing units have
4 produced 8.6 billion feet of gas plus nearly 93,000 barrels
5 of condensate from the Dakota.

6 An additional piece of information that is shown
7 on Exhibit -- the first page of Exhibit 13, would be what
8 I'm showing as the initial production rate that existed for
9 these wells back basically the first month of production.

10 And the primary reason that I wanted to show that
11 is to be able to draw a comparison between these wells and
12 wells that would exist in the San Juan 28-8 unit,
13 approximately four miles to the northwest. And I would ask
14 you to keep in mind -- And we'll have additional
15 information on that in a little bit, but typically a
16 Mesaverde well in the San Juan 28-7 unit would start out
17 with initial production around 20 million a month.

18 You can see looking down through our 10 Mesaverde
19 wells, with the exception of one well, all of our wells
20 would be smaller, start with a lower rate, and therefore
21 not quite as good of a Mesaverde section as exists in the
22 San Juan 28-7 unit.

23 That same type of analysis with the Dakota, the
24 initial rate that Conoco presented for their wells in the
25 San Juan 28-7 unit for the Dakota completion was 13.3

1 million a day, and with the exception of four wells in the
2 Dakota, all wells in offset production spacing units were
3 lower than that.

4 Q. So when we compare rates of both formations to
5 those that were in the Conoco unit, you anticipate lesser
6 rates?

7 A. That is correct.

8 Q. And we're dealing with the Conoco order that
9 approved their commingling of their wells?

10 A. Yes, sir. I'm depending upon that order pretty
11 heavily, because Conoco presented a tremendous amount of
12 information to support the marginal nature of the Dakota
13 and the fact that downhole commingling of Mesaverde and
14 Dakota is an acceptable completion procedure and will not
15 be harmful to either zone.

16 Q. In terms of looking at economics, your spacing
17 unit appears to be less favorable than the economics
18 presented by Conoco in their case?

19 A. That is correct.

20 Q. If the Examiner wants to look at the production
21 decline curves on each of the Mesaverde wells in your area
22 plus the Dakota wells in your area, you have coded these so
23 that he can see where that rate would be had he applied the
24 Conoco criteria to your wellbore?

25 A. Yes, I have.

1 Q. Let's do that so we can see how you've
2 illustrated it. Let's turn to the first one. It's the
3 Breech 1 220R well?

4 A. Yes, sir.

5 Q. The initial rate on that well is what, in the
6 Mesaverde?

7 A. Okay, what I've done there in pencil, if you just
8 inscribe a production trend through the actual production
9 data, which I've done with the straight line there, that
10 would have an initial starting rate of 7500 MCF per month.

11 And the dot that would be above the scale there
12 -- in fact, it's a little circled dot that's right below
13 the well label -- that would be a point on that production
14 graph that would equate to Conoco's 20.5 million a month
15 that they consider to be typical of an average Mesaverde
16 well in the San Juan 28-7 unit.

17 Q. And so by analogy you have taken each of these
18 production plots, made those forecasts, compared it to what
19 the Conoco criteria was for economics, and determined as to
20 initial rate you're substantially less than what they
21 demonstrated the rate to be?

22 A. That is correct.

23 Q. All right. When you've finished the analysis and
24 the comparison to the Conoco 28 and 7 well, are you able to
25 ultimately conclude that your economics in the Mesaverde

1 and Dakota are less favorable?

2 A. That is true.

3 Q. Let's turn to the other issue on the -- or the
4 next issue on commingling. If you'll direct your attention
5 to Exhibit 14, identify and describe for us what we see
6 here.

7 A. Okay, Exhibit 14 is a presentation of what I
8 would anticipate the initial pressure to be for the
9 Mesaverde completion, the Dakota completion, and then
10 taking that data and putting it at a common pressure base,
11 I have estimated what the Dakota pressure at a datum for
12 the Mesaverde would be.

13 The information that allowed me to do this was --
14 or the source of my information was the initial shut-in
15 tubing pressures that each well, each of the offset wells,
16 reported at the time of their completion.

17 That information, as far as the data that was
18 used to arrive at what I anticipate Mesaverde and Dakota
19 pressures to be, that base information is presented on
20 Exhibit Number 12 under the columns, "initial shut-in
21 tubing or shut-in casing pressures".

22 I've taken that data, averaged it to arrive at
23 what I would expect Mesaverde and Dakota pressures to be,
24 and then using standard procedures I've calculated what
25 those pressures would be at bottomhole conditions.

1 And that's basically what you see on the front
2 page of Exhibit 14. The second and third pages of Exhibit
3 14 would be simply what we would anticipate the gas
4 composition to be from a Mesaverde well that Dugan operates
5 and from a Dakota well that Dugan operates in the general
6 areas of what we're talking about.

7 And the primary purpose of showing those analyses
8 is, through these calculations some of the compositions of
9 the gas is important to arrive at an accurate calculation
10 of bottomhole pressure, and that's the primary purpose of
11 that.

12 Q. Conoco presented pressure data and obtained
13 Division approval to commingle, despite the fact that they
14 had the potential for pressure variations that exceeded the
15 standard and the rule?

16 A. Yes, they did.

17 Q. All right. How does your pressure forecast in
18 your area compare to what Conoco forecasted and obtained
19 approval to do?

20 A. Our pressures that we anticipate and that are
21 presented on Exhibit 14 are very, very similar to the
22 pressures that Conoco presented. In fact, Conoco's
23 pressures are just a little bit higher, but the data that
24 was presented for San Juan 28-7 unit, our pressures are, I
25 believe, very comparable.

1 Q. And again, the pressures you're anticipating have
2 been used under the assumption that your spacing unit has
3 not been pressure depleted?

4 A. That is correct.

5 Q. All right. Let's show the Examiner the
6 relationship so he can see where this spacing unit is in
7 relation to the 28 and 7. If you'll turn to Exhibit 15 --

8 A. Okay.

9 Q. -- show us the comparison.

10 A. Okay. Exhibit 15 is nothing more than just a
11 well-location map for this general area, and I've
12 delineated the southeastern boundary -- actually the
13 boundary for the southern part of the San Juan 28-7 unit,
14 although the western boundary looks like it got cut off.
15 The western boundary of the San Juan 28-7 unit is right
16 along the western edge of the paper, and you can see
17 portions of the boundary indicated there.

18 From -- And I've also outlined the south half of
19 Section 14, so you can see we're -- not a stone's throw
20 away, but we're certainly within a distance of the San Juan
21 28-7 unit that -- What information exists for it, I
22 believe, is -- it's reasonable to consider at our location
23 four miles to the southeast.

24 Q. And then identify for us Exhibit 16.

25 A. Exhibit 16 is a copy of the order that was issued

1 in Conoco's reference case. Again, that case was Number
2 11,815. It was heard in July and August of 1997. It's a
3 very recent case. And the order that was issued in that
4 was R-10,476-B, and that is -- And Conoco, in their case,
5 was considering other intervals in addition to the
6 Mesaverde and Dakota, although I am principally for this
7 hearing using the information from that case that applies
8 to the Mesaverde and Dakota intervals.

9 Q. They were dealing with a data set that gave them
10 information on -- what? 133 Dakota wells and 118 Mesaverde
11 wells?

12 A. Yeah, they basically have a substantial well
13 count, both in the Mesaverde and Dakota. And I believe the
14 numbers you mentioned are accurate, which provides them
15 with a substantial amount of information for both
16 intervals.

17 Q. And you've examined the data from that case and
18 satisfied yourself that the application to your area is
19 reasonable and appropriate for commingling purposes?

20 A. Yes, I have. I've reviewed -- I obtained a copy
21 of the transcripts in this case, I've reviewed the
22 transcripts, and it's my opinion that this is some awful
23 good information, and it is applicable to our area.

24 Q. Let's turn finally now to Exhibit 17, which is
25 taken from the Conoco case file -- it was their Case --

1 Exhibit 36 -- and have you describe what you're showing
2 this for.

3 A. Well, what I wanted to show this -- and again,
4 there was lots of information in the transcripts that I
5 thought was good, but what Conoco is presenting here -- and
6 as I indicated, there's more than just the Dakota and the
7 Mesaverde that Conoco was dealing with, although for our
8 purposes the upper two curves on this production curve
9 would represent -- the very top curve is -- I should have
10 color-coded this -- is their Mesaverde average performance.
11 And the second curve down would be what they are presenting
12 as an average production performance for the Dakota
13 completions in the San Juan 28-7 unit.

14 Now, to generate this data, they only used 44
15 Dakota wells and 42 Mesaverde wells, but what they've done
16 is, they've normalized all production. No matter what year
17 it started to produce, they started at year one and come up
18 with an average production for year one, an average
19 production for year two, year three and so forth, and plot
20 it here.

21 And so they give us not only where the initial
22 production started -- For instance, the Dakota had an
23 initial rate, Conoco presented, of 437 MCF a day. I've
24 converted that to millions per month. And it's that
25 information that I had compared the offset wells to on an

1 earlier exhibit.

2 Same thing for the Mesaverde, Conoco starting out
3 with an initial rate of 20.5 million a month, and you can
4 see what they are presenting as a typical production
5 decline trend.

6 In other words, a Dakota well would start at 13.3
7 million a month, decline for the first year at 52 percent,
8 the second year at 19 percent, and then it would stabilize
9 to the economic limit at 8 percent.

10 It's basically that production decline
11 information that you'll see presented --

12 Q. It's on your Exhibit 13, I think.

13 A. Right, it's that information that I've traced
14 over the offset well data on Exhibit 13. And the reason
15 for me doing that was to show you that the offset wells in
16 this general area, with respect to Mesaverde and Dakota
17 production in the San Juan 28 and 7 unit, we're typically
18 dealing with smaller wells.

19 Q. Because of the marginal nature of the production
20 you anticipate in both the Dakota and Mesaverde for this
21 spacing unit, in your opinion is it necessary to minimize
22 the amount of money spent on this type of well?

23 A. Yes, that's standard Dugan operating procedure,
24 to always keep that at an optimum, if at all possible. And
25 the kind of wells we're looking at, and considering the

1 risk involved, the initial drilling and completion costs
2 would be very important.

3 Q. At this point, then, in your opinion, your AFE
4 for \$420,000 is fair and reasonable?

5 A. Yes.

6 Q. And you would recommend using the 4-1/2-inch
7 casing, as opposed to 5-1/2?

8 A. If there is no question about the issue of
9 downhole commingling, yes.

10 Q. And if that issue has to be deferred, then you'll
11 have to spend the additional money and put the 5-1/2-inch
12 in?

13 A. Yes, sir.

14 MR. KELLAHIN: All right. That concludes my
15 examination of Mr. Roe.

16 We move the introduction of his Exhibits 8
17 through 17.

18 MR. CARR: No objection.

19 EXAMINER CATANACH: Exhibits 8 through 17 will be
20 admitted as evidence.

21 Mr. Carr?

22 CROSS-EXAMINATION

23 BY MR. CARR:

24 Q. Mr. Roe, if I understood your testimony, because
25 of pressure depletion -- and there's a potential for that

1 in the south half of this section -- and the marginal
2 production that you anticipate from the two principal
3 zones, it was your testimony the 200-percent risk penalty
4 would be appropriate; is that right?

5 A. Yes.

6 Q. And that would apply regardless of who prevailed
7 and was operating this tract if, in fact, they were
8 carrying something?

9 A. Yes, sir.

10 Q. When we look at the AFE, there's a disparity in
11 the AFE costs. Your decision to go with 4-1/2 casing, as
12 opposed to 5-1/2, really is dependent upon the
13 determination as to the request to downhole commingle;
14 isn't that right?

15 A. Yes, sir.

16 Q. In the southeast quarter of the section, Mr.
17 Dugan has a Pictured Cliff-Chacra well; isn't that correct?

18 A. Yes.

19 Q. If a well was drilled in the southwest quarter of
20 this section, if you were drilling one in the southwest
21 quarter and considering a dual completion of commingled
22 production, say, with the Pictured Cliffs, wouldn't it be
23 prudent in that circumstance to have 5-1/2 casing?

24 A. I understood you to say that we would possibly in
25 that new well in the southwest quarter be commingling

1 Pictured Cliff-Chacra with the Mesaverde-Dakota? I --

2 Q. If you commingled Mesaverde-Dakota, you could
3 still -- we'd have the option with larger casing to, say,
4 dually complete with one of those other zones, wouldn't we?

5 A. Yes, if you chose to dually complete. But I
6 might point out that there is a Pictured Cliff well already
7 there, and so you would just be looking at adding the
8 Chacra. And if we were to choose that type of a completion
9 -- which, I might add, Dugan Production wouldn't look
10 forward to operating that kind of a well setup, two zones
11 commingled through one string and a separate zone through a
12 dual string of tubing, that would be a little more
13 complicated than we --

14 Q. If you were doing that, 5-1/2 casing would be
15 what you would need, though, don't you agree? You wouldn't
16 try it with 4-1/2?

17 A. I for sure wouldn't try it with 4-1/2, and I'd
18 probably run 7-inch.

19 Q. Your overhead and administrative costs are \$4000
20 while drilling and \$400 while producing; is that correct?

21 A. That's correct.

22 MR. CARR: That's all I have.

23 EXAMINATION

24 BY EXAMINER CATANACH:

25 Q. Mr. Roe, you don't see the pressure differential

1 in the Mesaverde and Dakota to be a problem in a
2 commingling situation?

3 A. I don't, Mr. Catanach. I think there's no
4 question the Dakota is substantially higher pressured than
5 the Mesaverde, but as Conoco spent quite a bit of time
6 demonstrating, because of the low-permeability nature of
7 Mesaverde and Dakota, just a small amount of producing
8 time, the operating bottomhole pressure between each zone
9 would be very comparable.

10 And because of the tight nature of the reservoir,
11 if you were to shut either zone in or, in the instance of
12 commingled, shut both zones in, the buildup time to come
13 back to original pressure or near original pressure would
14 be, very likely, much longer than the anticipated shut-in
15 times.

16 So if there is any crossflow between -- from the
17 Dakota to the Mesaverde, it will be just a very brief
18 period during the early productive life of the well.

19 Q. Okay. Your proposed allocation is based mainly
20 on offset production. Does Dugan intend to actually
21 conduct a test on the well?

22 A. If the Commission would approve the fixed
23 allocation between zones, we wouldn't anticipate
24 individually testing again.

25 If individual tests are required, that would add

1 about \$25,000 to our completion costs. And as with any
2 well, any time you produce and then kill the well and move
3 things around, you always run the risk of getting some
4 trash or jeopardizing the completion that you've just
5 effected.

6 So our anticipated completion would be to not
7 test individually, perforate both Mesaverde and Dakota,
8 probably the same day, stimulate the same day or sequential
9 days, and put the well on production.

10 Q. You've got pretty good faith in your numbers?

11 A. I've looked at all offset wells, and I've spent a
12 substantial amount of time looking at other Mesaverde-
13 Dakota information, even in addition to the San Juan 28-7
14 unit.

15 And so yes, I think we've been producing the
16 Mesaverde and Dakota in the San Juan Basin long enough that
17 there is a tremendous amount of information available
18 with -- not too far away from this. I mean, there's some
19 operators now looking at going to 80-acre spacing in
20 Mesaverde -- or 80-acre drainage, not spacing.

21 So Mesaverde and Dakota both are mature pools. A
22 lot of information has been developed. All -- I shouldn't
23 say all. There is one well operated by Chateau that's not
24 downhole commingled, but I don't understand why. With that
25 one exception, all the offset wells are downhole

1 commingled.

2 There's a reference order in the San Juan 28-7
3 unit that initially allowed them to downhole commingle 17
4 wells upon completion, and the reference order that we
5 offered as Exhibit Number 16 allows any subsequent well in
6 the San Juan 28-7 to be downhole commingled initially. And
7 it was Conoco's conclusion that a fixed allocation factor
8 is fine and will protect correlative rights.

9 And we have, in our south half of Section 14, the
10 ownership in the Mesaverde and Dakota is the same. So even
11 if there is a small difference, it shouldn't affect
12 anybody's interests within the south half of Section 14.

13 Q. Okay. Let me ask you about -- Have you looked at
14 any of the geology in this area, Mr. Roe?

15 A. Well, yes, I have. Dugan's geologist has worked
16 the geology pretty well, and I've reviewed that geology
17 with him.

18 Q. Okay. Let me ask you about what your opinion is
19 as to -- If there are two separate units established here
20 and there are two separate wells drilled, are these wells
21 going to be comparable in terms of producing rates?

22 A. Well, what we can -- we see -- There is no
23 information that I'm aware of that would tell us there
24 should be a significant difference between southeast and
25 southwest.

1 Our geologist, the way he plots the -- isopachs
2 the Mesaverde thickness, the thickness in the southeast
3 quarter is identical to the thickness in the southwest
4 quarter. And the same thing exists in the Dakota.

5 Now, I will qualify that. The only information
6 to the south we have is Caulkins' recently completed well.
7 We did obtain those logs and have included that information
8 in our analysis, and with that reservoir information
9 geologically the Mesaverde and Dakota are very similar in
10 the southeast and southwest.

11 Now, with regards to production information, you
12 don't know until you drill. But reservoir-thicknesswise,
13 we're looking at very similar pools in both quarters.

14 Q. So it is your opinion that the wells will be
15 comparable --

16 A. Yes.

17 Q. -- in terms of producing rates?

18 A. Yes, sir.

19 EXAMINER CATANACH: I think that's all I have.

20 MR. KELLAHIN: Mr. Examiner, our last Exhibit is
21 18. It's our certificate of notification. We would move
22 the introduction of Exhibit 18.

23 EXAMINER CATANACH: Exhibit Number 18 will be
24 admitted as evidence.

25 Is there anything further, Mr. Kellahin?

1 MR. KELLAHIN: No, sir.

2 EXAMINER CATANACH: Five minutes? Let's take
3 five minutes.

4 (Thereupon, a recess was taken at 11:40 a.m.)

5 (The following proceedings had at 11:55 a.m.)

6 EXAMINER CATANACH: Call the hearing back to
7 order and turn it over to Mr. Carr at this time.

8 MR. CARR: Mr. Catanach, at this time we call
9 Robert L. Verquer.

10 ROBERT L. VERQUER,
11 the witness herein, after having been first duly sworn upon
12 his oath, was examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. CARR:

15 Q. Will you state your full name for the record?

16 A. Robert L. Verquer.

17 Q. And where do you reside?

18 A. Aztec, New Mexico.

19 Q. By whom are you employed?

20 A. Caulkins Oil Company.

21 Q. And what is your current position with Caulkins?

22 A. Superintendent.

23 Q. You're the field superintendent for Caulkins?

24 A. Yes, I am, sir.

25 Q. Have you previously testified before this

1 Division?

2 A. No, I have not.

3 Q. Could you briefly summarize for Mr. Catanach your
4 educational background and your work experience?

5 A. High school graduate from Bloomfield High School.
6 I went to work for Caulkins Oil Company in 1980 as a fuel
7 pumper and since then have been promoted --

8 Q. Mr. Verquer, you're going to have to speak up
9 just a little. That microphone doesn't amplify your voice.

10 A. I was employed by Caulkins Oil Company in August
11 of 1980. From that point I've worked my way up through the
12 company until my father retired in December of 1992, and I
13 took over the superintendent position.

14 Q. While with Caulkins, have you participated in
15 various courses and special programs on oil and gas
16 production?

17 A. Multiple seminars on frac stimulation, cementing,
18 well drilling, frac -- whatever.

19 Q. Are you familiar with the Applications filed in
20 each of these cases by Dugan Production Corporation?

21 A. Yes, I am.

22 Q. And are you familiar with the subject area?

23 A. Yes, I am.

24 Q. How many wells does Caulkins actually operate in
25 this area?

1 A. 189 wells, 210 meter stations, 314 producing
2 zones.

3 MR. CARR: Mr. Catanach, at this time we tender
4 Mr. Verquer as an expert -- as a practical oilman.

5 EXAMINER CATANACH: Any objection?

6 MR. KELLAHIN: No objection.

7 EXAMINER CATANACH: Mr. Verquer is so qualified.

8 Q. (By Mr. Carr) Mr. Verquer, are you familiar with
9 the Application filed in this case by Caulkins for
10 compulsory pooling of the same acreage which is the subject
11 of this hearing?

12 A. Yes, I am.

13 Q. And that case is scheduled for hearing on
14 February the 5th; is that right?

15 A. Right, correct.

16 Q. When we compare that application to the
17 Application filed by Dugan, both of you are seeking to pool
18 the same 320-acre tract; isn't that right?

19 A. That's correct.

20 Q. Both of you are seeking to downhole commingle
21 production from the Blanco-Mesaverde and the Basin-Dakota
22 Gas Pools; is that correct?

23 A. That's correct.

24 Q. Dugan seeks to be the operator, if there's a
25 south-half unit, with his case, and we seek to be operator

1 of the south-half unit with our Application; is that right?

2 A. That's right.

3 Q. Dugan also has an Application whereby Dugan is
4 proposing two nonstandard units, one comprised of the
5 southeast quarter of the section, the other of the
6 southwest quarter of the section?

7 A. That's correct.

8 Q. Dugan would operate the southeast quarter under
9 his proposal, and Caulkins would operate the southwest. Is
10 that how you understand it?

11 A. Yes, it is.

12 Q. Does Caulkins support the development of the
13 south half of the section with two 160-acre spacing or
14 proration units?

15 A. Yes, we do.

16 Q. With two units, and if Caulkins was the operator
17 of a 160-acre unit comprised of the southwest quarter, how
18 would you propose to complete the well?

19 A. If we get the nonstandard proration units,
20 Caulkins will drill a Dakota-Mesaverde-Chacra well. This
21 would be a dual -- dually completed. We'd downhole
22 commingle Dakota-Mesaverde and then produce the Chacra
23 through a separate string.

24 Q. And for that reason it's essential that you have
25 5-1/2-inch casing in the well; is that right?

1 A. Yes, sir, it is.

2 Q. Could you identify for Mr. Catanach what's been
3 marked as our Exhibit Number 1?

4 A. The map, the land map.

5 Q. And it shows the south half of 14, which is the
6 subject proration unit?

7 A. Yes, it does.

8 Q. It's got an indication over the southeast quarter
9 that says "Mead". Who is Mead?

10 A. Mead was the previous owners. They had
11 originally drilled a Pictured Cliff well on this and
12 produced at the final plug and abandonment. After
13 abandoning the well, they left -- there had been no other
14 production drilled or anything done on the sections for a
15 period of three to four years.

16 I went down and nominated this 160-acre block so
17 that we could go ahead and drill our Dakota well on this
18 south half of this section. Dugan was successful in
19 outbidding us for this southeast quarter.

20 Q. And that brings us here today, right?

21 A. Right.

22 Q. Can you review the ownership in the south half,
23 as you understand it?

24 A. The ownership in the south half, we've had for
25 approximately years. My father had attempted to drill a

1 Dakota well on this southwest quarter, 15, 20 years ago.
2 He contacted the Mead owners. They were not interested,
3 and we had some other infill wells that we were drilling at
4 the time through 26-6, so we didn't push the issue. And we
5 haven't for that period of time.

6 We're getting to a point where we've pretty well
7 drilled all the infill wells, so the southwest quarter is
8 what I started looking at back in the spring of -- it would
9 be the spring of 1997 when I nominated this southeast
10 quarter, because we decided we'd drill this if we wanted to
11 drill the Dakota.

12 Q. Dugan acquired the lease and therefore has the
13 working interest -- all the working interest in the
14 southeast quarter; is that correct?

15 A. That's correct.

16 Q. Does Caulkins represent the working interest
17 ownership at this hearing today in the southwest quarter?

18 A. Yes, we do.

19 Q. All of that will be voluntarily committed; no
20 pooling would be needed in the southwest quarter?

21 A. No.

22 Q. And the other partners are Marathon and Dreyfus
23 in that acreage?

24 A. Yes, they are.

25 Q. Do you operate other properties in which the

1 Marathon and Dreyfus interests are also involved?

2 A. Approximately 150 wells operated by Caulkins Oil.
3 Any of our Breech wells are all standard 55 percent, 22.5,
4 22.5, and the 22.5-percent owners being Dreyfus and
5 Marathon.

6 Q. Mr. Verquer, would you go to what's been marked
7 as Exhibit Number 2, the AFE? You were present here today
8 for the testimony of Mr. Roe, were you not?

9 A. Yes, I was.

10 Q. And do you agree with the comparison between the
11 Caulkins AFE and the Dugan AFE made by Mr. Roe?

12 A. Yes, I do.

13 Q. Basically, the two differences in the AFEs relate
14 to casing size and the adding of automation to the well,
15 which Caulkins is proposing; is that correct?

16 A. Yes, it is.

17 Q. Why are you proposing to automate the well?

18 A. Automation -- Caulkins over the last three years
19 has automated approximately 80 wells out in our field,
20 wells that are producing more than 200 MCF per day or have
21 a smaller producer on the same location that we could tie
22 in simply.

23 What we've been able to do with automation out in
24 the field is decrease waste by blowing wells to the
25 atmosphere by over 90 percent, by using the automation.

1 We have software in the office that we can
2 communicate with the wells in the field, turn the wells on
3 and off and control the wells by a daily nomination, which
4 allows us to meet our spot market obligations very easily.

5 Q. In your opinion, has automation of these wells
6 resulted in more efficient operations?

7 A. In my opinion, yes.

8 Q. Does your AFE reflect actual costs that have been
9 incurred by Caulkins during your 1997 drilling program?

10 A. Yes, it does.

11 Q. Do you concur with the testimony that's
12 previously been presented concerning the efforts made to
13 reach voluntary agreement for the development of this
14 acreage?

15 A. Yes, I do.

16 Q. In your opinion, has a good-faith effort been
17 made all the way around to come up with a proposal?

18 A. I think it has, yes.

19 Q. In this immediate area, how many wells does
20 Caulkins actually operate?

21 A. 189 wells.

22 Q. And what percentage of the wells in this portion
23 of these fields would you estimate that Caulkins operates?

24 A. Excuse me?

25 Q. Can you estimate the percentage of wells operated

1 in, say, this immediate area by Caulkins?

2 A. Ninety to 95 percent right there in the immediate
3 area.

4 Q. In the nine-section area surrounding the well,
5 how many wells are you aware that Mr. Dugan actually
6 operates?

7 A. The only well I'm aware of right there in the
8 immediate area is the one -- the Mona Lisa Number 1.

9 Q. The Caulkins Exhibit Number 3, is that the letter
10 that was sent by Caulkins to Dugan proposing the pooling of
11 this acreage in December of this year?

12 A. Yes, it is.

13 Q. I think it would helpful for you to review the
14 contacts, the first contact that you had with Dugan
15 concerning the development of the south half of this
16 acreage.

17 A. First contact I made with Sherman Dugan, we were
18 drilling the 377 well, had Four Corners drilling up on our
19 377 well in Section 23, and I had seen Sherman down in the
20 canyon, and he was staking the Mona Lisa Number 2 and the
21 Mona Lisa Number 1, the PC-Chacra well.

22 Sherman and I spoke, and I had mentioned that we
23 had planned on, now that we had an owner that we could deal
24 with in the southeast quarter, that we would plan on
25 drilling a Dakota well in 1997.

1 I also offered at that time to operate the
2 Pictured Cliff-Chacra that they were planning on drilling,
3 and we just joked about it. He offered to operate all of
4 my wells also, and we went on about business. But we
5 talked about drilling a well down here.

6 And the next -- I believe the next time I was
7 talked to about a Dakota well was when Dave Poage called me
8 -- and I'm not sure on what the date was. We were frac'ing
9 our 8M well. He'd called, and they had a caterpillar down
10 in the canyon and wanted to move on to the Mona Lisa Number
11 2 and build a location.

12 I had not seen a formal proposal on who would be
13 the operator or an operating agreement at that time. I
14 said, This sounds like we should go ahead, and told him to
15 go ahead and build a location.

16 When I got to town that evening, the formal
17 proposal was on my desk. After reading it, I called him
18 back and told him, Let's hold off, because we needed to
19 talk about who's going to be the operator, and it's come to
20 here.

21 Q. The only written proposal from Caulkins was the
22 December 4th letter; is that right?

23 A. That's correct.

24 Q. And with that letter was the AFE and a joint
25 operating agreement; is that right?

1 A. Yes, it was.

2 Q. What were the overhead and administrative costs
3 set forth in the joint operating agreement? Let me show
4 you here.

5 A. Oh, overhead drilling and administrative was \$760
6 during drilling and \$237 per month to operate the well.

7 Q. Are these the standard costs that Caulkins sets
8 forth in the operating agreements that it has with its
9 partners in the area?

10 A. Yes, these are standard charges that Caulkins
11 normally charges to other wells that we operate in
12 partnership.

13 Q. And are these the figures that Caulkins would
14 recommend be incorporated in the order that results from
15 this hearing if this Application for compulsory pooling is
16 granted?

17 A. Yes, it is.

18 Q. Do you agree with Mr. Roe that the acreage has
19 suffered pressure depletion?

20 A. Yes, I do.

21 Q. And do you agree that each of these zones is
22 capable, potentially, of only marginally production?

23 A. Yes, I do.

24 Q. In your opinion, is there a chance you could
25 drill a well at the proposed location that would not be a

1 commercial success?

2 A. There's always a chance, yes.

3 Q. Do you recommend that a 200-percent risk penalty
4 also be imposed on anyone who doesn't participate in the
5 well if you're designated operator?

6 A. Yes.

7 Q. And Caulkins is seeking to be designated operator
8 of the south half of this section if, in fact, that acreage
9 is pooled; is that right?

10 A. Yes.

11 Q. As to the downhole commingling portion of this
12 case, do you concur with the Dugan testimony that the
13 efficient way to produce the Basin-Dakota and Blanco-
14 Mesaverde is to downhole commingle those zones?

15 A. Yes, I do.

16 Q. In fact, you're downhole commingling those zones
17 in virtually every well that you operate in this immediate
18 area; is that not right?

19 A. That's true.

20 Q. And will you file an administrative application
21 seeking authorization to downhole commingle production in
22 the wells which you operate on this property?

23 A. Yes.

24 Q. Do you have anything further to add to your
25 testimony?

1 A. Not that I can think of, no.

2 Q. In your opinion, will approval of the Caulkins
3 Application, pooling the south half of the section and
4 designating Caulkins operator be in the best interests of
5 conservation, the prevention of waste and the protection of
6 correlative rights?

7 A. Yes, I do.

8 Q. If, in fact, you are designated the operator,
9 will Caulkins proceed with the drilling of both wells, the
10 one in the southwest quarter and the one in the southeast
11 quarter?

12 A. Yes.

13 Q. Were Exhibits 1 through 3 prepared by you or
14 under your direction?

15 A. Yes, they were.

16 MR. CARR: At this time, Mr. Catanach, we'd move
17 the admission of Caulkins Exhibits 1 through 3.

18 EXAMINER CATANACH: Exhibits 1 through 3 will be
19 admitted as evidence.

20 MR. CARR: And that concludes my direct
21 examination of Mr. Verquer.

22 CROSS-EXAMINATION

23 BY MR. KELLAHIN:

24 Q. Mr. Verquer, Dugan's formal well-proposal letter
25 was dated October 6th, and it was sent to you and you

1 received that letter?

2 A. Yes, I did.

3 Q. In relation to the date of the letter, October
4 6th, when did you get the letter?

5 A. However long the mail takes to get there. I'm
6 not sure of the date, the exact date I received that.

7 Q. Upon receiving the letter, did you come to the
8 conclusion that you wanted Caulkins to operate the well, as
9 opposed to Dugan?

10 A. Yes, we do.

11 Q. And so -- Do you report to somebody else in
12 Caulkins?

13 A. My boss is in Denver, Harley Higbie and Pat
14 Robinson.

15 Q. Who makes decisions on proposing wells on behalf
16 of your company to other interest owners?

17 A. I initially will propose the wells, and then the
18 money is gathered in Denver to go ahead and -- Pat Robinson
19 would be the one that would gather the money from the
20 partners to drill the wells.

21 Q. So when you reached the conclusion that you
22 wanted Caulkins to operate the well if it was a south-half
23 spacing unit, you made that pretty quickly after the
24 October 6th letter?

25 A. We made the decision that we wanted to drill a

1 Dakota well that -- when I nominated that property down
2 there.

3 Q. So even before it was up to lease, you wanted to
4 drill and operate the well?

5 A. We -- Yes, we had planned on drilling and
6 operating a Dakota well in that south half of that section.

7 Q. And you knew in July, then, of 1997, that Dugan
8 got the lease and not you?

9 A. Yes, I did.

10 Q. And you knew in September that the lease was
11 issued to Dugan and not to Caulkins?

12 A. Yes, I did.

13 Q. Then why did you wait till December 4th to
14 formally propose your well?

15 A. We had no plans of drilling that well in the 1997
16 program. We were going to drill a Dakota well in the 1998
17 program.

18 Q. You waited two months after you got Mr. Dugan's
19 proposal before you got around to proposing a competing
20 well?

21 A. Caulkins has actually waited 40 years to drill --

22 Q. Caulkins has waited 40 years? Is that true with
23 your other acreage in the area, when we exclude Section 23?
24 Well, let's look at Section 23 to the south.

25 You're drilling the 377?

1 A. I have drilled and completed the 377 well.

2 Q. And that's a recent well?

3 A. Yes, it is.

4 Q. And Caulkins controls Section 23?

5 A. Yes, it does.

6 Q. And so for what, 40 years you didn't drill
7 Section 23?

8 A. Geologically, Section 23 and -- in that area.
9 That Dakota well is the furthest Dakota well to the south
10 in our field, or the furthest Dakota well in the south of
11 anybody's leases around there. It is supposed to be poor
12 Dakota country, and we've just gotten around to drilling
13 that.

14 Q. Why did you drill in the north half of 23, as
15 opposed to going to the south?

16 A. We wanted to go to the furthest well to the
17 south, because we do have all the acreage in between there
18 to come back toward the north.

19 Q. Do you know what the lease burdens are on the
20 southwest quarter of 14?

21 A. No, I don't, other than we own -- Caulkins has 55
22 percent and Marathon/Dreyfus both 22.5. Dreyfus took over
23 Marathon's.

24 Marathon did not -- What am I trying to say?
25 Marathon -- I've lost my wording.

1 Q. Well, let me ask you a different question. Do
2 you know what Caulkins' net revenue interest is in the
3 southwest quarter of 14?

4 A. No, I don't.

5 Q. Do you know what Marathon's net revenue interest
6 is in the southwest quarter of 14?

7 A. No, I don't.

8 Q. Louis Dreyfus?

9 A. No, I don't.

10 Q. Do you know if those burdens apply to Section 23
11 as well as the southwest of 14?

12 A. I would say the burdens would be the same, but I
13 am not positive.

14 Q. Do you know if those burdens apply to any of the
15 other spacing units surrounding the south half of 14?

16 A. No, I don't.

17 Q. Would that be an explanation of why Caulkins has
18 waited so long to drill further wells in the Dakota and
19 Mesaverde, because of those burdens?

20 A. I would not say so because of -- from talks I've
21 had with my dad, which was the superintendent of this
22 company for 40 years, they attempted to drill a Dakota well
23 here back 15, 20 years ago and could not get a line through
24 -- or an agreement between the Mead ownership and them to
25 go ahead and drill it, so they just dropped it.

1 Q. Let me talk about your proposal in the southwest.
2 You're proposing to drill a downhole commingled Mesaverde
3 and Dakota, and you want the opportunity to dual that with
4 the Chacra?

5 A. Yes, if we could get the nonstandard proration
6 unit.

7 Q. Okay. In the absence of a nonstandard proration
8 unit, it would be pretty difficult to utilize this wellbore
9 for the Chacra, because Mr. Dugan would have no interest in
10 the Chacra?

11 A. That's right.

12 Q. And so we would have the complexities of
13 allocating costs to Mr. Dugan for the Dakota and Mesaverde
14 and yet somehow not charge him for the incremental share of
15 the Chacra?

16 A. If we do not get the nonstandard proration unit
17 and Caulkins is ordered the operator of that 320 acres,
18 there will be a Dakota-Mesaverde well drilled, and Caulkins
19 at some later date will drill the Chacra well on another
20 location.

21 Q. That introduces a further problem, then. We
22 ought to split these things in half, don't you think? You
23 operate the southwest quarter and do what you want with the
24 Chacra, and let Mr. Dugan operate the southeast quarter?

25 A. I agree with that.

1 Q. That seems to make sense, doesn't it?

2 A. Yes, it does.

3 Q. Are the overhead rates that you're proposing, are
4 they dictated to you because you're stuck with some old
5 operating agreements that provide those low rates?

6 A. Pat Robinson handles this out of Denver. He sent
7 me these figures down. Apparently these are overhead rates
8 that they use, standard with Caulkins Oil Company. Why
9 they use these figures I have no idea.

10 Q. So you can't answer my question?

11 A. I can't answer your question, no.

12 Q. You can forecast that both these zones are likely
13 to be marginal, so you and Mr. Roe agree on that issue, do
14 you not?

15 A. Yes, we do.

16 Q. And you don't see a problem with pressure
17 differentials? That is not a concern for you?

18 A. No.

19 Q. We've got common ownership, to the best of your
20 knowledge, in the zones, so that's not an issue?

21 A. Yes, sir.

22 Q. When we look around the southwest quarter of 14,
23 it appears that if it's not Caulkins controlling the
24 offsets it's Chateau or Louis Dreyfus; am I correct in
25 understanding?

1 A. That's correct.

2 Q. All right. So if Dugan has notified all the
3 offsetting interest owners on that map, then there's been
4 no objection from any of those people. Are you aware of
5 any objection?

6 A. I'm not, no.

7 Q. All right. The timing for drilling your well,
8 either for the southwest quarter or if the Division
9 approves your case, is what, sir?

10 A. April of 1998.

11 Q. It would be scheduled for April of 1998, all
12 right.

13 A. Upon rig availability.

14 Q. And your preference for the 5-1/2-inch casing is
15 to give you the flexibility to utilize that wellbore in the
16 event you have to dual it with some other formation?

17 A. Right. I originally proposed that, planning on
18 nonstandard proration units. I would agree with Mr. Roe
19 also on the 4-1/2 casing if we're going to drill a Dakota-
20 Mesaverde well, and just commingle it there, and we were
21 awarded operator on the 320, we would run the 4-1/2 casing
22 also.

23 Q. All right, so the difference in casing size
24 really is not going to help us decide a dispute about
25 pooling --

1 A. No.

2 Q. -- for the south half?

3 A. No.

4 Q. Okay. Is Caulkins an interest owner in any wells
5 that Dugan operates?

6 A. Not that I'm aware of.

7 Q. How about the other way around?

8 A. Not that I'm aware of.

9 Q. Okay, so neither company is involved with each
10 other currently?

11 A. No.

12 Q. The notion of automization in the office is
13 simply spending \$10,000, and if you didn't do it, Mr. Dugan
14 could do it too?

15 A. I have no idea what they've got in their office
16 as far as the software capabilities and things, to bring it
17 in. But I assume they do have it.

18 MR. KELLAHIN: All right. No further questions,
19 Mr. Examiner.

20 EXAMINATION

21 BY EXAMINER CATANACH:

22 Q. Okay, Mr. Verquer, with regards to the interests
23 of Marathon and Dreyfus in the southwest quarter, is that
24 subject to an existing operating agreement?

25 A. Yes, I would --

1 Q. So you're not -- You don't have to pool these
2 interest owners for the south half. You feel like these
3 interests are already tied up somehow?

4 A. I feel like we do. The best I'm aware of, the
5 interest owner situation -- and I'm not the one qualified
6 to be telling you -- going over the interest owners. Pat
7 Robinson handles this out of the Denver office. But
8 there's five owners up there, co-owners up there, which is
9 Harley Higbie, George Caulkins, Art Holland, Jane Rathear
10 and Keith Brown. They control the brunt of this working
11 interest owners.

12 If one of the working interest owners decides not
13 to participate in the well, the five partners will take
14 over that percentage, just get the money and take care of
15 it and assess a penalty to them. That's the way I
16 understand it works, anyway, and I hate to get into that
17 because I can't explain it well enough.

18 Q. I believe that Dugan testified that Marathon and
19 Louis Dreyfus were aware of the proposal to form two
20 nonstandard units; is that your understanding?

21 A. Yes.

22 Q. And what is your understanding of their position
23 on that?

24 A. My understanding is, they were willing to go
25 along with whatever Caulkins wanted to do, and Caulkins is

1 willing to go with the nonstandard proration units.

2 If we do not go with the two nonstandard
3 proration units and we decide to -- for one operator on the
4 320, Marathon and Dreyfus, my understanding was, would back
5 us.

6 Q. Mr. Verquer, are you fairly confident, knowing
7 this area, that two successful wells can be drilled on each
8 of these 160 proration units?

9 A. Yes, I am.

10 Q. What happens if there isn't? What happens if one
11 well is good and one well is bad? Is that going to be a
12 problem for your interest owners?

13 A. If we break into nonstandard proration units, if
14 we drill a dry hole out there. That's the risk we take
15 every time we drill a well.

16 Q. You're saying that if Dugan for some reason gets
17 a good well and you drill a dry hole that --

18 A. I may not be there any longer, but...

19 (Laughter)

20 Q. (By Examiner Catanach) Well, my concern is with
21 some of the interest owners in your proration unit. I
22 mean, are you acting in a manner to protect their interests
23 by forming this unit and taking that risk?

24 A. We have discussed this with my boss, which is one
25 of the five co-owners in Denver, and this was the decision

1 we made before we come down here, that we would agree to
2 two nonstandard proration units.

3 Q. Are any of the -- Besides the working interest
4 owners, are any of the other interest owners aware of
5 what's going on?

6 A. I'm sure they are, but I could not testify to
7 that, no.

8 Q. Did you guys propose a 200-percent risk penalty
9 on your proposed well?

10 A. Yes, we did.

11 Q. And it's my understanding, if you're awarded
12 operatorship of the south half, your well in the southwest
13 quarter will only be a Mesaverde-Dakota?

14 A. That's correct.

15 EXAMINER CATANACH: Mr. Carr, what application
16 has Caulkins filed?

17 MR. CARR: Caulkins filed an Application for
18 compulsory pooling of the south half, designating them
19 operator for a well in the southwest quarter and for
20 downhole commingling --

21 EXAMINER CATANACH: They, in fact --

22 MR. CARR: -- a parallel Application to the Dugan
23 Application.

24 EXAMINER CATANACH: Okay, but they have not, in
25 fact, filed an application for a nonstandard proration

1 unit?

2 MR. CARR: No, we have not. We support the
3 Application of Dugan in that regard.

4 MR. KELLAHIN: We corrected our advertisement to
5 include in the ad specific reference to Caulkins operating
6 the southwest quarter.

7 MR. CARR: That's correct.

8 MR. CARROLL: And Caulkins supports that?

9 MR. KELLAHIN: Yes. And then we sent corrected
10 notices to Marathon and Dreyfus and to the offsets about
11 that request.

12 EXAMINER CATANACH: Okay, that was a concern of
13 ours.

14 You don't propose to put on any additional
15 testimony on the 5th?

16 MR. CARR: No, we do not. We intend to file an
17 administrative application as to the downhole commingling
18 portion of the case.

19 EXAMINER CATANACH: So is it your understanding
20 that the only party that needs to be pooled by Caulkins is
21 Dugan in this case, Mr. Carr?

22 MR. CARR: Yes.

23 EXAMINER CATANACH: Okay. What else?

24 I believe that's all I have. Is there anything
25 further?

1 MR. KELLAHIN: No, sir.

2 MR. CARR: Nothing further.

3 EXAMINER CATANACH: Okay, there being nothing
4 further in these cases, Case 11,897 and 11,899 will be
5 taken under advisement.

6 (Thereupon, these proceedings were concluded at
7 12:30 p.m.)

8 * * *

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is
a complete transcript of the proceedings in
the Examiners' hearing of Case No. 11,897/11,899
heard by me on 1/21 1988.
David R. Catanach, Examiner
Conservation Commission

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL January 11th, 1998.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1998