

STATE OF NEW MEXICO
 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
 OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)	
THE OIL CONSERVATION DIVISION FOR THE)	
PURPOSE OF CONSIDERING:)	CASE NO. 12,000
)	
APPLICATION OF MARBOB ENERGY CORPORATION)	
FOR POOL CONTRACTION, POOL CREATION,)	
SPECIAL POOL RULES AND A NONSTANDARD)	
SPACING AND PRORATION UNIT, LEA COUNTY,)	
NEW MEXICO)	
)	

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

July 9th, 1998

Santa Fe, New Mexico

OIL CONSERVATION DIV.
98 JUL 23 AM 8:26

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, July 9th, 1998, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
 (505) 989-9317

I N D E X

July 8th, 1998
 Examiner Hearing
 CASE NO. 12,000

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>MICHAEL G. HANAGAN</u> (Geologist)	
Direct Examination by Mr. Carr	4
Examination by Examiner Stogner	18
REPORTER'S CERTIFICATE	23

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	7	18
Exhibit 2	8	18
Exhibit 3	9	18
Exhibit 3A	10	18
Exhibit 4	8, 13	18
Exhibit 5	13	18
Exhibit 6	14	18
Exhibit 7	15	18
Exhibit 7A	15	18
Exhibit 8	15, 16	18
Exhibit 9	17	18

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

ALSO PRESENT:

MARK W. ASHLEY
NMOCD Environmental Geologist
2040 South Pacheco
Santa Fe, New Mexico 87505

* * *

1 WHEREUPON, the following proceedings were had at
2 8:16 a.m.:

3 EXAMINER STOGNER: At this time I'll call Case
4 Number 12,000.

5 MR. CARROLL: Application of Marbob Energy
6 Corporation for pool contraction, pool creation, special
7 pool rules, and a nonstandard spacing and proration unit,
8 Lea County, New Mexico.

9 EXAMINER STOGNER: Call for appearances.

10 MR. CARR: May it please the Examiner, my name is
11 William F. Carr with the Santa Fe law firm Campbell, Carr,
12 Berge and Sheridan. We represent Marbob Energy Corporation
13 in this matter, and I have one witness.

14 EXAMINER STOGNER: Any other appearances?

15 Will the witness please stand to be sworn at this
16 time?

17 (Thereupon, the witness was sworn.)

18 EXAMINER STOGNER: Mr. Carr?

19 MICHAEL G. HANAGAN,

20 the witness herein, after having been first duly sworn upon
21 his oath, was examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. CARR:

24 Q. Would you state your name for the record, please?

25 A. Michael G. Hanagan.

1 Q. Mr. Hanagan, where do you reside?

2 A. Roswell.

3 Q. By whom are you employed?

4 A. Marbob Energy Corporation.

5 Q. And what is your position or relationship with
6 Marbob Energy Corporation?

7 A. I oversee most of their exploration, drilling and
8 production activities in wildcat areas and deeper horizons
9 in Eddy, Chaves and Lea County.

10 Q. Have you previously testified before this
11 Division?

12 A. Yes, I have.

13 Q. At the time of that testimony, were your
14 credentials as an expert in petroleum geology accepted and
15 made a matter of record?

16 A. Yes, they were.

17 Q. Are you familiar with the Application filed in
18 this case on behalf of Marbob Energy Corporation?

19 A. Yes, I am.

20 Q. Have you made a technical study of the area which
21 is the subject of the Application?

22 A. Uh-huh.

23 Q. And are you prepared to share the results of that
24 study with Mr. Stogner?

25 A. Yes, I am.

1 MR. CARR: Are the witness's qualifications
2 acceptable?

3 EXAMINER STOGNER: They are.

4 Q. (By Mr. Carr) First, Mr. Hanagan, would you
5 briefly state what Marbob seeks in this case?

6 A. We seek creation of a new pool for the production
7 of hydrocarbons from the Devonian formation, promulgation
8 of special rules and regulations, to include 160-acre
9 spacing and proration units and designated well locations,
10 and the approval of a nonstandard spacing and proration
11 unit for the Lewis Fee Number 1. That would be the west
12 half of the southeast quarter, the east half of the
13 southwest quarter of Section 31, Township 9 South, 37 East.

14 Q. Mr. Hanagan, this acreage is not within the
15 boundaries of an existing Devonian pool, is it?

16 A. No, sir.

17 MR. CARR: Mr. Stogner, we -- The portion of the
18 Application that relates to the pool contraction is not
19 needed, and therefore we would request that that portion of
20 the Application be dismissed. This is not within the
21 boundaries of the Devonian Pool, so no pool contraction is
22 necessary.

23 EXAMINER STOGNER: Thank you, sir.

24 Q. (By Mr. Carr) Mr. Hanagan, could you please
25 provide the details on the discovery well?

1 A. The discovery well is the Lewis -- Marbob Energy
2 Lewis Fee Number 1 well. It's located at an unorthodox
3 location of 1130 feet from the south line, 2544 feet from
4 the west line of Section 31, Township 9 South, 37 East.

5 It was drilled to a depth of 12,505 feet. It was
6 drilled under a previously approved Division Order,
7 NSL-3891, which approved the unorthodox location.

8 Q. And that was received in November of last year?

9 A. Yeah, November 3rd of 1997.

10 Q. What rules currently govern the development of
11 the Devonian in this area?

12 A. Statewide -- Standard statewide oil rules for
13 40-acre spacing units and 330-foot setbacks.

14 Q. Have you prepared exhibits for presentation here
15 today?

16 A. Yes, sir, I have.

17 Q. Could you refer to what has been marked for
18 identification as Marbob Exhibit Number 1 and review this
19 for Mr. Stogner?

20 A. Yes, Exhibit 1 shows the radius of about four
21 miles. The larger circle is a two-mile radius, showing all
22 wells within the two-mile radius, and the inner circle is
23 the one-mile area of review.

24 The larger hexagonal-shaped symbols are Devonian
25 penetrations, dry holes and producers, and the smaller

1 symbols are San Andres producers.

2 The green line going through there, through the
3 exhibit, is a cross-section, which is Exhibit 4 of the
4 hearing.

5 Within the one-mile area of review I've showed
6 the lessee, the mineral owner, the expiration date and
7 lease number.

8 And within the one-mile area of review you can
9 see there's no other Devonian penetrations. There's just
10 two San Andres producers.

11 Q. How close is the nearest Devonian production?

12 A. It's located about a mile and three-quarters
13 north, up in the north part of Section 30, at the north end
14 of the green line.

15 Q. Let's go to Marbob Exhibit Number 2. Would you
16 identify and review this?

17 A. Exhibit 2 is just a blowup of the immediate area
18 around the Lewis well, which is shown as the double circle
19 right in the middle.

20 The area outlined in red is the existing 40-acre
21 unit. The blue dashed line is the proposed proration and
22 spacing unit. The little thin squares are all 40-acre, the
23 adjacent 40-acre units.

24 Within the -- Marbob Energy has the entire
25 Section 31, and Yates Petroleum has the south -- directly

1 south offset 40-acre tracts.

2 Q. All right. Let's go to the -- your Exhibit
3 Number 3.

4 A. Okay.

5 Q. Would you identify and review this, please?

6 A. Exhibit Number 3 is a two-way travel-time map to
7 the top of the Devonian formation based on 3-D seismic, and
8 this area pretty much equates -- directly equates to a
9 structure map at the top of the Devonian formation.

10 The green line or -- I think on some of the
11 exhibits doesn't look real green, but that line is the
12 trace of the cross-section coming -- which will be Exhibit
13 4.

14 The blue line that's surrounding identifies the
15 area under closure. Basically what this shows is a
16 relatively small, low-relief structure, having only about
17 75 feet of relief and an area under closure of about 110
18 acres, with the blue line showing the maximum extent of the
19 area under closure.

20 Closure is the single most important factor in
21 determining hydrocarbon accumulations up in this area.
22 Every structure that has closure has produced some
23 hydrocarbons, and these structures seem to be filled to a
24 spill point. As you can see, the well is located right in
25 the middle of the structure at the highest point, which

1 also coincides with -- It's nearly in the center of the
2 proration unit, of the proposed proration unit.

3 Q. All right, let's go to Exhibit 3A, and I'd ask
4 you to review your estimated recoverable reserves for the
5 proposed well -- or for the well in the proposed --

6 A. Okay, 3A was derived off of -- in combination
7 with Exhibit 3. And then using planimeter work, we derived
8 acre feet.

9 The area in blue, the total recovery -- or total
10 estimated recoverable reserves is 543,000 barrels for the
11 entire feature. Within the proration unit that equates to
12 455,000 barrels or almost 85 percent of the field total
13 would be in the proration unit.

14 I've also broke down within the individual 40-
15 acre tracts estimated recoverable reserves from the 40-acre
16 tracts. And as you can see, the southwest quarter, which
17 the well is located in, is 188,400 barrels. The other
18 tracts are -- vary from 60,000 to 123,000 barrels within
19 the 40 acres, and most likely those are very marginal. If
20 we had to drill wells on each of those 40s, it would be
21 very marginal economics.

22 Q. The productive area in the reservoir is limited
23 to that central area indicated on Exhibit Number 3 --

24 A. Yes, sir.

25 Q. -- shaded, I think, in yellow?

1 A. Yeah, if -- In fact, planimeter work of the area
2 in yellow would actually decrease the recoverable reserves
3 down to about 188,000 barrels. So if for some reason the
4 closed area was actually smaller, it dramatically reduces
5 our recoverable reserves.

6 EXAMINER STOGNER: Let me stop you right there.
7 When you -- I don't see much yellow on that. I want to
8 make sure that I'm following. Is that the second
9 contour --

10 THE WITNESS: Yeah, my color --

11 EXAMINER STOGNER: -- out from the well?

12 THE WITNESS: My colors when they were --

13 EXAMINER STOGNER: It would be the second
14 contour --

15 THE WITNESS: Yes.

16 EXAMINER STOGNER: -- out from the well, is
17 that --

18 THE WITNESS: Yeah --

19 EXAMINER STOGNER: -- correct?

20 THE WITNESS: -- this one here.

21 EXAMINER STOGNER: Okay, when you say "this one
22 here", you're talking --

23 THE WITNESS: The one --

24 EXAMINER STOGNER: You'll need to describe it for
25 the record.

1 THE WITNESS: -- inside the -- the next one
2 inside the blue.

3 EXAMINER STOGNER: Inside the blue, okay.

4 Now, over in the southwestern corner you have
5 that contour line crossing each other. What's the deal
6 there?

7 THE WITNESS: Down at -- When it gets outside of
8 the proposed unit?

9 EXAMINER STOGNER: Well, yeah, that's outside the
10 proposed unit, but it appears to cross. Is --

11 THE WITNESS: Yeah, it's --

12 EXAMINER STOGNER: It's the anomaly of a
13 computer?

14 THE WITNESS: Yeah, it's the computer. This was
15 derived straight off the computer.

16 EXAMINER STOGNER: Okay, so you're not telling me
17 that --

18 THE WITNESS: -- that -- hopefully, they don't
19 cross.

20 EXAMINER STOGNER: -- the contour line crosses
21 each other, do you?

22 THE WITNESS: Yes, sir.

23 EXAMINER STOGNER: Okay.

24 Q. (By Mr. Carr) Mr. Hanagan, let's go to the
25 cross-section --

1 A. Okay.

2 Q. -- your Exhibit Number 4, and would you review
3 this for Mr. Stogner, please?

4 A. Exhibit Number 4 is a structural cross-section
5 running from the Crossroads East field to the north, on
6 your left, to -- which is the Lone Star Number 2 well.
7 Then it goes downthrown to the Lone Star Number 3 well,
8 which is a dry hole, which is about a mile and a half north
9 of the Marbob Energy -- of the Lewis Fee well. And then
10 the Lewis Fee well would go about another mile south to the
11 Jake Hamon well.

12 So what we're primarily trying to show on this
13 cross-section is that the Lewis is indeed producing out of
14 a similar stratigraphic equivalent as these Crossroads
15 produces from, but that it's a separate feature, separated
16 by over a mile. In fact, it's indeed a separate type of
17 feature, and that it's a fairly low-relief structure that
18 -- only having a hundred feet of closure to it.

19 Q. Are you ready now to move to Exhibit Number 5?

20 A. I guess so.

21 Q. Would you review that for Mr. Stogner, please?

22 A. Exhibit 5 shows the -- It's a neutron density log
23 of the Lewis Fee, of the lower -- the Mississippian-
24 Devonian sections, with a little description of the
25 Devonian DSTs down below.

1 Also attached to the right of it is a mud log.
2 We couldn't get logs down past the Woodford top, so the
3 neutron density doesn't penetrate into the pay zone.

4 When we drilled the well, DST Number 4 tested the
5 upper 60 feet, I believe of the formation, and it DST'd
6 tight. And DST Number 5 was another additional 18 feet
7 drilled, and that DST tested porosity and permeability.
8 The well flowed 151 barrels of oil to surface in one hour.

9 The fact that we have the tight reservoir in the
10 upper part of the section could also negatively impact our
11 recoverable reserves, if it indeed reduces our oil -- or
12 our relief, productive relief, under closure.

13 Q. Would you now refer to what has been marked as
14 Marbob Exhibit Number 6 and review the reservoir parameters
15 set forth on that exhibit?

16 A. Yes, sir, Exhibit Number 6 is a Horner analysis
17 off of DST Number 5. It was -- Let's see. It's a
18 mathematical derivation that we're attempting to identify
19 the area being radius of investigation of the DST and
20 therefore the drainage area for the wellbore.

21 The parameters used in it for formation
22 thickness, we used the entire area under closure of 75
23 feet.

24 The flow rate of 3367 barrels a day was taken
25 straight from the DST on a flow period of 1.08 hours.

1 Porosity of five percent is assumed. That's not
2 a measured quantity, but that's typically low matrix
3 porosity, high fracture permeability.

4 Viscosity of .8 centipoise was measured from a
5 nearby well.

6 Compressibility is 2.67^{-6} .

7 Horner slope was derived -- 28.05 was derived
8 straight from the DST Number 5, which will be shown on
9 Charts 7 and 8.

10 Extrapolated pressure of 4628 pounds was derived
11 off the -- shown on Exhibit 7 from the DST Number 5.

12 A low formation volume factor, 1.15, was used in
13 this calculation due to low GOR and depth.

14 From that we derived a permeability of 239
15 millidarcies and then backed out radius of investigation of
16 1624 feet, which results in a drainage area of 146 acres.

17 Q. All right, let's go to Exhibit 7 and 7A, the
18 Horner plot and attached information, and I'd ask you to
19 review that for Mr. Stogner.

20 A. Seven and 7A are attached just for your
21 information to support the Horner analysis. The slope is
22 derived and P^* is derived on Exhibit 7A, off the Horner
23 plot.

24 And Exhibit 7 is the -- a blowup of the DST chart
25 with pressures during the initial flow periods, the shut-in

1 periods shown on there, but they're attached for your
2 information.

3 Q. Let's go now to the economic comparison, Exhibit
4 8. Will you review that?

5 A. Exhibit 8 is a comparison showing that if we had
6 to drill four wells on 40-acre spacing, versus the 160-acre
7 spacing -- all the factors were kept the same, using an oil
8 price of \$14, well costs of \$975,000, operating costs of
9 \$4000 per well per month, and a 75-percent net revenue
10 interest.

11 I used a higher decline rate on the four-well
12 package, since there's, you know, several wells producing
13 from the same reservoir.

14 And I used an initial production rate of 300
15 barrels a day, total, from the four wells, and 200 barrels
16 a day from the one well, which is what we're presently
17 producing it at.

18 You can see on 40-acre spacing, the project
19 produces close to 500,000 barrels but never actually pays
20 out. It never actually even reaches payout in ten years,
21 resulting in a loss of about \$600,000.

22 Using one well and only drilling one well, we
23 come up with recovering about 390,000 barrels but show a
24 profit on the project of about \$2.5 million.

25 Q. Do you anticipate that the Lewis Fee Number 1

1 well will effectively drain this reservoir?

2 A. Yes, sir, I do. With the very strong bottom
3 water drives that are found in the Devonian reservoirs in
4 this area and the relatively small size of this feature, it
5 should be able to drain this reservoir with little trouble.

6 Q. Does Marbob anticipate there would be any
7 additional development of this pool?

8 A. No, sir, we don't.

9 Q. Are you requesting that permanent pool rules be
10 adopted?

11 A. Yes, sir.

12 Q. Is Exhibit Number 9 an affidavit confirming that
13 notice of this Application has been provided in accordance
14 with Oil Conservation Division rules?

15 A. Yes, sir.

16 Q. To whom was notice given?

17 A. We noticed all offsetting operators of leases
18 adjoining the proposed new pool.

19 Q. As to the nonstandard unit, Marbob owns
20 everything that is --

21 A. Yes, sir.

22 Q. -- in the acreage that could be excluded by
23 virtue of the nonstandard unit?

24 A. Yes, sir.

25 Q. In your opinion, will approval of this

1 Application be in the best interests of conservation, the
2 prevention of waste and the protection of correlative
3 rights?

4 A. Yes, sir.

5 Q. Were Exhibits 1 through 9 either prepared by you
6 or compiled at your direction?

7 A. Yes, they were.

8 MR. CARR: At this time, Mr. Stogner, we would
9 move the admission into evidence of Marbob Exhibits 1
10 through 9.

11 EXAMINER STOGNER: Exhibits 1 through 9 will be
12 admitted into evidence.

13 MR. CARR: And that concludes my direct
14 examination of Mr. Hanagan.

15 EXAMINATION

16 BY EXAMINER STOGNER:

17 Q. Mr. Hanagan, how -- I'm referring to Exhibit
18 Number 6.

19 A. Okay.

20 Q. Your formation thickness was derived how?

21 A. We were assuming that the area under closure is
22 the entire reservoir.

23 Q. Okay. And what is the actual completion of this
24 well?

25 A. The well is completed open-hole interval, with

1 the upper 16 feet of the -- Well, it's actually more than
2 16 feet, but the 16 feet of permeability and porosity is
3 what's open.

4 Q. So that would be 16 feet into the enclosure area?

5 A. Yes, sir.

6 Q. How come you didn't use that figure for your h
7 value?

8 A. Well, the 16 feet results in a higher
9 permeability number, which just results in -- Well, let's
10 see. The 16 feet, when I use that in there, it results in
11 a higher perm, which decreases the radius of investigation,
12 but -- by 20 to 30 acres, but what I was trying to show is
13 that we're draining the entire structure. So I used the
14 entire reservoir interval.

15 Q. How about your completion? Was this well
16 fractured or stimulated in any way?

17 A. Not in any way at all, just set a packer and
18 swabbed it in.

19 Q. Section 31, do you want to tell me about that
20 lease in a little more detail?

21 A. It's a --

22 Q. What kind of lease is it and how big of an area?

23 A. It's a fee lease covering 15,000 acres from Santa
24 Fe Pacific Gold Corporation. It actually expires in
25 October of this year, I believe, but it is now extended for

1 six months at a time by the drilling of -- This well
2 extended it for another six months, which would be now set
3 to expire in April of next year, I believe, April or May of
4 next year.

5 That's to the lands that aren't within an
6 existing proration unit.

7 The lease does provide for pooling.

8 Q. Does that lease also provide for -- Well, let's
9 talk about the additional drilling that the lease provides
10 for. What kind of an offset is required for this
11 particular well, for 160-acre spacing, according to the
12 lease?

13 A. The lease is just under -- Any well drilled
14 within a six-month extends the entire lease for any period
15 of time. It doesn't have to be an offset, just anywhere
16 within the 15,000-acre block.

17 As far as -- there's no specific -- It's not
18 limited to standard spacing, it is -- The lease allows for
19 pooling approved by the OCD.

20 Q. Does Marbob have any plans to further develop
21 this enclosure area?

22 A. We don't think so. We think this one well, of
23 course, will monitor it and watch what it does, but at this
24 time we don't really think that it's going to need another
25 well on it.

1 Q. Okay. If another well is, say, needed to further
2 develop that portion out toward the east or west, what
3 would Marbob's intention be as far as the acreage
4 dedication on either side?

5 A. Well, if we drilled another well it would
6 definitely be to the east of it. It would be in the west
7 half of the southeast quarter.

8 Q. How about an acreage dedication for that well?

9 A. As far as dedication, we would attempt to just
10 keep it within this 160-acre proration unit and split the
11 allowable among the wells.

12 Q. So you'd drill your second well within the
13 proration unit, as opposed to trying to go out --

14 A. Yes, sir.

15 Q. -- to the east, the east side of that southeast
16 quarter?

17 A. Yes, sir. We would drill in the northwest of the
18 southeast quarter, would be my guess.

19 Q. So with the structure being small, you don't see
20 much of a problem with the extension of an additional 160
21 acres coming off of either side where you have to start a
22 domino effect and having to form all sorts of nonstandard
23 proration units?

24 A. Yeah, I don't think -- you know -- well, there's
25 really just -- With any realistic oil-price scenario, you

1 couldn't even drill outside of the existing 160-acre unit.
 2 You know, the reserves is 40-some-thousand barrels at
 3 12,500 feet, so...

4 Q. Do you have a proposed name for this pool?

5 A. No, sir.

6 Q. Okay. I notice that Mr. Bryan Arnott, our
 7 geologist in the Artesia District Office is here today. I
 8 would appreciate it if you get with him and propose a pool
 9 name that both of you mutually agree on and get back with
 10 me, either through him, or you, and tell me the proposed
 11 name.

12 A. Okay.

13 EXAMINER STOGNER: Mr. Carr, do you have anything
 14 further?


15 MR. CARR: That concludes our presentation in
 16 this case.

17 EXAMINER STOGNER: Does anybody else have
 18 anything further in Case 12,000?

19 If not, then Case Number 12,000 will be taken
 20 under advisement, subsequent to getting back with me on a
 21 pool name.

22 THE WITNESS: Okay, thank you.

23 (Thereupon, these proceedings were concluded at
 24 8:40 a.m.) I do hereby certify that the foregoing is
 a complete record of the proceedings in
 the Examiner's hearing of Case No. 12000
 * * * heard by me on 5 July 1998.

 , Examiner
 STEVEN T. BRENNER, UCR Conservation Division
 (505) 989-9317


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL July 11th, 1998.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1998