

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: )

APPLICATION OF GRUY PETROLEUM MANAGEMENT )  
FOR AN UNORTHODOX WELL LOCATION AND )  
SIMULTANEOUS DEDICATION, LEA COUNTY, )  
NEW MEXICO )

CASE NOS. 12,015

APPLICATION OF GRUY PETROLEUM MANAGEMENT )  
FOR AN UNORTHODOX WELL LOCATION AND )  
SIMULTANEOUS DEDICATION, LEA COUNTY, )  
NEW MEXICO )

and 12,017

(Consolidated)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

September 3rd, 1998

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, September 3rd, 1998, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

OIL CONSERVATION DIV  
98 SEP 17 AM 8:00

## I N D E X

September 3rd, 1998  
 Examiner Hearing  
 CASE NOS. 12,015 and 12,017 (Consolidated)

	PAGE
EXHIBITS	3
APPEARANCES	5
APPLICANT'S WITNESSES:	
<u>GREGORY L. JESSUP, SR.</u> (Landman)	
Direct Examination by Mr. Carr	8
Cross-Examination by Mr. Gallegos	16
Examination by Mr. Kellahin	22
Examination by Examiner Stogner	24
<u>ZENO FARRIS</u> (Manager, operations administration)	
Direct Examination by Mr. Carr	25
Cross-Examination by Mr. Gallegos	35
Examination by Mr. Kellahin	74
Further Examination by Mr. Gallegos	86
Examination by Examiner Stogner	91
<u>H.C. LEE</u> (Geologist, Engineer)	
Direct Examination by Mr. Carr	93
Cross-Examination by Mr. Gallegos	111
Examination by Mr. Kellahin	135
Examination by Examiner Stogner	147
Further Examination by Mr. Carr	149
Further Examination by Mr. Kellahin	151
Further Examination by Mr. Gallegos	155
Further Examination by Examiner Stogner	158
HARTMAN WITNESS:	
<u>DOYLE HARTMAN</u> (Oil Operator)	
Direct Examination by Mr. Gallegos	160
Examination by Mr. Kellahin	208
Cross-Examination by Mr. Carr	219
Examination by Examiner Stogner	237

(Continued...)

## CLOSING STATEMENTS:

By Mr. Kellahin	246
By Mr. Gallegos	249
By Mr. Carr	255

REPORTER'S CERTIFICATE	260
------------------------	-----

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	11	16
Exhibit 2	12	16, 147
Exhibit 3	13	16
Exhibit 4	14	16
Exhibit 5	15	16
Exhibit 6	15	16
Exhibit 7	96	147
Exhibit 8	97	147
Exhibit 9	98	147
Exhibit 10	103	147
Exhibit 11	105	147
Exhibit 12	106	147
Exhibit 13	149	151

\* \* \*

Hartman	Identified	Admitted
Exhibit 1	37, 92	-
Exhibit 2	92	-
Exhibit 3	92	-
Exhibit 4	39	92
Exhibit 5	39	92
Exhibit 6	92	-

(Continued...)

## E X H I B I T S (Continued)

Hartman	Identified	Admitted
Exhibit 7	-	-
Exhibit 8	39	-
Exhibit 9	-	-
Exhibit 10	-	-
Exhibit 11	-	-
Exhibit 12	42	92
Exhibit 13	52	92
Exhibit 14	-	-
Exhibit 15	68	92
Exhibit 16	54	92
Exhibit 17	58	92
Exhibit 18	65	92
Exhibit 19	-	-
Exhibit 20	67	92
Exhibit 21	-	-
Exhibit 22	38	92
Exhibit 23	-	-
Exhibit 24	51	-
Exhibit 25	165	207
Exhibit 26	168	207
Exhibit 27	174	207
Exhibit 28	176	207
Exhibit 29	180	207
Exhibit 30	183	207
Exhibit 31	186	207
Exhibit 32	186	207
Exhibit 33	193	207
Exhibit 34	197	207
Exhibit 35	199	207
Exhibit 36	201	207
Exhibit 37	203	207
Exhibit 38	204, 206	207
Exhibit 39	41	207

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Legal Counsel to the Division  
2040 South Pacheco  
Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.  
Suite 1 - 110 N. Guadalupe  
P.O. Box 2208  
Santa Fe, New Mexico 87504-2208  
By: WILLIAM F. CARR

## FOR DOYLE HARTMAN:

GALLEGOS LAW FIRM  
460 St. Michael's Drive, #300  
Santa Fe, New Mexico 87505  
By: J.E. GALLEGOS  
and  
MICHAEL J. CONDON

## FOR ARMSTRONG ENERGY CORPORATION:

KELLAHIN & KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265  
By: W. THOMAS KELLAHIN

## ALSO PRESENT:

MARK W. ASHLEY  
NMOCD Petroleum Geologist  
2040 South Pacheco  
Santa Fe, New Mexico 87505

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2   8:27 a.m.:

3           EXAMINER STOGNER: All right, at this time I'll  
4   call Case Number 12,015.

5           MR. CARROLL: Application of Gruy Petroleum  
6   Management for an unorthodox well location and simultaneous  
7   dedication, Lea County, New Mexico.

8           EXAMINER STOGNER: Call for appearances.

9           MR. CARR: May it please the Examiner, my name is  
10   William F. Carr with the Santa Fe law firm Campbell, Carr,  
11   Berge and Sheridan. We represent Gruy Petroleum Management  
12   Company in this matter, and I have three witnesses.

13          MR. GALLEGOS: Mr. Examiner, I'm Gene Gallegos.  
14   Along with me is Michael Condon. We're appearing on behalf  
15   of Doyle Hartman. We will have one witness.

16          MR. CARR: May it please the Examiner, at this  
17   time we would request that this case be consolidated for  
18   the purpose of hearing with Case 12,017, which is also an  
19   Application of Gruy for an unorthodox location and  
20   simultaneous dedication.

21                 We have discussed this with counsel for Mr.  
22   Hartman, and I believe we agree that it would be most  
23   efficient to present them at one time.

24          MR. GALLEGOS: We join in that motion, Mr.  
25   Examiner.

1 EXAMINER STOGNER: At this time, then, I'll call  
2 Case Number 12,017.

3 MR. CARROLL: Application of Gruy Petroleum  
4 Management for an unorthodox well location and simultaneous  
5 dedication, Lea County, New Mexico.

6 EXAMINER STOGNER: Other than the Applicant and  
7 representatives of Doyle Hartman, are there any appearances  
8 in either or both of these cases?

9 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of  
10 the Santa Fe law firm of Kellahin and Kellahin, appearing  
11 on behalf of Armstrong Energy Corporation, who's an  
12 interested party in these cases.

13 EXAMINER STOGNER: Mr. Kellahin, do you have any  
14 witnesses?

15 MR. KELLAHIN: No, sir, I do not.

16 EXAMINER STOGNER: Is there any need for opening  
17 remarks or comments at this time?

18 MR. CARR: No, sir.

19 MR. GALLEGOS: No.

20 EXAMINER STOGNER: All right. In that case, Mr.  
21 Carr?

22 MR. CARR: May it please the Examiner, at this  
23 time we would call Mr. Greg Jessup, J-e-s-s-u-p.

24 MR. CARROLL: Swear the witnesses.

25 EXAMINER STOGNER: Oh, I'll tell you what.

1 Before we continue, I'll have all witnesses please stand to  
2 be sworn at this time.

3 (Thereupon, the witnesses were sworn.)

4 EXAMINER STOGNER: Mr. Carr?

5 GREGORY L. JESSUP, SR.,

6 the witness herein, after having been first duly sworn upon  
7 his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. CARR:

10 Q. Would you state your name for the record, please?

11 A. Gregory L. Jessup, Senior.

12 Q. And where do you reside?

13 A. Mesquite, Texas.

14 Q. By whom are you employed?

15 A. Gruy Petroleum Management Company, which is a  
16 wholly owned subsidiary of Magnum-Hunter Resources,  
17 Incorporated. And in point of fact, Magnum-Hunter  
18 Production, Incorporated, holds title to all our  
19 properties, and Gruy operates those properties.

20 Q. What is your position with Gruy Petroleum  
21 Management Company?

22 A. I'm the vice president of land.

23 Q. Have you previously testified before the New  
24 Mexico Oil Conservation Division?

25 A. No.

1 Q. Could you summarize your educational background  
2 for Mr. Stogner?

3 A. I have a BBA in management from Texas Tech  
4 University, 1975, and continuing-education courses  
5 including oil and gas contracts, University of Tulsa.

6 Q. Are you a certified petroleum landman?

7 A. Yeah, I'm a certified professional landman, is  
8 actually the title, through the AAPL.

9 Q. Could you briefly review your work experience for  
10 Mr. Stogner?

11 A. From 1977 to 1982 I was an independent landman,  
12 and I was hired by Kim Petroleum Corporation in Dallas as  
13 land manager and held that position from 1982 to 1997, and  
14 then was hired by Gruy as land manager -- it was May of  
15 1997.

16 Q. Are you familiar with the Applications filed on  
17 behalf of Gruy in these consolidated cases?

18 A. Yes.

19 Q. And are you familiar with the status of the lands  
20 in the subject portion of the Rhodes Gas Pool?

21 A. Yes.

22 MR. CARR: We tender Mr. Jessup as an expert  
23 witness in petroleum land matters.

24 EXAMINER STOGNER: Any objection?

25 MR. GALLEGOS: No objection.

1 EXAMINER STOGNER: Mr. Jessup is so qualified.

2 Q. (By Mr. Carr) Mr. Jessup, initially would you  
3 summarize for the Examiner what it is that Gruy Petroleum  
4 Management Company seeks in these consolidated  
5 applications?

6 A. Concerning 12,015, it's for an approval of an  
7 unorthodox gas well location for the Rhodes Federal Unit  
8 Well Number 43, being 2310 feet from the south line and  
9 9900 feet from the west line of Section 4, which is 26  
10 South, 37 East, Lea County, and --

11 Q. That well location is 990 from the west line?

12 A. Yes, 990 from the west line.

13 And then the simultaneous dedication of the  
14 southwest quarter of Section 4 to the Rhodes Federal Unit  
15 Well Numbers 43, 415 and 41, to form a standard gas spacing  
16 unit in the Rhodes-Yates-Seven Rivers Gas Pool.

17 Q. Okay, what about Case 12,017?

18 A. That's for the approval of an unorthodox gas well  
19 for our Rhodes State Com Well Number 5, and that's located  
20 330 feet from the north line and 2310 feet from the west  
21 line of Section 16, and that's 26 South, 37 East, Lea  
22 County.

23 Q. Also in that case you're seeking the simultaneous  
24 dedication of wells in the northwest of 16?

25 A. Right, in the northwest quarter of Section 16 to

1 this well, the Gruy Rhodes State Com Wells Number 18 and  
2 19, to form a standard gas spacing unit in the Rhodes-  
3 Yates-Seven Rivers Gas Pool.

4 Q. Briefly, what rules govern the development of gas  
5 units in the Rhodes-Yates-Seven Rivers Gas Pool?

6 A. Well, that would be the statewide rules, 160-acre  
7 gas well spacing and 660-foot setbacks.

8 Q. Is Gruy in this case today seeking any change in  
9 the pool rules for the Rhodes Gas Pool or the Rhodes Oil  
10 Pool?

11 A. No.

12 Q. Let's go to what has been marked as Gruy Exhibit  
13 Number 1, and I would ask you to identify this and review  
14 it for the Examiner.

15 A. Okay, this is for the -- to show the pool  
16 boundaries. We got these from the OCD plats.

17 The Rhodes Gas Pool shows there as depicted in  
18 the red, and the Rhodes Oil Pool is depicted in the blue.

19 And then in the green, that shows the spacing  
20 units. We've got this information from Burlington, and  
21 this identifies all the spacing units.

22 We also show some crosshatched areas in there.  
23 Those signify the nonstandard units that are within this  
24 area.

25 And we also show the well locations in the two

1 areas that are the subject of this hearing, the southwest  
2 quarter of Section 4, and the northwest quarter of Section  
3 16. And you can see also there's numerous multi-well  
4 locations in there.

5 Q. Mr. Jessup, let's go to what's been marked as  
6 Gruy Exhibit Number 2. What portion of this exhibit did  
7 you prepare?

8 A. The portion, at least, that was prepared under my  
9 direction are those columns -- they would be to the left of  
10 the status column.

11 Q. Okay, and then the remainder of the exhibit was  
12 prepared by Mr. Lee, who will testify later?

13 A. Yeah, H.C. Lee, right.

14 Q. What does the left-hand portion of this exhibit  
15 show?

16 A. Well, what it shows are nonstandard spacing units  
17 that are in this pool, and the spacing units were --  
18 they're located more than one producing well.

19 Q. Basically, this is just a tabular summary of  
20 information that is shown on Gruy Exhibit Number 1; is that  
21 correct?

22 A. That's correct.

23 Q. The remainder of the exhibit relates to the  
24 technical portion of the case?

25 A. Yeah, that's -- Mr. Lee prepared that.

1 Q. Let's go to Gruy Exhibit Number 3. What is this?

2 A. Okay, this is a schedule of offset oil operators.  
3 Now, this also shows the standard spacing unit, which is in  
4 red, the southwest quarter of Section 4. It shows the  
5 subject wells. They're depicted as RFU -- Rhodes Federal  
6 Unit 43, 41 and 415.

7 Forty-one and 43 -- Or excuse me, 41 is an  
8 existing well, 43 is a recompleted well, and the 415 has  
9 been drilled.

10 And if you look -- Well, the blue depicts the oil  
11 operators themselves, and then if you look at the back, the  
12 attached list identifies them.

13 And as far as the gas rights, Gruy is the offset  
14 operator.

15 Q. And what we're showing here is just the  
16 offsetting oil operators?

17 A. That's right.

18 Q. Okay. If I look at this exhibit, Armstrong  
19 Energy owns a tract in the -- that offsets the proposed --  
20 the subject spacing unit in the northeast of Section 8; is  
21 that correct?

22 A. That's correct.

23 Q. There is one well location shown in Section 8?

24 A. Yes, one location.

25 Q. That's in Unit I?

1 A. Yes, sir.

2 Q. What is the status of that well?

3 A. It's been drilled.

4 Q. And who drilled that well?

5 A. Armstrong.

6 Q. Are there any other plans to develop Section 8  
7 with any additional drilling in that section?

8 A. No.

9 Q. Now, let's go to Gruy Exhibit Number 4. Will you  
10 identify and review that?

11 A. This is a schedule of offset oil and gas  
12 operators. Here again, depicted in red, it shows the  
13 standard spacing unit that we're discussing, northwest  
14 quarter of Section 16.

15 The wells that are shown are the Rhodes State Com  
16 18, which is an existing well, 19, which is also an  
17 existing well, and those are presently producing  
18 concurrently. And then it also shows Rhodes State Com  
19 Number 5, which has been drilled.

20 The offset owners are shown on a plat. Oil is  
21 blue, and the gas is shown in green. And if you turn the  
22 page, they're identified on the attached list.

23 Q. In the subject spacing unit, the Wells Numbers 18  
24 and 19, are those wells that you acquired from Burlington?

25 A. Yes.

1 Q. And they were concurrently producing on this unit  
2 while operated by Burlington --

3 A. Yes.

4 Q. -- is that right?

5 A. Yes.

6 Q. Based on your review of the title information in  
7 the area, does it appear to you that Mr. Hartman owns any  
8 interest in any of the properties immediately offsetting  
9 either of the subject spacing units?

10 A. No.

11 Q. Are Exhibits 5 and 6 notice affidavits which  
12 confirm that notice of this hearing has been provided in  
13 accordance with Oil Conservation Division Rules and  
14 Regulations?

15 A. Yes.

16 Q. And to whom has notice been provided?

17 A. All of the offset oil and gas operators.

18 Q. Will Gruy call an additional witness to review  
19 the background events which resulted in the drilling of the  
20 wells which are the subject of this hearing?

21 A. Yes.

22 Q. Will Gruy also call a geological and engineering  
23 witness to present evidence which shows that these wells  
24 are necessary to protect the correlative rights of Gruy?

25 A. Yes.

1 Q. Were Exhibits 1 and 3 through 6 prepared by you  
2 or compiled under your direction?

3 A. Yes.

4 MR. CARR: At this time, Mr. Stogner, we'd move  
5 the admission into evidence of Gruy Exhibits 1 and 3  
6 through 6.

7 EXAMINER STOGNER: Any objections?

8 MR. GALLEGOS: No objection.

9 EXAMINER STOGNER: Exhibits 1 through 6 will be  
10 admitted into evidence.

11 MR. CARR: That includes my direct exam- --  
12 concludes my direct examination of Mr. Jessup.

13 EXAMINER STOGNER: Mr. Gallegos, questions?

14 MR. GALLEGOS: Yes, I have a few questions.

15 CROSS-EXAMINATION

16 BY MR. GALLEGOS:

17 Q. Mr. Jessup, when did you begin working on this  
18 project?

19 A. It was shortly after I came on board, probably  
20 immediately after I came on board.

21 Q. And I missed that. When did you come on board?

22 A. Actually, I came in March of 1997, is when I  
23 actually started working. And I was contracted at that  
24 time for three months, two or three months, and then I was  
25 given a full-time job in May of 1997.

1 Q. These properties that are involved in this  
2 Application and generally in this Rhodes Gas Pool area were  
3 acquired from Burlington --

4 A. Yes.

5 Q. -- by Magnum Hunter?

6 A. Yes.

7 Q. When was that acquisition completed?

8 A. Well, it was effective January 31st, 1997, and I  
9 believe we closed that May 1st, 1997.

10 Q. And then when you came on board, what was your  
11 assignment as regards these particular properties?

12 A. Basically, we looked to confirm our actual rights  
13 that we feel we had bought through the transaction, and  
14 then we would look for offset operators or owners, as was  
15 necessary.

16 Q. Have you at some time, Mr. Jessup, seen a copy of  
17 the rules of the New Mexico Oil Conservation Division?

18 A. No.

19 Q. Okay. This book right here that happens to be on  
20 the table is commonly used. You haven't seen this before?

21 A. I have not. That -- Zeno Farris is our  
22 operations manager and handles all of our permitting and  
23 regulatory aspects of our company, so he would be the one  
24 to speak to that.

25 Q. So you leave everything to him in that regard?

1 A. Yes.

2 Q. Okay. Now, you testified that in -- I believe  
3 the question was asked, and your answer was in the  
4 affirmative, that Gruy was not seeking a change in the pool  
5 rules at this time?

6 A. Yes.

7 Q. Are you familiar with the language of your  
8 Application in both Case 12,017 and 12,015 that reads as  
9 follows, quote: Until the rules for these pools can be  
10 amended and perhaps the oil pool even abolished, Gruy  
11 seeks an exception to the well-location requirements, et  
12 cetera --

13 A. Yes.

14 Q. -- simultaneous dedication?

15 A. I recall that.

16 Q. Okay. Would you illuminate us on the intentions  
17 of your company, then, in regard to changing the pool rules  
18 or even abolishing the Rhodes Oil Pool?

19 A. I would defer to H.C. Lee, who is our geologist.  
20 I'd defer that to him, let him discuss that.

21 Q. You're not informed in that regard?

22 A. No.

23 Q. What is the object -- I guess this list that I  
24 hold in my hand was part of -- It's Exhibit 2, okay? It  
25 didn't have an indication on it.

1 MR. CARR: It should be on the back.

2 Q. (By Mr. Gallegos) Oh, I see. Thank you.

3 It's a table of Rhodes Gas Pool wells?

4 A. Yes.

5 Q. You prepared this?

6 A. It was prepared under my direction.

7 Q. Okay. And you made the comment that if one  
8 examines this, you'll find that in some cases there's more  
9 than one well on 160-acre spacing?

10 A. Yes.

11 Q. Okay. Well, the first lease issued -- or listed,  
12 of course, is one of the ones that's the subject of the  
13 dispute in this Application; isn't that correct?

14 A. Yes.

15 Q. All right. And there's three wells in that  
16 particular --

17 A. Yes.

18 Q. -- lease?

19 And the other -- the second page at the bottom,  
20 the northwest quarter of Section 16 showing three wells,  
21 would be also one of the leases that's in dispute in the  
22 other case, I guess, the 12,017 case?

23 A. Yes.

24 Q. Okay. Now, are you aware that in 1982 when the  
25 Rhodes Gas Pool was created that certain wells were

1 grandfathered in as to the spacing, as to instances where  
2 there were more than one well on the lease?

3 A. No.

4 Q. Okay. Do you know whether there are any  
5 instances here of multiple wells on the lease that were not  
6 either grandfathered in, in 1982, or are the multiple wells  
7 that are the result of Gruy's actions?

8 A. No.

9 Q. In addition to working on the land projects that  
10 are related to your -- what I'm going to call your Section  
11 4 and your Section 16 --

12 A. Uh-huh, uh-huh.

13 Q. -- drilling, there are other proration units that  
14 you have worked on; isn't that true, Mr. Jessup?

15 A. Yes, there are others that we have worked on out  
16 in that area.

17 Q. Well, the fact of the matter is that Gruy has a  
18 drilling project, a multiple well, what you would call an  
19 infill well drilling project in this immediate area; isn't  
20 that true?

21 A. I'd have to defer that to H.C. Lee, our  
22 geologist, to speak to that.

23 Q. Well, just speaking from the standpoint of what  
24 you've done as a landman --

25 A. Uh-huh.

1 Q. -- you have addressed other areas within the  
2 Rhodes Gas Pool as part of this overall project, along with  
3 the Section 4 and Section 16 work; isn't that true?

4 A. We in the land department are always looking to  
5 verify ownership in areas, but it's not necessarily for any  
6 specific well or prospect that we have, if that's what  
7 you're asking.

8 Q. Well, I'm saying you have a -- I believe it's a  
9 13-well drilling program in this immediate vicinity; isn't  
10 that right?

11 A. I'd have to defer to H.C. Lee to speak to that.

12 Q. You don't know?

13 A. I'd have to defer to H.C. Lee to speak to that.

14 Q. Well, can you answer the question?

15 A. Speak it again.

16 Q. That you have a 13-well drilling program in the  
17 immediate vicinity, which includes Section 4 and Section,  
18 but other nearby proration units; isn't that true?

19 A. I have no knowledge of that.

20 MR. GALLEGOS: No further questions.

21 EXAMINER STOGNER: Mr. Carr?

22 MR. CARR: No redirect.

23 EXAMINER STOGNER: You may be excused -- I'm  
24 sorry, Mr. Kellahin --

25 MR. KELLAHIN: Thank you, Mr. Examiner.

1 EXAMINER STOGNER: -- any questions?

2 MR. KELLAHIN: Yes, sir.

3 EXAMINATION

4 BY MR. KELLAHIN:

5 Q. Mr. Jessup, if you'll turn with me to Exhibit  
6 Number 1 --

7 A. Yes.

8 Q. -- let's look at the southwest quarter of Section  
9 4 of that spacing unit.

10 A. Yes.

11 Q. Gruy operates that 160-acre spacing unit?

12 A. Yes.

13 Q. At the time you acquired that spacing unit, were  
14 any of these three wells in existence?

15 A. Yes, I believe there were. I think I spoke to --  
16 Let's see, 41 was an existing well, yes.

17 Q. Who drilled that well? Do you know?

18 A. I really couldn't tell you. I don't know if that  
19 was -- I know it was a predecessor.

20 Forty-three was there, but I believe it was a  
21 plugged well.

22 Q. All right. So Gruy's actions have resulted in 43  
23 being worked over and is now a gas well?

24 A. Yes, that's right.

25 Q. And then you -- your company drilled Well 415?

1 A. Yes, that is correct, right.

2 Q. Within that spacing unit, does Gruy have any  
3 rights to the oil production?

4 A. I -- Well, you know, I'm not sure on that. I'm  
5 not sure on that. I'd have to check.

6 Q. Are you responsible for permitting or compliance  
7 with the Division rules concerning the well density in that  
8 spacing unit or the well locations?

9 A. No, that would be Zeno Farris.

10 Q. When we look at the northwest quarter of 16, at  
11 the time Gruy acquired this interest, what wells were in  
12 existence?

13 A. I believe 18 and 19 were in existence, and  
14 they're the ones I mentioned that are producing  
15 concurrently.

16 Q. And so Gruy drilled Well 5?

17 A. I believe that is correct. Yes, that's correct.

18 Q. Prior to drilling Well 5, what was the status of  
19 Well 18 and 19?

20 A. As far as I know, they were concurrently  
21 producing.

22 Q. You mentioned in response to Mr. Carr that Gruy  
23 did not have plans for any gas wells in Section 8; did I  
24 understand that correctly?

25 A. That is correct.

1 Q. Do you have an interest in the gas rights within  
2 Section 8?

3 A. Yes, we do.

4 Q. Section 8, then, is not one of your interests  
5 that's targeted for any of the increased-density or gas  
6 wells that Gruy intends to drill?

7 A. That is correct.

8 Q. Is the circumstance of having wells in excess of  
9 the number allowed under current rules by the Division  
10 going to be limited to these two spacing units?

11 A. I'd have to let probably H.C. speak to that, H.C.  
12 Lee.

13 Q. Does Gruy intend to drill more than one gas well  
14 in any other existing gas spacing unit in the gas pool?

15 A. I'll let H.C. Lee speak to that.

16 Q. What caused Gruy to drill these wells in these  
17 two spacing units without regard to the Division rules?

18 A. I'll let Zeno Farris speak to that.

19 MR. KELLAHIN: Thank you, Mr. Examiner.

20 EXAMINATION

21 BY EXAMINER STOGNER:

22 Q. One question, on Exhibit Number 2 --

23 A. Uh-huh.

24 Q. -- is there anywhere on this exhibit that denotes  
25 the operators?

1           A.    I do not believe so, Mr. Examiner, I don't see  
2   that on there.

3           Q.    How many of these are Gruy-operated properties?

4           A.    I don't have that in front of me, and I'd  
5   honestly have to get some other information to be accurate  
6   with that.

7           MR. CARR:  Mr. Examiner, we have an exhibit later  
8   that identifies all of the Gruy wells in the pool, that may  
9   answer that.

10          EXAMINER STOGNER:  Thank you, Mr. Carr.

11          If there's no other questions, this witness may  
12   be excused.

13          MR. CARR:  At this time we call Mr. Zeno Farris.

14          EXAMINER STOGNER:  Hang on here.

15          I'm sorry, Mr. Carr.  Thank you.

16                               ZENO FARRIS,

17   the witness herein, after having been first duly sworn upon  
18   his oath, was examined and testified as follows:

19                               DIRECT EXAMINATION

20   BY MR. CARR:

21          Q.    Would you state your name for the record, please?

22          A.    Zeno Farris, Z-e-n-o  F-a-r-r-i-s.

23          Q.    Mr. Farris, where do you reside?

24          A.    Fort Worth, Texas.

25          Q.    By whom are you employed?

1 A. Gruy Petroleum Management.

2 Q. And what is your position with Gruy?

3 A. I am manager of operations administration.

4 Q. In that position, are you the person responsible  
5 for obtaining appropriate permits from administrative  
6 agencies and dealing with regulatory bodies?

7 A. Yes, that's correct.

8 Q. Have you previously testified before this  
9 Division?

10 A. No.

11 Q. Would you summarize your educational background,  
12 please?

13 A. I received a BS from New Mexico State in 1974.

14 Q. Would you review your work experience with the  
15 oil and gas industry?

16 A. I started with El Paso Exploration Company in  
17 1980 as a Division order analyst. Through various mergers  
18 with several companies, I ended up in Fort Worth with  
19 Burlington Resources, where I worked as a supervisor of  
20 production control and revenue settlement until November of  
21 1987, when I went to work with Gruy.

22 Q. And you've been with Gruy since November --

23 A. I've been with Gruy since, yes.

24 Q. Since 1997?

25 A. November of 1997, that's correct.

1 Q. Are you familiar with the Applications that have  
2 been filed on behalf of Gruy in each of these cases?

3 A. Yes.

4 Q. Were you involved with the permitting process for  
5 the wells that recently have been drilled by Gruy in the  
6 Rhodes Gas Pool?

7 A. Yes.

8 Q. When did Gruy actually acquire these interests?

9 A. We acquired them in May of 1997, effective  
10 January of 1997. They were part of a Burlington Permian  
11 package that included roughly 1800 wells. We acquired all  
12 rights that Burlington had, and in the Rhodes area we  
13 acquired primarily gas rights, and there's other people --  
14 Texaco and others -- that own the oil rights.

15 Q. Were you involved with the decision to drill  
16 additional wells on spacing units which are the subject of  
17 these cases?

18 A. Not in the decision to drill. Our geologist was  
19 responsible for picking the locations. I was responsible  
20 for the regulatory aspects of getting these wells  
21 permitted.

22 Q. So once it was decided to go forward with the  
23 wells, they came to you and it was your job to obtain  
24 proper approvals?

25 A. Yes.

1 Q. And your engineering and geological witness, Mr.  
2 Lee, is going to review in detail how these particular  
3 locations were actually selected and what future plans will  
4 be made?

5 A. Yes.

6 Q. Now, when you were contacted about obtaining  
7 permits for the additional wells in each of the two subject  
8 spacing units, what did you do?

9 A. This is the first time that we had permitted a  
10 well in New Mexico and the first time I had permitted a  
11 well in New Mexico, so I contacted people in the industry  
12 and various consultants, to try to pinpoint somebody we  
13 could hire to do this process for us. And we ended up  
14 hiring a consultant in Hobbs to permit our wells.

15 Q. And did you provide him with the data necessary  
16 to obtain these permits?

17 A. Yes.

18 Q. Did you have any direct contacts with the Oil  
19 Conservation Division at that time?

20 A. Yes, I did. I had called the OCD office in Hobbs  
21 to try to get a feel for what it was we would have to do,  
22 and they told me I needed to talk to Michael Stogner. So I  
23 called him up and in general had discussions with him about  
24 the process.

25 Through the course of this it became apparent if

1 we were going to put more than one well on a 160, we had to  
2 apply for a simultaneous dedication application.

3 Q. And did he advise you that that would require a  
4 hearing?

5 A. Yes, and we would need an attorney. And that's  
6 when we started to pursue somebody to represent us in that  
7 area.

8 Q. Did you actually receive approved permits to  
9 drill the subject wells?

10 A. Yes, we did.

11 Q. And you received how many permits? Do you  
12 recall?

13 A. Roughly at that time we received permits for  
14 approximately seven wells. And, you know, we've since  
15 received permits for the rest of the wells also.

16 Q. And the permits that you obtained included the  
17 wells that are the subject of this hearing, and also other  
18 wells in the pool, correct?

19 A. Yes.

20 Q. Did some of these wells offset Hartman-operated  
21 properties?

22 A. Yes, they did.

23 Q. When did you learn about the memorandum from Mr.  
24 LeMay concerning the Division's policy limiting multiple  
25 wells on gas units in nonprorated pools?

1           A.    I learned about that specific memo when we  
2 received a letter from Mr. Hartman, basically outlining  
3 areas where we were remiss in our permitting process, and  
4 he had attached a copy of that memo at that point in time.

5           Q.    And what did you do with that?

6           A.    We read it and had some discussions with our  
7 group and had decided that, yes, we hadn't notified the  
8 offsets on the wells that are adjoining Mr. Hartman.  So we  
9 decided to move to an area where we basically offset  
10 ourselves or we had limited exposure to offset operators.

11          Q.    It was after that that you filed the Applications  
12 which are the subject of this hearing; is that right?

13          A.    Yes, sir.

14          Q.    Was Mr. Hartman advised by Gruy that you would  
15 not proceed with the drilling of wells on tracts offsetting  
16 his property, pending OCD approval?

17          A.    Yes.

18          Q.    And is it Gruy's position that they will not go  
19 forward with the drilling of any well offsetting Mr.  
20 Hartman's property until and if permits are obtained from  
21 the Oil Conservation Division that authorized the drilling  
22 of these wells?

23          A.    Yes.

24          Q.    Were there any other discussions with the Oil  
25 Conservation Division concerning this matter?

1           A.    Prior to that I had had a call in to Mr. Stogner  
2 to kind of clarify some of the issues with the simultaneous  
3 dedication. I did not receive a call, a direct call back  
4 where I talked to him directly, but I did receive a voice  
5 mail from him, and he basically indicated to me that it  
6 looked like this was going to hearing, since he had  
7 received the -- he had also received the letter from Mr.  
8 Hartman, and that what I needed to do was make sure I knew  
9 the rules and get in touch with an attorney.

10           Q.    Did he advise you that he could not discuss the  
11 matter further?

12           A.    Right, because he didn't want to compromise his  
13 position. So basically, you know, I didn't contact him  
14 about these issues anymore.

15           Q.    You were involved with the efforts to permit and  
16 locate the Rhodes State Com 1 Number 5, were you not?

17           A.    Yes.

18           Q.    Where is that well actually located?

19           A.    That well is located 330 feet from the north line  
20 and 2310 from the west line in Section 16, 26 South, 37  
21 East.

22           Q.    And is that where you initially intended to drill  
23 a well?

24           A.    Yes. Our geologist had picked that location  
25 initially, and that information was given to our consultant

1 in Hobbs, and it was originally permitted at that.

2 Q. Did you stake the well at that --

3 A. Yes --

4 Q. -- 330 location?

5 A. -- we had staked the well at that location.

6 Q. Then what happened to cause you to change your  
7 mind?

8 A. Well, what we wanted to do was limit our hearing  
9 issues. We knew we had a simultaneous-dedication issue; we  
10 didn't really want an unorthodox-well-location issue. So  
11 we went back and amended that permit to 660 from the north  
12 line and 1980 from the west line.

13 Q. Was the well then staked at that location?

14 A. The well was then staked at that location, yes,  
15 sir.

16 Q. How did this well get drilled at a 330 location  
17 from the north line?

18 A. Well, what happened was -- and I'm getting this  
19 from our field supervisor -- both staking locations were  
20 left in the ground. So when he went out with the  
21 contractor to build the location, they built the location  
22 at the first staking, which was the 330 from the north and  
23 2310 from the west. So it was built there. Now --

24 Q. When did you find out about it?

25 A. Well, the day they spud the well, our field

1 supervisor at that point in time was looking at the  
2 location, and it didn't seem quite right to him, so he  
3 called me up and asked me where it was supposed to be.

4 And I said, Well, it's 1980 from the west, 660  
5 from the north.

6 And, you know, he was -- he said, Well, I think  
7 we put it in the wrong place. He wanted to know what we  
8 could do.

9 And at that point in time I said, Well, what have  
10 you done?

11 And they -- You know, they set the conductor pipe  
12 and set the cement in there.

13 I said, Well, wait until I can get ahold of the  
14 OCD and find out whether or not we're going to have to plug  
15 this well and move it to a legal location.

16 At that point in time I called Mr. Stogner to try  
17 to get some advice. And in discussions with him we had  
18 talked about where it was we had actually moved the well,  
19 and we're actually moving it north of the only gas offset  
20 operator. And he indicated to me that we could go ahead  
21 and drill the well at our own risk, with the understanding  
22 that we'd have to go to hearing to get simultaneous-  
23 location approval and unorthodox-location approval.

24 Q. And as you drilled the well, you knew you were  
25 doing so at your own risk?

1 A. Yes.

2 Q. Who operates the spacing unit north of the  
3 proposed unorthodox location?

4 A. Gruy Petroleum Management?

5 Q. And to the east?

6 A. Gruy does also.

7 Q. Is Gruy also the northeast offset?

8 A. Yes.

9 Q. The Rhodes Federal Unit Number 43 well is also at  
10 an unorthodox location?

11 A. Yes, it is.

12 Q. Could you just summarize the circumstances that  
13 have resulted in the well being at that location?

14 A. Well, that well was originally drilled in the  
15 1950s by J.B. Oil Company. Burlington succeeded to that  
16 well and sometime in 1993, I believe, or 1996, or  
17 something, set a cast-iron bridge plug and walked away from  
18 it. They determined that the well was no longer a  
19 commercial oil producer. And that was a property which our  
20 geologist had identified as having some uphole potential.

21 Q. And you recompleted that well?

22 A. Yes, we did.

23 Q. Was that done this year?

24 A. Yes, it was.

25 Q. Now, this well was originally drilled as an oil

1 well; is that right?

2 A. Yes.

3 Q. Was it at a standard oil-well location?

4 A. Yes.

5 Q. But when it was recompleted in the gas zone it  
6 became unorthodox?

7 A. Yes, it became unorthodox for a gas well, yes.

8 Q. Do you have anything to add to your testimony?

9 A. No.

10 Q. Will Gruy call your geological and engineering  
11 witness to discuss the technical portions of this case and  
12 the correlative-rights issues?

13 A. Yes.

14 MR. CARR: At this time that concludes my direct  
15 examination of Mr. Farris.

16 EXAMINER STOGNER: Thank you, Mr. Carr.

17 Mr. Gallegos?

18 CROSS-EXAMINATION

19 BY MR. GALLEGOS:

20 Q. Mr. Farris, let's go back a little bit to your  
21 experience.

22 A. Uh-huh.

23 Q. You were last employed, before Gruy, by  
24 Burlington Resources?

25 A. That's correct.

1 Q. And I think you said you were in production  
2 control?

3 A. Yes, sir, revenue settlement.

4 Q. Okay. And about how long had you been doing  
5 that?

6 A. I've been doing that since about 1987, about ten  
7 years.

8 Q. Okay.

9 A. About seven years in Division order land work and  
10 about ten years in issues relating to revenue settlement.

11 Q. Did you -- When did you leave Burlington?

12 A. November of 1997.

13 Q. And went directly to work with Gruy --

14 A. That's correct, I --

15 Q. -- at that time?

16 A. -- basically came over with that package.

17 Q. Okay. So is it correct to say that your prior  
18 experience did not relate directly to the kind of  
19 regulatory compliance and permitting work that you  
20 undertook for Gruy?

21 A. That is correct.

22 Q. So this is a new ball game for you?

23 A. New ball game.

24 Q. All right. And that would have -- or should have  
25 led you to study and read the rules of the New Mexico Oil

1 Conservation Division, if your company was going to be  
2 doing any drilling in New Mexico? Would you agree?

3 A. Yes.

4 Q. Okay. And in particular, the area that we're  
5 concerned with is the Rhodes Gas Pool --

6 A. Uh-huh.

7 Q. -- correct?

8 A. Uh-huh.

9 Q. All right. Now, on the witness stand there are  
10 some exhibits there, Mr. Farris. The first one is an order  
11 of the Division in Case 7416, Order R-6891. It's Hartman  
12 Exhibit Number 1. Are you familiar with that order?

13 A. I believe I've read it, yes.

14 Q. When did you have occasion to read it?

15 A. I read this specific order when Mr. Hartman  
16 furnished it to us.

17 Q. When Mr. Hartman wrote you in late May of 1998?

18 A. I believe that's correct.

19 Q. And Mr. Hartman called to your attention that you  
20 were -- or Gruy was doing several things in regard to  
21 development of these wells that was not in compliance with  
22 the pool rules and the general rules of the Division; isn't  
23 that true?

24 A. Yes.

25 Q. And until that time you had not read this order?

1 A. That's correct.

2 Q. Now, you say that Mr. Hartman's letter -- By the  
3 way, just so the record is clear on that, I think maybe we  
4 have -- we may have a copy of Mr. Hartman's letter.

5 MR. CONDON: It's 22.

6 Q. (By Mr. Gallegos) Yeah, if you'd thumb through  
7 there, through the stack of exhibits next to your right  
8 hand, Mr. Farris, and find Exhibit Number 22.

9 A. Okay. I've got it, I've got it.

10 Q. Okay. For the record, is that a letter dated May  
11 21, 1998, from Doyle Hartman addressed to Lori Wrotenbery,  
12 director of the --

13 A. Yes, it is.

14 Q. -- Division? And it copies Gruy Petroleum at the  
15 address in Irving, Texas?

16 A. Yes, it does.

17 Q. All right. And is this the letter that you  
18 referred to that first called to your attention certain  
19 regulatory requirements that pertain to the Rhodes Gas  
20 Pool?

21 A. It -- Yes, it called to my attention certain  
22 regulatory requirements, yes.

23 Q. There were some later letters --

24 A. Right.

25 Q. -- from Mr. Hartman, as well; isn't that true?

1 A. Uh-huh. Yes, it is.

2 Q. Okay. And I think you testified that until the  
3 letter of Mr. Hartman, you were not familiar with the memo  
4 of Mr. -- or Director LeMay, regarding one well on a 160-  
5 acre proration unit in a nonprorated pool?

6 A. That's correct.

7 Q. Okay. If you will look at Exhibit 4 and 5 in the  
8 stack there, have you seen those documents before?

9 A. Yes, I've seen these.

10 Q. All right. And is it a fact that you had never  
11 been aware of the contents of those memorandums of the  
12 Director of the OCD until after the letter of Doyle Hartman  
13 on May 21, 1998?

14 A. That is correct.

15 Q. But certainly, Mr. Farris, in undertaking the job  
16 that you were assigned to in November of 1997, you read the  
17 OCD rules, did you not?

18 A. Yes.

19 Q. Okay. Well, in the notebook that I called to the  
20 attention of Mr. Jessup before -- Do you have that  
21 notebook?

22 A. Yes.

23 Q. Okay. Well, take a look at Exhibit 8 of our  
24 exhibits in that stack where we've excerpted some of the  
25 rules.

1 A. I've got it.

2 Q. Okay, the second page of that exhibit quotes  
3 Division Rule 104.D.(3)?

4 A. Uh-huh.

5 Q. That rule specifies that "in Non-Prorated Gas  
6 Pools: Unless otherwise permitted by special pool rules or  
7 authorized after notice and hearing, only one (1) well per  
8 spacing unit is permitted in non-prorated pools."

9 A. Uh-huh.

10 Q. Correct?

11 A. That's correct.

12 Q. So that's essentially the same thing that the  
13 LeMay memos are saying, isn't that true?

14 A. That is correct.

15 Q. So just by simply reading the rules, you would  
16 have known that it is a clear rule that in a nonprorated  
17 pool, no more than one well is permitted?

18 A. That is correct, and that's why I made my calls  
19 to the OCD and discussed issues about simultaneous  
20 dedication.

21 Q. After you had placed more than well on proration  
22 units; isn't that true?

23 A. No, that was during the process.

24 Q. Okay.

25 A. So...

1 Q. Well, let's look at the process. And by the way,  
2 you're aware that Rule 104.C.(2) specifies that the  
3 proration unit for this particular pool is 160 acres?

4 A. Yes.

5 Q. And that the requirements for location are 660  
6 feet to an outer boundary, 330 to an inner boundary, and no  
7 closer than 1320 feet to the nearest other well?

8 A. Yes.

9 Q. All right. If you would, Mr. Farris, let's start  
10 with our Exhibit 12. Would you find that, please?

11 A. Okay. Got it.

12 MR. GALLEGOS: All right. And it might help the  
13 discussion if we just put up on the board on display a  
14 blow-up we have of this area. Let me pull this around  
15 here.

16 Mr. Examiner, for the record, we're putting up on  
17 display here near the witness stand a blow-up which is  
18 designated as our Exhibit Number 39; it's marked on the  
19 back. And it shows a general -- generally about a six-  
20 section area that's the focus of this hearing.

21 Q. (By Mr. Gallegos) Do you recognize the proration  
22 units and the wells generally that are shown here, Mr.  
23 Farris?

24 A. Yes.

25 Q. All right. What I want to do is -- And have you

1 found Exhibit Number 12?

2 A. Yes, I have.

3 Q. All right. What I want to do is start with the  
4 activities that were up in the southwest quarter of Section  
5 4 --

6 A. Uh-huh.

7 Q. -- and Exhibit Number 12 begins with a sundry  
8 notice signed by you and dated February 16, 1998, does it  
9 not? Is that correct? That's the first page?

10 A. Yes.

11 Q. All right. And that document was prepared by  
12 you?

13 A. Yes, it was.

14 Q. And what was the subject and purpose of that  
15 notice?

16 A. To notify the BLM what our intentions were on  
17 this well.

18 Q. All right. And what were your intentions?

19 A. Our intentions were to recomplete the well on the  
20 Yates formation.

21 Q. All right. That would be what you call your  
22 Rhodes Federal Unit Number 43?

23 A. Yes, sir.

24 Q. Okay, which is in the northwest of the southeast  
25 quarter?

1 A. Yes.

2 Q. All right. Is the second page of this exhibit  
3 the AFE for doing that work?

4 A. Yes.

5 Q. The rework on the 43?

6 A. Uh-huh.

7 Q. And it's dated March 4, 1998, is it not?

8 A. Yes.

9 Q. And it calls for an expenditure of just under  
10 \$100,000 to rework this well?

11 A. Yes, it does.

12 Q. Basically, the objective on reworking the well  
13 was to come uphole, perforate in the Yates formation,  
14 Rhodes Gas Pool?

15 A. Yes, it was.

16 Q. And to stimulate the well by hydraulic fracture?

17 A. Yes.

18 Q. And is the next page an economic run on this Well  
19 43, economic projection?

20 A. Yes, it is.

21 Q. And at a --

22 A. Okay, yes, it is.

23 Q. Okay. I would take it, although not produced in  
24 your document production, that you did an economic  
25 projection on all of these wells of a similar nature, did

1 you not, Mr. Farris?

2 A. I didn't.

3 Q. Well, somebody did?

4 A. Yes, somebody did at Gruy, yes.

5 Q. All right. And by the way, what did this show at  
6 10-percent discount the present worth would be for this  
7 well?

8 A. We show that at -- Well, it says present worth of  
9 net before tax.

10 Q. Yes.

11 A. Well, I'm not exactly --

12 Q. It's in the red by \$4600, isn't it?

13 A. Right. I don't...

14 Q. All right, let's go to the next page.

15 A. All right.

16 Q. This is a sundry notice on the BLM Form 3160-5,  
17 correct?

18 A. Yes, sir.

19 Q. That's a completion -- well-completion form?

20 A. It's 3160-3. No, wait a minute. You're right,  
21 3160-5.

22 Q. And the -5 is to report completion of work,  
23 correct?

24 A. No. No, that's just a report of what you intend  
25 to do on this well, and what you did -- It's the last

1 sundry notice, yes.

2 Q. All right. Well, let's --

3 A. It's not the same as the well-completion form.

4 Q. All right. Well, let's put together the fact  
5 situation --

6 A. Okay.

7 Q. -- of what went on here, because you talked about  
8 learning about certain things during the process and  
9 calling Examiner Stogner and so forth.

10 In February, you give notice of your intention to  
11 recomplete this well, and in March the recompletion work is  
12 done.

13 A. Uh-huh.

14 Q. When that's undertaken, Rule 104.D.(3) is in  
15 effect, and you're aware of. That means one well on 160  
16 acres, right?

17 A. Yes, unless you get approval for simultaneous  
18 dedication.

19 Q. So you hadn't even sought approval for  
20 simultaneous dedication --

21 A. That's correct.

22 Q. -- in March of 1998, had you?

23 A. That's correct.

24 Q. And there was already the RFU 41 well on that  
25 proration unit and producing --

1 A. That's correct.

2 Q. -- isn't that true?

3 And isn't this form to be filed within 30 days of  
4 the completion of the operations that were performed?

5 A. Yes, it is.

6 Q. And you filed it approximately -- what? Four  
7 months after the work was completed?

8 A. Yes.

9 Q. You filed it, let's see, about three weeks after  
10 you received the Hartman letter, the first Hartman letter,  
11 correct?

12 A. Yes.

13 Q. One other thing on the well completion report, on  
14 the Form 3160-4, is that the completion form?

15 A. Yes, sir.

16 Q. All right. Which you did not file until -- or  
17 did not complete, at least, and then file thereafter until  
18 August 25th, 1998 --

19 A. Yes, sir.

20 Q. -- approximately last week, basically. Right?

21 A. Yes, sir.

22 Q. And for the drilling of the well or the placement  
23 of this well, the decision to do the rework, you relied on  
24 an old log?

25 A. Yes, sir.

1 Q. And what log --

2 A. Well, the geologist relied on the old log.

3 Q. Okay. And what log do you refer to?

4 A. It's a log that Burlington had, I believe. It's  
5 not our log.

6 Q. It was -- About when was it run, do you know?

7 A. I don't know when it was run. A geologist would  
8 know.

9 Q. Okay. But no log was run on this well --

10 A. Not during --

11 Q. -- when the recompletion work was done?

12 A. Not during the recompletion process, no.

13 Q. And evidently, the last part of this exhibit  
14 reflects a circumstance where the BLM required you to make  
15 certain filing that had not been done?

16 A. Yes, sir.

17 Q. On this 43?

18 A. Yes, sir.

19 Q. You weren't aware that you were required to give  
20 the BLM notice when a well begins producing from a  
21 different formation which it had been originally completed?

22 A. Yes, I was aware of that before they sent the  
23 notice. I had meant to do that.

24 See, what happened in these wells is, we had  
25 several recompletion programs. Several of them were in the

1 Rhodes-Yates Unit. And at the time that I had done the  
2 sundry notices, I had done the sundry notice on the Rhodes  
3 Federal 43 the same way.

4 Early on, we were under the impression that the  
5 Rhodes-Yates-Seven Rivers-Queen was all one pool. And in  
6 the course of our efforts, we learned that the Queen is in  
7 the Langlie-Mattix and the Yates-Seven Rivers is in the  
8 Rhodes-Yates Pool. So in thinking back on what I had done,  
9 I knew that I had to submit corrective reports on the  
10 Rhodes Federal Unit 43, because we effectively did a  
11 plugback and didn't just recomplete the same pool.

12 Q. And that occurred in March?

13 A. That occurred in March, that is correct.

14 Q. And this dawned on you in August?

15 A. No, it didn't dawn on me in August. It had  
16 dawned on me in the course of trying to get ready for this  
17 hearing. In fact, we didn't just recomplete existing gas  
18 wells; we recompleted an oil well at that point in time,  
19 and therefore it was necessary to bring that into the  
20 simultaneous-dedication hearing.

21 Because if we had recompleted a well that had  
22 been temporarily abandoned in the gas pool that was already  
23 -- in the past had been concurrently producing, we  
24 shouldn't have to seek simultaneous dedication, because it  
25 was simultaneously dedicated before.

1 Q. Well, I'm a little confused. It was not a gas  
2 well before?

3 A. No. Yeah, I'm just talking in general. We had  
4 several recompletions, and at the time I was not aware that  
5 we were plugging back from the Queen to the Yates-Seven  
6 Rivers.

7 Q. Now you're talking specifically about --

8 A. -- the Rhodes Federal Unit 43.

9 Q. -- 43?

10 A. Uh-huh.

11 Q. Well, in February you prepared the notice that  
12 says you plan to recomplete the well in the Yates  
13 formation?

14 A. That's right.

15 Q. So you knew you were going to be completing it in  
16 a gas-producing formation?

17 A. That's right. Early on, Gruy was under the  
18 impression the Yates-Seven Rivers-Queen was the same pool.

19 Q. Well, but the fact -- That doesn't change the  
20 fact, Mr. Farris, that way back as far as February you  
21 already knew the 41 was producing?

22 A. No, that was TA'd, temporarily aban- -- Oh, yeah  
23 41 was producing, you're right.

24 Q. The 41 was producing.

25 A. Uh-huh.

1 Q. The rules clearly provide that you can only have  
2 one producing well in the Rhodes Gas Pool on a proration  
3 unit, and you were going ahead here and recomplete to have  
4 a second well?

5 A. Right, the way we understood the rules was, you  
6 could apply for simultaneous dedication, that there was a  
7 process by which you could have more than one well per 160.

8 Q. But you -- So you think the way the rules work  
9 is, you just go ahead and do whatever you want to do, and  
10 then later on you apply?

11 A. No, that's not correct. Because in reading the  
12 memo, if you do not receive simultaneous-dedication  
13 approval, then you either plug a well or you shut one in  
14 and produce them on intervals.

15 So at the time we looked at this and basically  
16 read the memo optimistically and said, Let's proceed with  
17 two wells and see what happens in the hearing.

18 Q. Well, let's just take the language of the rule.  
19 Is there anything unclear about the words that say, "Unless  
20 otherwise permitted by special pool rules or authorized  
21 after notice and hearing, only one (1) well per spacing  
22 unit is permitted in non-prorated pools"?

23 A. No, there's nothing unclear about that.

24 Q. So you were just proceeding in violation of the  
25 rule in drilling the 43; isn't that right?

1           A.    I don't think so.  Based on the memo from Mr.  
2 LeMay, if you want to produce two wells you can't just  
3 produce them simul- -- you can't produce them at the same  
4 time unless you have approval for simultaneous dedication.

5           Q.    When that requires application, notice and  
6 hearing --

7           A.    Yes, it does.

8           Q.    -- isn't that correct?

9           A.    Yes, it does.

10          Q.    And the 43 is on production, the 41 is on  
11 production?

12          A.    Not now.  The 43 and the 41 are shut in.

13          Q.    Okay, because of this hearing?

14          A.    Because we wanted to apply by the rules, yes.  
15 Abide by the rules.

16          Q.    When did you shut them in, last week?

17          A.    No.  Sometime -- The 43 produced for a while, and  
18 again, that well snuck up on us because of the fact that we  
19 had been recompleting wells in the Yates -- re-frac'ing  
20 wells in the Yates, and then, like I said, it dawned on me  
21 that we had plugged back.  So then we told our field to  
22 shut in the 43.

23          Q.    Well --

24          A.    I'd say in July, is when we did that.

25          Q.    Exhibit 24, which I believe is a set of documents

1 which were just furnished to us yesterday --

2 A. Uh-huh.

3 Q. -- do you find that?

4 A. Yes, I do, right here.

5 Q. The second page of that reflects that the 43 was  
6 producing throughout June of 1998.

7 A. Right.

8 Q. So up to the time of the Application, you were  
9 producing that well?

10 A. That's correct.

11 Q. Okay. And what? On the advice of counsel you  
12 decided to -- recently to shut in the 43 --

13 A. No.

14 Q. -- and the 41?

15 A. No, that wasn't on the advice of counsel.

16 Q. Well, so you've got the -- what we've looked at  
17 so far, addressing the southwest quarter of Section 14,  
18 you've got two producing wells, the 41 and the 43 --

19 A. Yes.

20 Q. -- as of your recompletion work?

21 Exhibit Number 13, let me ask you if you  
22 recognize that, Mr. Ferris.

23 MR. CARR: What exhibit?

24 MR. GALLEGOS: Number 13, Hartman 13. It's a  
25 frac recommendation.

1 MR. CARR: Got it.

2 Q. (By Mr. Gallegos) Are you familiar with this  
3 document --

4 A. Well, I've seen it.

5 Q. -- or do you want to defer to somebody else?

6 A. I've seen it. I'm not extremely familiar with  
7 it, but --

8 Q. Well, what I thought was --

9 A. I might have -- I probably looked at this, or at  
10 least asked -- looked at our well-completion report, to get  
11 some of the information on the sundry notice.

12 Q. Well, on page 3, which is your production number  
13 192 --

14 A. Yes, sir.

15 Q. -- it shows a well spacing of 80 acres?

16 A. Uh-huh.

17 Q. Did you have anything to do with that?

18 A. No.

19 Q. All right. That would be incorrect for a well in  
20 this Rhodes Gas Pool; isn't that correct?

21 A. Yes.

22 Q. Because you don't know where that came from?

23 A. Well, it came from this Halliburton document. I  
24 don't really know where that come from, no.

25 Q. Well, but --

1 A. Yeah.

2 Q. -- but the information to Halliburton, you don't  
3 know who imparted that to Halliburton?

4 A. No, I don't.

5 Q. Okay, let's turn to Exhibit Number 16.

6 A. Got it.

7 Q. All right. Now, remembering back to Exhibit  
8 Number 12, we know that by March 12th the Number 43 well  
9 had been recompleted in the Yates as a gas well?

10 A. Yes.

11 Q. Okay. And the 41 was already on that unit?

12 A. Yes, it was.

13 Q. All right. So in April of this year, then, you  
14 prepare, or somebody as a contractor for your company  
15 prepares an APD to drill the 415 well on that same 160  
16 acres?

17 A. Yes, sir.

18 Q. Is that reflected by Exhibit 16?

19 A. Yes, sir.

20 Q. This is signed by, if I read it correctly, a Joe  
21 Janico; is that --

22 A. Janica, yes, sir.

23 Q. And is that the contract consultant in Hobbs that  
24 you said you employed?

25 A. Yes.

1 Q. Now, did you -- What role did you play in the  
2 work being done on permitting this? This would have all  
3 been supervised by you, wouldn't it, Mr. --

4 A. Right. Basically what we did is take the  
5 locations that our geologist had identified and furnish  
6 those to Mr. Janica.

7 Q. All right. And now you were proceeding -- or  
8 Gruy was proceeding in April to put a third well on this  
9 160 acres, correct?

10 A. That's correct.

11 Q. And on the dedication plat, the second page, the  
12 Form C-102 --

13 A. Uh-huh.

14 Q. -- the other two existing wells are not shown on  
15 that plat, are they?

16 A. That is correct.

17 Q. Isn't the practice to reflect on the plat other  
18 wells in other locations?

19 A. Should be, yes.

20 Q. Should be on there, shouldn't it?

21 A. Uh-huh.

22 Q. And this well, this 415 well, also should be no  
23 less than 1320 feet from any existing well on that quarter  
24 section?

25 A. Yes.

1 Q. Correct?

2 A. Yes. We may have amended this later. I know we  
3 amended several permits, but -- to reflect the existing  
4 wells.

5 Q. Okay, the --

6 A. It's not on this one, no. I don't know.

7 Q. Well, I haven't seen it --

8 A. Okay.

9 Q. -- if it's been furnished to us.

10 And then in June, you do report within 30 days  
11 that the work was done to drill and complete this well in  
12 mid-June of this year?

13 A. Yes, sir.

14 Q. And this is after you had received at least two  
15 letters from Mr. Hartman directing your attention to the  
16 pool rules. He said that no more than one well was  
17 permitted unless approved by -- after application and  
18 hearing; isn't that correct?

19 A. Yes.

20 Q. And this well was put on production, was it not?

21 A. Yes, sir, it was.

22 Q. And back to Exhibit 24 that I called your  
23 attention to earlier, it would tell us if this well  
24 produced beginning on August 5th and right on up through  
25 the end of the month of August?

1 A. Yes, sir.

2 Q. And it's still producing, I take it?

3 A. Yes, sir.

4 Q. Is the election of Gruy to plug and abandon the  
5 41 and the 43 and to produce the 415?

6 A. No.

7 Q. You want to produce all three of them?

8 A. Simultaneously, yes.

9 Q. Produce all three simultaneously?

10 A. Yes.

11 Q. And drill a fourth well on the unit? Is that  
12 planned?

13 A. We don't have any plans to drill a well up there  
14 now.

15 Q. If I told you that the 415 is located 1043 feet  
16 from the RFU Number 41, do you have any information to the  
17 contrary?

18 A. No, I don't have any information in front of me  
19 to the contrary, no.

20 Q. All right. Which would be a violation of 250,  
21 300 feet from that 1320-foot rule, do you agree?

22 A. It is, yes.

23 Q. All right. Let's focus, then, on what your  
24 activities were on Section 16 here earlier this year, Mr.  
25 Farris. And by the way, just -- I think that -- before --

1 The 415 was completed before the Application was filed in  
2 this proceeding?

3 A. Application for simultaneous dedication?

4 Q. Yeah, the Applications that are being heard here  
5 today.

6 A. Yes.

7 Q. Okay, let's turn our focus to the southwest --  
8 excuse me, the northwest of Section 16.

9 A. Okay.

10 Q. And I have an Exhibit 17 that I'd like to draw  
11 your attention to. This exhibit, if you take a minute to  
12 look it over, I think, contains the application that you  
13 were talking about where you had an unorthodox location and  
14 an orthodox location filed, and then you ended up drilling  
15 it as -- you meant to drill on the orthodox but drilled on  
16 the unorthodox.

17 A. Is that 17A?

18 Q. Yes, and it's got -- It's a multi-page exhibit.

19 A. Okay.

20 Q. 17A and a -B and a -C.

21 A. D? Okay.

22 Q. Well, I think -D was the same as -C when I looked  
23 at them.

24 A. Is it?

25 Q. You can throw -D away.

1 A. Okay.

2 Q. Take a minute. I just want to make sure you're  
3 familiar with what we have here so that we can go through  
4 chronologically what occurred.

5 A. Okay.

6 Q. All right. Let's go back in time to June of this  
7 year.

8 A. Okay.

9 Q. And as you look at this 160-acre proration unit,  
10 there are already two producing wells in place on that  
11 unit?

12 A. Yes.

13 Q. The 18 -- I think they're called the Rhodes State  
14 Com 18 and Rhodes State Com 19.

15 A. Yes.

16 Q. Do you agree?

17 A. Uh-huh.

18 Q. And so you've already got two wells producing  
19 there?

20 A. Uh-huh.

21 Q. All right. And now you are proceeding to take  
22 steps to drill a third well?

23 A. Yes.

24 Q. And you haven't applied to the OCD for any kind  
25 of permission --

1 A. For the --

2 Q. -- to do this?

3 A. For the hearing, you're correct.

4 Q. All right. Now, 17A is an APD to drill the  
5 Number 5 well in that quarter section, and it shows  
6 handwritten in handwriting, and it was filed on June 3rd --

7 A. Uh-huh.

8 Q. -- and approved June 9th?

9 A. Uh-huh.

10 Q. All right. Now, if you turn to the plat, second  
11 page of the plat, that does show the 18 and the 19 wells,  
12 correct?

13 A. Yes, it does.

14 Q. And it is an orthodox location?

15 A. Yes, it is.

16 Q. All right. So that was guided by your geologist  
17 as the location?

18 A. No.

19 Q. No, that was a mistake?

20 A. The 660 and 1980?

21 Q. The location shown on this APD prepared on June  
22 3rd, 1998?

23 A. Right, it was moved to that location to make it a  
24 legal location, so that our geologist did say it was okay  
25 to move it there, yes.

1 Q. Well, wait a minute, you say moved. Isn't this  
2 the first APD that was prepared? If you look at 17B, it,  
3 under your signature, shows a date of June 26th, 1998?

4 A. That's correct, that's the amended report.

5 Q. And it's for the unorthodox location?

6 A. That's correct. That was in response to amend  
7 the plat, because we had drilled the well in the wrong  
8 location.

9 Q. Okay, let me see if I understand, then. You  
10 filed an APD for locating the well 660 feet from the north,  
11 you went out and drilled it 330 feet from the north, and  
12 then prepared what is shown as Exhibit 17B?

13 A. That's correct.

14 Q. Is that the sequence?

15 A. That's correct. Actually, the well was staked at  
16 the 330-foot location. That was the original location that  
17 our geologist had picked.

18 Q. When was it staked at that location?

19 A. It was staked prior to the staking of the 660 and  
20 the 1980.

21 Q. Well, it was staked prior to June 3rd at the  
22 unorthodox location, wasn't it?

23 A. Yes.

24 Q. So you had staked it at an unorthodox location.  
25 Then you came in and filed an APD at an orthodox

1 location --

2 A. Uh-huh.

3 Q. -- and then you went out and drilled the well at  
4 an unorthodox location?

5 A. That's correct. We drilled it at the first  
6 staking instead of the second staking.

7 Q. But when you filed for the APD, you knew it was  
8 staked at an unorthodox location, but didn't reflect that  
9 on the APD; isn't that what happened?

10 A. When we filed the APD, we filed it at an orthodox  
11 location, because we didn't want to file it at the  
12 unorthodox location, yes.

13 Q. Because -- But you had staked at the unorthodox  
14 location and you drilled the well at the unorthodox  
15 location?

16 A. That's right, we had staked it at the unorthodox  
17 location because that was the original location that our  
18 geologist had picked.

19 Q. Okay. But you didn't want to reveal to the  
20 Division that you were going to drill the well at the  
21 unorthodox location, so you file an APD showing it at an  
22 orthodox location?

23 A. No, that's not correct. The reason we filed the  
24 APD at the orthodox location is because we intended to  
25 drill it there.

1 Q. Okay, and left it staked at the unorthodox  
2 location, and that's where the rig went --

3 A. Well --

4 Q. -- and that's where the well was drilled?

5 A. -- yeah, the surveyors that we had contracted had  
6 left it staked there, yes.

7 Q. On 17B, I'm curious here. Did you have the  
8 Division Office in Hobbs backdate the approval? Because it  
9 shows an approval date of June 8th, even though evidently  
10 submitted on June 26th.

11 A. I didn't do that, no. I mean, I didn't talk with  
12 them and ask them to do that, no.

13 Q. All right. So the result is, you've got three  
14 producing wells on that 160 acres in Section 16?

15 A. That is correct.

16 Q. And the Number 5 well that we've been talking  
17 about at the unorthodox location, Exhibit Number 24, shows  
18 it was producing through the month of August, I guess  
19 beginning August 13th?

20 A. Uh-huh.

21 Q. And it's still producing?

22 A. Right. We're attempting to clean that well up  
23 and get more production from it.

24 Q. Okay. And Gruy is unwilling to select one well  
25 to be the well to which it dedicates its proration unit and

1 shut in the other two wells?

2 A. Well, no, as soon as we get through working on  
3 the Rhodes State Com 5 and clean it up, we'll shut that in  
4 until -- pending this hearing. The other two wells are  
5 producing concurrently all along, the 18 and the 19.

6 Q. Well, I'm not talking about pending the hearing,  
7 but I'm talking about, is Gruy willing to say, We'll select  
8 our new well, the Number 5, which is a newly drilled and  
9 completed well, to be the well to which we dedicate this  
10 proration unit, and not produce from the other two wells?

11 A. Shut them in, you mean?

12 Q. Yes, not produce from them.

13 A. If that's the result of this hearing, yes. We  
14 would rather get approval to simultaneously dedicate  
15 them --

16 Q. So you want

17 A. -- share the allowable.

18 Q. So you want three? This is a nonprorated pool,  
19 Mr. --

20 A. Right.

21 Q. -- Farris. You understand that for the very  
22 reason that it's nonprorated, that the way correlative  
23 rights are protected is because of spacing and the  
24 limitation of wells that can be drilled on a spacing unit?  
25 Are you aware of that?

1 A. I'm aware of that.

2 Q. All right. But you want to produce -- Gruy wants  
3 to produce from all three wells on this 160 acres in  
4 Section 16? That's its position?

5 A. We'd like to get approval to do that, yes.

6 Q. Will you address Exhibit Number 18 with me, Mr.  
7 Ferris?

8 A. Okay. Is that the 159?

9 Q. That is the 159 --

10 A. Okay.

11 Q. -- and this is an Application to drill the 159  
12 that was prepared on April 7, 1998, by Mr. Janica --

13 A. Yes, sir.

14 Q. -- your contract consultant, correct?

15 A. Yes, sir.

16 Q. And this involves the 160 acres in Sections 15  
17 and Section 10 that's shown in green up on the  
18 demonstrative exhibit near you?

19 A. Yes, sir.

20 Q. Agreed? All right.

21 Now, when this was done, Mr. Farris, you, your  
22 company, were aware that that 160 acres already had the  
23 Gregory B 2 as a producing well on it?

24 A. Yes.

25 Q. Isn't that true?

1 A. Yes.

2 Q. Okay. But you planned to drill the 159 upon  
3 permitting, correct?

4 A. Yes.

5 Q. Okay. On the location plat, can you explain why  
6 the 160-acre proration unit is not depicted and why you're  
7 referring to this as a 120-acre unit?

8 A. Yes, this is the old permit. There should be a  
9 new one that we amended that has the true dedication on it.

10 Q. That has the what?

11 A. Should have the true dedication on it.

12 Q. All right.

13 A. It's actually a combination of these two plats  
14 that you have in this exhibit.

15 Q. All right. Well, speaking of that, in Exhibit 18  
16 the -- pages 3 and 4 are APD of the same date for your Well  
17 Number 105 --

18 A. The 103, yes, sir --

19 Q. -- do you see that? I'm sorry, 103.

20 A. Yes, sir.

21 Q. 103. It's a little hard to read that.

22 A. Uh-huh.

23 Q. Okay. And the dedication plat there presumes to  
24 be a 40-acre spacing unit, which is really part of this 160  
25 unit that's in the southeast of the southeast of 10?

1 A. That is correct.

2 Q. That's not correct, is it?

3 A. That's not correct, right.

4 Q. But what it does reflect is that in April, Gruy  
5 was planning to drill two more wells on this 160-acre unit,  
6 which already contained the Gregory B 2, a producing gas  
7 well, correct?

8 A. That's correct. There should be an amended plat  
9 for that one, by the way.

10 Q. Okay. Well, let's take a look at Exhibit 20.

11 A. Okay.

12 Q. Does that reflect the amended plat for the well  
13 159 and the 103?

14 A. Yes, sir.

15 Q. Okay. And these wells, if drilled, would  
16 constitute two additional wells and make a total of three  
17 producing gas wells on this 160-acre plat --

18 A. Yes, sir.

19 Q. -- of the proration unit, correct?

20 A. Yes, sir.

21 Q. And you would have proceeded to drill these  
22 wells, had not Mr. Hartman began writing you and calling to  
23 your attention the violation of the rules that was being  
24 conducted by Gruy; isn't that right?

25 A. Yes, we actually would have continued drilling

1 these wells if you wanted to get simultaneous dedication,  
2 but we moved away to avoid an offset protest.

3 Q. But what we're talking about, though, is an  
4 overall program. We're not talking -- Really, Gruy is not  
5 just addressing wells in Section 4 and Section 16 as part  
6 of its focus in this Rhodes Gas Pool; isn't that true?

7 A. That is correct.

8 Q. You have a -- You entered into a contract with  
9 Key Energy Drilling in June of this year to drill -- What  
10 was it, 13 wells?

11 A. Something like that. Do you have that -- What  
12 exhibit --

13 Q. Take a look at Exhibit 15 and see if that  
14 reflects that contract. Is that the contract between Gruy  
15 and Key Energy Drilling?

16 A. Yes, it is.

17 Q. Footage drilling contract?

18 A. Yes, sir.

19 Q. And is Exhibit C, the last page of this document,  
20 a list of the multi-well package that's to be covered by  
21 this drilling contract?

22 A. Yes. There's a couple additional wells, or one  
23 additional well, that's not on here.

24 Q. Okay, there are 13 wells on here. What else is  
25 under this contract?

1           A.    We drilled with the Elliott Federal Number 6 well  
2   in Section 17 as an oil well, so that's not on here.

3           Q.    Additional gas wells?

4           A.    No, the Elliott Federal 6 was a Morrow well.

5           Q.    No, but I'm asking, are there additional gas  
6   wells?

7           A.    No, not to my knowledge.

8           Q.    The first two wells listed here are the 103 and  
9   the 159?

10          A.    That is correct.

11          Q.    And those are on the 160-acre proration unit  
12   directly offsetting the Hartman base lease?

13          A.    That is correct.

14          Q.    And isn't it true that after Mr. Hartman wrote  
15   you, you wrote him, I believe, in June, saying that Gruy  
16   intended to proceed to drill those wells?

17          A.    I wrote him notification that we had applied for  
18   permits for two and three wells on 160-acre proration unit,  
19   yes, and I believe an unorthodox location in the 159.

20          Q.    How many of these wells here have been drilled,  
21   Mr. Farris, that we have not already addressed? We've  
22   already talked about the 415, the 5, Rhodes State Com 5,  
23   those two new wells --

24          A.    Uh-huh.

25          Q.    -- Section 4 and Section 16.

1 A. Uh-huh.

2 Q. What other ones have you gone ahead and drilled?

3 A. We drilled the Rhodes State 6 well, Rhodes State  
4 Com. We originally permitted that well, I believe, as a  
5 gas well, and we re-permitted it as an oil well. So its  
6 official name is Rhodes State 6 now. We've drilled that.  
7 And that will be completed at some point in time as an oil  
8 well.

9 Q. This is the one in Section 16, at the bottom of  
10 the list?

11 A. Yes, sir.

12 Q. All right. What other...

13 A. Rhodes State Com 5, Rhodes Federal Unit 415,  
14 Rhodes State 6 are the only wells we've actually drilled.  
15 We drilled the Elliott Federal 6 in Section 17 as an oil  
16 well. It's not on here.

17 Q. Is it true, Mr. Farris, that every one of these  
18 wells that's called for here would be either the second or  
19 the third well on the proration unit where it would be  
20 located?

21 A. That's correct. I believe the Cagle C 5 is in a  
22 different pool. It's not in the Rhodes Pool. The Cagle C  
23 5 I think is in the Jalmat Pool, Section 3.

24 But as far as the Rhodes Pool goes, yes. There's  
25 some confusion on our part about the Rhodes Federal Unit

1 267 as to whether or not that is a gas well in the oil  
2 pool, as to whether or not that wouldn't hold 40 acres.  
3 We've permitted it as a 160, and we need to seek some sort  
4 of advice from the Commission as to whether we could drill  
5 that well on a 40-acre spacing, since that's in the oil  
6 pool. But all of the others are typically on 160s or  
7 nonstandards.

8           The Rhodes Federal Unit 171 is a re-entry of an  
9 oil well, and what we do on that -- It's kind of landlocked  
10 with nonstandard proration units, and it's got 80 acres  
11 just sitting there. We would seek a nonstandard proration  
12 unit for that.

13           So to answer your question, the 103, 159 would be  
14 multiple wells. The 415 and Rhodes Federal Unit 55, the  
15 227, the 226 -- The 267, if it's 160-acre spacing, would be  
16 multiple wells on there. But like I said, there's evidence  
17 to indicate that gas wells in the oil pool hold 40 acres.

18           Q. I'm sorry, say that again?

19           A. There's evidence in the file -- As a matter of  
20 fact, I asked the OCD in Hobbs if gas wells in the oil pool  
21 would hold 40 acres rather than 160.

22           Q. You're talking about the Rhodes Oil Pool to the  
23 south of this area?

24           A. Yes, sir, and we did permit that well on 160  
25 acres, not really completely understanding the pool rules.

1 Q. Is it the plan and objective of Gruy to make an  
2 application to change the pool rules --

3 A. No.

4 Q. -- for the Rhodes Gas Pool?

5 A. No. The one in Section 25 too would not be a  
6 multiple well. There are no wells in Section 25 at this  
7 point in time.

8 Q. Which one?

9 A. The Rhodes B Federal Number 1.

10 Q. That's not a multiple?

11 A. That's not a multiple. That might even be a  
12 wildcat well. I'm not sure what pool it's in.

13 Q. Is the location of the 103 on this proration unit  
14 offsetting to the east, the Hartman base lease, is that at  
15 a standard location?

16 A. It is now, yes, sir. It wasn't when we  
17 originally permitted it.

18 Q. It shows it at 760. What was it --

19 A. You must have the original one. We've moved it  
20 to 660, 660.

21 Q. Well, I'm looking at 20, which you said were the  
22 amended plats that corrected everything.

23 A. Is this --

24 Q. Second page of --

25 A. Okay.

1 Q. -- Exhibit 20.

2 A. Okay, are you saying 159 or 103?

3 Q. 103. It shows 760, doesn't it?

4 A. Yeah, it shows 760.

5 Q. That's wrong?

6 A. That's what we permitted it, so it's not wrong.

7 Q. But it should be at 660?

8 A. Yeah, my recollection was that we had moved that  
9 to 660 and 660, but it says 760 there. You know, I don't  
10 recall hearing from a field superintendent as to a reason  
11 why that would have to be moved over 100 feet. I certainly  
12 can confirm that.

13 Q. To be clear on what your company is seeking here,  
14 the director's memo of July, 1988, provides that  
15 applications for additional wells on existing proration  
16 units will be approved only -- and that word is  
17 underlined -- on the understanding that upon completion of  
18 the well, the operator shall elect which well will be  
19 produced and which will be abandoned.

20 And you are not seeking relief under that rule?  
21 You're not coming in here and saying, We've got multiple  
22 wells but we're willing to produce only one of them?

23 A. No.

24 Q. Okay. And there is a clarification in August of  
25 1990 of that memo, which indicates that under certain

1     circumstance and a certain showing being made, two wells  
2     may be produced alternately, that is, not simultaneously,  
3     but one for a period and one for another period while the  
4     other is shut in. And you are not seeking relief under  
5     that provision either?

6             A.     We would rather not do that either.

7             Q.     Okay.

8             A.     We're prepared to do that if we have to.

9             MR. GALLEGOS:   That completes my questions.

10            EXAMINER STOGNER:   Thank you, Mr. Gallegos.

11            Mr. Kellahin?

12            MR. KELLAHIN:   Thank you, Mr. Stogner.

13                                   EXAMINATION

14     BY MR. KELLAHIN:

15            Q.     Mr. Farris, you told us you obtained your  
16     bachelor of science degree from New Mexico State?

17            A.     Yes, sir.

18            Q.     In what discipline, sir?

19            A.     Education, biology and chemistry.

20            Q.     You first started working for Gruy when?

21            A.     November of 1997.

22            Q.     Okay. When we look at the contract Mr. Gallegos  
23     was discussing with you, this drilling contract -- it's  
24     Hartman Exhibit 15, Exhibit C attached to that contract --

25            A.     Yes, sir.

1 Q. -- help me go down the list so that I'm clear on  
2 what you have testified to.

3 A. Okay.

4 Q. When we go down the list, indicate for me in the  
5 order listed which wells have actually been reworked,  
6 drilled or completed.

7 A. Okay. 415. The 103 has not been drilled.

8 Q. Okay. Let me ask you this: 103, has that been  
9 permitted?

10 A. Yes.

11 Q. Okay, not drilled but permitted?

12 A. Yes.

13 Q. 159?

14 A. Not drilled but permitted.

15 Q. Okay.

16 A. 415 permitted and drilled.

17 Q. Okay.

18 A. 55 permitted and not drilled.

19 Q. Okay.

20 A. 227 permitted and not drilled.

21 Q. Okay.

22 A. 226 permitted and not drilled.

23 Q. Okay.

24 A. 267 permitted and not drilled.

25 171, the permit is in the process. We have not

1 officially sought approval of the nonstandard proration  
2 unit.

3 Rhodes B Federal Number 1, not permitted, not  
4 drilled.

5 Cagle C 5, permitted, I believe, in the Rhodes-  
6 Yates-Pool, Rhodes-Yates-Seven Rivers. It looks like we  
7 need to repermit that well in the Jalmat Pool, based on the  
8 OCD pool map that we received.

9 The Rhodes State Com 6 -- or Rhodes State Number  
10 6, permitted as an oil well and drilled.

11 Q. Okay.

12 A. Another one that's on there, Elliott Federal  
13 Number 6 in Section 17, permitted as an oil well and  
14 drilled.

15 On other property that's not on here, and I'm not  
16 sure that Key did it or not -- it may have been added to  
17 the contract -- is Rhodes Federal Unit Number 86, which is  
18 a re-entry of an H.G. Moberly Texaco-operated plugged and  
19 abandoned well. We permitted that as the gas well. It  
20 looks like now it's going to be an oil well.

21 Q. Does that complete the wells that are in Gruy's  
22 increased density program?

23 A. At this time, yes.

24 Q. What does "at this time" mean?

25 A. Well, if our geologist identifies another

1 location.

2 Q. Do you have any plans or proposals for drilling  
3 more increased-density wells in Section 8?

4 A. No.

5 Q. The first well under this program was the 43  
6 well? Is that the first well you've permitted?

7 A. Oh, okay, yeah, the first well was recompleted --  
8 a recompletion. And essentially, that well had already  
9 been temporarily abandoned by Burlington. A cast-iron  
10 bridge plug was set and they set cement on top of it, so  
11 all we really did in that well was just clean out the hole  
12 and then perf the Yates and Seven Rivers.

13 Q. So when we look at the southwest quarter of 4, am  
14 I correct in understanding that the first of this activity  
15 for increased density in the gas pool is going to be the 43  
16 well, which was a recompletion?

17 A. Yes, sir.

18 Q. And that permit was filed, I think, in February  
19 of 1998?

20 A. Yes, sir.

21 Q. When we look at the southwest quarter of 4, at  
22 your tabulation on Exhibit Number 2, you summarize for us  
23 the status of the three wells in that spacing unit?

24 A. Our exhibit, Gruy's exhibit?

25 Q. Yes, sir, Number 2.

1 A. Okay.

2 Q. And if you'll look at the first entry it shows  
3 the status. "F", I assume, is flowing?

4 A. Yes, sir.

5 Q. And "SI" is shut-in?

6 A. Yes, sir.

7 Q. The current status of that spacing unit with  
8 regard to these three wells is what, sir? Do you have one  
9 flowing well and two shut-in wells?

10 A. One flowing well and two shut-in wells at this  
11 point in time, yes.

12 Q. There's a completion date associated with each of  
13 those three wells. Do you see that? Just after the status  
14 it says "Completion Date"?

15 A. Yes, I do.

16 Q. All right. The simultaneous dedication of the 43  
17 well is the subject of one of the cases before Examiner  
18 Stogner this morning; is that not true?

19 A. That is true.

20 Q. Is there any time after the completion of that  
21 well in which it was produced concurrently with either the  
22 41 or the 415?

23 A. Yes, it was.

24 Q. And for what period of time and at what rates?

25 A. Well, you can see over to the right, you see the

1 cumulative production on it?

2 Q. Yes, sir.

3 A. It's 8000 MCF. At about that rate.

4 Q. All right. So that cumulative gas production  
5 shown for 43 would be attributable to a period in which it  
6 would be simultaneously produced with the 415?

7 A. Well --

8 Q. Or would it be the 41?

9 A. I need to look at -- Let me look at Mr.  
10 Gallegos's exhibit and see if he has it here. Yeah,  
11 actually, you know, the exhibit that we have there shows it  
12 producing for the entire month of June. We shut it down  
13 sometime in July, so there had to be a period of time when  
14 it probably was producing simultaneously with the 415,  
15 although not entirely.

16 Q. Is it fair to assume that the total cumulative  
17 gas production from the 43 well would have been gas  
18 produced during periods of time in which either the 41 well  
19 or the 415 was also producing?

20 A. The entire?

21 Q. Yes, sir.

22 A. I wouldn't say the entire. Most of it, probably.

23 Q. Can you calculate from your records, either  
24 before or after the hearing, what that total volume would  
25 be?

1 A. Yeah, we could do that.

2 Q. All right. And that would be a volume that's  
3 produced without authority under the simultaneous-  
4 dedication rules?

5 A. That is correct.

6 Q. When we look at the northwest quarter of 16, and  
7 we're looking at the status of that spacing unit, we've got  
8 Well 18 and 19 that are existing --

9 A. Uh-huh.

10 Q. -- and then the Well 5 has been completed but  
11 apparently not produced?

12 A. No, it's producing right now. They're testing it  
13 and, I guess, trying to determine what we're going to do  
14 with it, whether or not we're going to go clean it out,  
15 clean out the perms.

16 Q. Okay. So any production that's occurring from  
17 that well is associated with testing it?

18 A. Yes.

19 Q. How many conversations did you have with Mr.  
20 Stogner concerning the rules and regulations for this pool  
21 and the topic of simultaneous dedication?

22 A. To the best of my recollection, I had one general  
23 discussion with him on simultaneous dedication.

24 Q. Were there general or specific discussions on  
25 more than one occasion?

1 A. Not specific, general.

2 Q. I'm just talking about total number of contacts  
3 with Mr. Stogner.

4 A. I've talked with him at least two or three times.

5 Q. About this subject?

6 A. Not necessarily about this subject, no.

7 Q. I'm focused on this subject.

8 A. Yeah. I know one for sure, maybe one more.

9 Q. To the best of your recollection, when did the  
10 first of those occasions occur?

11 A. That occurred prior to us actually drilling any  
12 wells.

13 Q. Would it predate the recompletion of the 43 well?

14 A. No.

15 Q. So you've recompleted the 43 well, and that  
16 occurred in when, sir?

17 A. March of 1998, I believe.

18 Q. All right. So your first conversation with Mr.  
19 Stogner is after the completion of the 43 well but before  
20 any of the other work is done?

21 A. Yes.

22 Q. And Mr. Stogner advised you that Gruy assumed the  
23 risk of engaging in this work prior to obtaining Division  
24 approval for simultaneous dedication?

25 A. Not really.

1 Q. He did not tell you that?

2 A. No, we talked in general about the process of  
3 putting more than one well on a 160.

4 Q. Did I misunderstand your testimony in response to  
5 Mr. Carr that Mr. Stogner, in fact, had told you that you  
6 were assuming the risk?

7 A. That was on the Rhodes State Com 5. That's a  
8 different discussion.

9 Q. You could not relate the discussion on that well  
10 to the general topic of increased density for gas wells in  
11 the pool?

12 A. Not at the time I talked to Mr. Stogner early in  
13 1998.

14 Q. All right, let's go back to the Number 5 well  
15 then. When did Mr. Stogner first advise you that Gruy was  
16 assuming the risk of this activity being conducted prior to  
17 Division approval?

18 A. The date that we spud the well.

19 Q. Which one?

20 A. The Rhodes State Com 5.

21 Q. Five, and what date is that?

22 A. Is it here somewhere? I'm not exactly sure.

23 MR. GALLEGOS: Yeah, 6-17, June 17th.

24 THE WITNESS: June -- ?

25 MR. GALLEGOS: June 17th.

1 THE WITNESS: Okay.

2 Q. (By Mr. Kellahin) So at that time, then, it was  
3 clear to you in your understanding of the conversation with  
4 Mr. Stogner that Gruy was assuming the risk?

5 A. Assuming the risk of drilling the well, yes.

6 Q. Explain to me what risk you thought you were  
7 assuming?

8 A. We were drilling the well with the understanding  
9 that we would have to go to hearing to get approval for  
10 simultaneous dedication and unorthodox location.

11 Q. Did you understand that the risk you were  
12 assuming is that the Division could and did have the  
13 authority to deny you the opportunity to produce that well,  
14 even though you had expended money to drill it?

15 A. Yes.

16 Q. So that's part of the risk that you knew you were  
17 assuming?

18 A. Yes. We were willing to take the risk to drill  
19 these two wells, to see if we could get simultaneous  
20 dedication approval.

21 Q. Are you willing to assume the risk of continuing  
22 this increased-density drilling program without prior  
23 approval of simultaneous dedication before you do the work?

24 A. I'm not qualified -- We would not continue the  
25 infill drilling program unless we were sure that we could

1 get simultaneous dedication.

2 Q. That's what I'm asking.

3 A. Right.

4 Q. So at the current status, despite the fact that  
5 you have wells permitted, it is Gruy's intent not to go  
6 forward with that actual work until you have the  
7 appropriate order in place allowing simultaneous  
8 dedication?

9 A. That is correct, we want to abide by the  
10 Commission rules wherever we've been remiss, yes.

11 Q. Is it your position that the Division, by  
12 approving these workovers or applications to permit to  
13 drill, are somehow responsible for failing to tell you or  
14 inform you about simultaneous dedication?

15 A. No.

16 Q. You're not suggesting that the Division should  
17 have alerted you to this issue?

18 A. No.

19 Q. Why did Gruy choose to go ahead with the wells  
20 that they did drill, without actually stopping and waiting  
21 for a hearing to get this thing cleared up?

22 A. I guess we read the memo from Mr. LeMay and the  
23 rules optimistically. It was our impression that there was  
24 a procedural method by which you could produce the wells  
25 simultaneously, and that was the hearing.

1           So that is why we proceeded with those two wells  
2 in the locations that we proceeded with them. We wanted to  
3 limit our offset exposure, which is why we chose the 415  
4 Gruy State Com 5. We wanted to make notification and set  
5 up the hearing for simultaneous dedication and develop  
6 data, basically, to try to prove our case that you couldn't  
7 adequately drain this 160 with one well.

8           Q. And your choice of procedure is to do this on a  
9 well-specific spacing unit basis, as opposed to asking the  
10 Division to call a hearing to discuss this general topic as  
11 it might affect all spacing units in the gas pool?

12           A. That's our choice of procedure, yes, at this  
13 time.

14           Q. When you contacted Mr. Janica to help you permit  
15 these wells --

16           A. Uh-huh.

17           Q. -- did you advise him that you were attempting to  
18 permit gas wells?

19           A. Yes.

20           Q. And the C-102s attached to the APDs all reflect  
21 an intention on Gruy's part to drill and permit gas wells?

22           A. Yes.

23           MR. KELLAHIN: No further questions.

24           EXAMINER STOGNER: Any redirect?

25           MR. CARR: No.

1 MR. GALLEGOS: Mr. Examiner, might I have just a  
2 few clarifying questions?

3 EXAMINER STOGNER: Okay.

4 FURTHER EXAMINATION

5 BY MR. GALLEGOS:

6 Q. If you covered this, Mr. Farris, and I just  
7 missed it, I apologize, but --

8 A. Okay.

9 Q. -- as Mr. Kellahin went over this well list under  
10 the drilling contract with you --

11 A. Yes, sir.

12 Q. -- what I wanted to know is, are there additional  
13 plans for reworking the existing wells that would result in  
14 a multiple well in a proration unit that are not reflected  
15 as part of this drilling package?

16 A. I don't believe there are any more. There may --  
17 Yes, there's one up in the northwest quarter of Section  
18 4 --

19 Q. Okay, and that would --

20 A. -- Farnsworth 41, I do believe. I believe that  
21 was an oil well too, so we'll have to go through the  
22 process of, you know, filing the proper permission to plug  
23 that one back.

24 Now, I had discussions with people at the OCD on  
25 the proration --

1 Q. I'm sorry, what section is that in?

2 A. It's in Section 4.

3 Q. Northwest of 4?

4 A. Yes, sir. I'm not exactly sure which one of  
5 those wells it is. It's probably that -- Do you see that  
6 TA'd one right there?

7 Q. Yes, sir, and that would be a similar procedure  
8 to what you did with the 43 --

9 A. It may be. I'll tell you why I say that, because  
10 I had discussions with somebody at the OCD, and they had  
11 indicated to me -- I believe at the Hobbs office -- that  
12 there's overlapping dedications in that part of the  
13 northwest quarter. Specifically, the northwest quarter has  
14 a 160. And I'm not exactly sure what the dedication is for  
15 the northeast quarter, but it's a nonstandard. It may  
16 encompass more than your typical 160.

17 So right there we have to do some work to amend  
18 the well in the northwest quarter, which is a gas well, if  
19 we have overlapping dedications.

20 So I'm not real sure how we might approach that.  
21 I mean, we may ask to bust up that large proration unit,  
22 and maybe make it two nonstandards. I don't know.

23 Q. If it's presently 160 acres?

24 A. I don't think it is. I think it's more than  
25 that, but I'm not real sure what it is. It may be -- See,

1 my -- and this is just, you know, discussions with the OCD.  
2 My recollection is, this is a 160 here --

3 EXAMINER STOGNER: Hold it, this is not going to  
4 come out on the record.

5 THE WITNESS: You need to start describing  
6 things --

7 THE WITNESS: All right.

8 EXAMINER STOGNER: -- instead of pointing and  
9 saying "here".

10 Q. (By Mr. Gallegos) But go ahead and point out,  
11 but tell us verbally what you're --

12 A. Okay. The northwest quarter is currently on the  
13 records with having a proration unit of 160. Burlington  
14 drilled this well, not exactly sure which one it is.

15 Q. Which would be in the northwest of the northwest?

16 A. Northwest of the northwest quarter, yes, sir.

17 Q. And you're pointing to Section 4 --

18 A. Section 4.

19 Q. -- on Exhibit 39?

20 A. On Exhibit 39.

21 My discussions with somebody in the OCD a few  
22 weeks ago -- I believe it was Linda Sharpe or somebody like  
23 that -- is that this proration unit here covers the east  
24 half of the northwest quarter, and it goes on and covers  
25 all of the northeast quarter and a portion of the southeast

1 quarter, which would mean that on their records there's an  
2 overlap there.

3 So when I say I'm not exactly sure how we would  
4 approach approval of the rework of that Farnsworth 41, it's  
5 obvious we're going to have to do something to dissolve the  
6 160 that the well is in up there, possibly seek approval  
7 for a nonstandard proration unit for it, which would solve  
8 the problem of that one, but I'm not sure what it does to  
9 the other 200 or 300 spacing units.

10 Q. And you have all the rights -- Gruy has all of  
11 the gas rights in Section 4?

12 A. Yes, sir.

13 Q. Okay. So what I was trying to get at is, where  
14 else are we going to be faced with potentially multiple  
15 wells on the spacing unit besides what's listed here, and  
16 this one may or may not --

17 A. Right, that's the only one I'm aware of, other  
18 than these wells here.

19 Q. Now, isn't it true, Mr. Farris, that Burlington  
20 did not own and Gruy did not -- does not therefore own, any  
21 oil rights in this area?

22 A. Oh, yeah, we do own some oil rights in certain  
23 quarter sections and -- It's spattering oil rights  
24 throughout there, yes.

25 Q. Well, basically, this area back in time was one

1 in which the gas rights were set aside to El Paso Natural  
2 Gas Company, and the oil rights retained by other owners,  
3 Olson, Texaco, and so forth?

4 A. Primarily, that's the way it is, yes.

5 Q. Primarily. And then, of course, the progeny of  
6 your interest is from El Paso --

7 A. Uh-huh.

8 Q. -- through Meridian, Burlington and to you?

9 A. Right.

10 Q. With primarily gas rights?

11 A. Primarily gas rights, that's correct.

12 Q. Just one other question. On the 43, production  
13 on the 43 and on the 5, have you filed C-115s?

14 A. Yes, sir.

15 Q. All right, and those are --

16 A. The Rhodes State Com 5, or the 415 and --

17 Q. The 43, which you reworked and put on  
18 production --

19 A. Okay, yes.

20 Q. -- and presumably you're filing C-115s for the  
21 ones that have been producing all along --

22 A. Yes, sir.

23 Q. -- like the 41 and the State Com 18 and 19,  
24 correct?

25 A. Uh-huh. Yes, that's correct.

1 MR. GALLEGOS: All right. Thank you.

2 THE WITNESS: Okay.

3 MR. CARR: No redirect.

4 EXAMINATION

5 BY EXAMINER STOGNER:

6 Q. One quick question. In the northwest quarter of  
7 Section 16, what is the completion date, or when did the  
8 two wells that were producing in that quarter section and  
9 holding that acreage when you bought it -- do you know when  
10 the completion dates on those were?

11 A. Okay, it should be on this schedule. October,  
12 1973.

13 Q. For both wells?

14 A. Yes, sir.

15 Q. And was that prior to the memorandums that have  
16 been referenced today, limiting, one well?

17 A. Yes, sir, prior to that, 1980.

18 EXAMINER STOGNER: Any other questions.

19 MR. CARR: No questions.

20 EXAMINER STOGNER: You may be excused. Let's  
21 take a 20-minute recess.

22 MR. GALLEGOS: Could I move the admission of some  
23 exhibits? Or we can wait, we can wait.

24 EXAMINER STOGNER: Let's wait.

25 MR. GALLEGOS: All right.

1 EXAMINER STOGNER: Take a 20-minute recess.

2 (Thereupon, a recess was taken at 10:30 a.m.)

3 (The following proceedings had at 11:05 a.m.)

4 EXAMINER STOGNER: Let's go back on the record.

5 Mr. Carr?

6 I'm sorry, I think you had something at this  
7 time, Mr. Gallegos.

8 MR. GALLEGOS: Yes, thank you, Mr. Examiner  
9 Stogner.

10 I would like to move admission of the following  
11 exhibits which were identified by witness Farris. Those  
12 are Hartman's 4, 5, 12, 13, 15, 16, 17, 18, 20 and 22. I'd  
13 like to move the admission of those, and I ask the Examiner  
14 to take administrative notice of Exhibits 1, 2, 3 and 6,  
15 which are orders of the Division or memorandum of the  
16 Director.

17 MR. CARR: We have no objection.

18 EXAMINER STOGNER: Okay, the aforementioned  
19 exhibits will be admitted into evidence.

20 And I'll take administrative notice of the  
21 reference of the previous orders mentioned in Exhibits 1,  
22 2, 3 and 6, those being memorandums and rules, I believe.

23 Mr. Carr?

24 MR. CARR: May it please the Examiner, at this  
25 time we would call H.C. Lee.



1           A.    Yes, sir.  I got my master's degree in science,  
2 geology, from University of Arkansas in 1980.

3           Q.    And after that, did you --

4           A.    After that one, I continued to go to University  
5 of Texas in Arlington and the Midwestern State University,  
6 Wichita Fall, to study the petroleum engineering-relate --  
7 the courses.

8                   And also I go to different short courses, for  
9 example, offered by Society of Petroleum Engineering, try  
10 to get my little bit better knowledge in the petroleum  
11 engineering area.

12          Q.    Could you review your work experience in the  
13 petroleum industry?

14          A.    Yes, sir.  I started work for a company called  
15 Echo Production, E-c-h-o, from 1980 through the end of  
16 1984.  After that one I worked for a company called Henry  
17 Energy Corporation from early 1985 through late 1989.  Then  
18 from 1990 I worked for a company called CWF Energy, to the  
19 beginning of 1995.  Then through my personal reasons I  
20 choose to resign and become an independent contractor since  
21 early 1995.

22                   Then May the 1st, 1997, I go to Gruy Petroleum,  
23 start helping to evaluate their New Mexico properties.  
24 During all those more than 18 years is, majority, to help  
25 company to evaluate a producing field, a reservoir for the

1 geological and engineering side, to see how we can either  
2 enhance or drilling more wells or work over, or the  
3 secondary methods to enhance the production.

4 Q. And in this work you evaluate the geologic -- the  
5 geology of the reservoir?

6 A. Yes, sir.

7 Q. And then you apply engineering principles to do  
8 what?

9 A. To do calculated drainage patterns, what's the  
10 original oil or gas in place, what's been drained, what's  
11 the percentage maybe still remaining, and combine two ideas  
12 both together, then give recommendation to company.

13 Q. Are you familiar with the Applications filed in  
14 each of these cases on behalf of Gruy Petroleum Management  
15 Company?

16 A. Yes, I do.

17 Q. Have you made a technical study of the Gruy-owned  
18 properties in the Rhodes Gas Pool to determine what  
19 additional drilling, if any, is necessary to produce the  
20 remaining reserves in the reservoir?

21 A. Yes, sir.

22 Q. For the new Rhodes Pool wells that are the  
23 subject of each of these consolidated Applications, these  
24 new wells that were drilled or recompleted, was this  
25 activity undertaken based on your study of the reservoir

1 and upon your recommendations?

2 A. That's correct, sir.

3 Q. Are you prepared to share the results of your  
4 study with Mr. Stogner?

5 A. Yes, sir, I am.

6 MR. CARR: We would tender Mr. Lee as an expert  
7 witness in petroleum geology and engineering.

8 EXAMINER STOGNER: Any objection.

9 MR. GALLEGOS: No objection.

10 EXAMINER STOGNER: Mr. Lee is so qualified.

11 Q. (By Mr. Carr) Mr. Lee, let's go first to what  
12 has been marked as Gruy Exhibit Number 7. Would you first  
13 identify that for Mr. Stogner and then review it?

14 A. This is a map showing, using the dark blue  
15 square, is well operated by Gruy Petroleum Management  
16 Company. Then additional to that one, I have a red  
17 circles. Those circles are currently our proposed  
18 locations. Then I have a small red squares in there, and  
19 are those wells currently under completion procedures.

20 I want to point out a very important well, which  
21 will be in Section 8 on the unit letter I. You can see I  
22 did not use the dark blue square to cover that well.  
23 That's original our proposed location which was drilled by  
24 Armstrong. So it's -- they operate that well.

25 Q. Okay. Now, when we look at Exhibit Number 7, the

1 squares indicate only wells that are operated by Gruy; is  
2 that correct?

3 A. That's correct.

4 Q. The red circles are simply your internal  
5 recommendations as to where additional wells should be  
6 drilled in the reservoir?

7 A. That's correct, sir.

8 Q. And will you be reviewing for the Examiner the  
9 methodology that you used to select these locations for  
10 additional wells?

11 A. Definitely, yes, sir.

12 Q. Is it Gruy's position that the additional wells  
13 will only be drilled after necessary approvals have been  
14 received from the Oil Conservation Division?

15 A. Yes, sir.

16 Q. Let's go to Exhibit Number 8. Will you identify  
17 that first and then explain what it shows?

18 A. Exhibit 8, showing the Yates structure map for  
19 those nine sections in the Rhodes area, 26 South, 37 East,  
20 based on a common picking of the top of the Yates. Those  
21 numbers are, generally speaking, above the sea level.

22 We can see we have a generally anticlinal feature  
23 kind of going north northwest to south southeast  
24 directions. We have contour line in between 50 feet.

25 Q. What is the significance of structure in this

1 pool?

2 A. Do to the pool exists for a long, long time, and  
3 I try to familiarize first, is there have any potential  
4 water table setting over there?

5 Second thing is, any potential oil reservoir  
6 which above the water table, and the possible any gas-oil-  
7 water contact, and also try to see what's the lowest-  
8 structure well producing in the field? Is there any  
9 potential expanding the limit of the field right now.

10 Q. And what does this show you?

11 A. I believe, based on this information, my  
12 conclusion is that we to not have a common water table  
13 setting in the Rhodes-Yates-Seven River Gas Pool, and the  
14 water in different wells we're facing different depths, and  
15 the -- also the wells on the edge of the reservoir, we  
16 believe we can drill more wells on the edge of the  
17 reservoir to recover more gas in place.

18 Q. Let's go to your isopach map, Exhibit Number 9.  
19 Will you review that for Mr. Stogner?

20 A. Yes, sir, Exhibit 9 is the work I did for isopach  
21 maps for Yates and the upper Seven Rivers. What I'm using  
22 is, using available logs and the porosity cutoff, 6  
23 percent. And the -- I did not do the only Yates reservoir  
24 for the isopach map. I include the upper Seven Rivers  
25 also, because I believe they are continuous, same

1 reservoir.

2           And also by doing this way, you can see we do  
3 have a -- my interpretation -- localized thickening and  
4 thinning of this Rhodes-Seven River gas reservoir and is  
5 not, based on this interpretation, is not a homogeneous  
6 reservoir.

7           Q. All right, Mr. Lee, let's go back to what were  
8 earlier presented as Gruy Petroleum Exhibit Number 2.

9           A. Okay.

10          Q. This exhibit was originally sponsored by Mr.  
11 Jessup, who testified about the entries on the exhibit to  
12 the left of the status column.

13          A. Yes, sir.

14          Q. Did you prepare, or was the remainder of this  
15 exhibit prepared under your direction and supervision?

16          A. It's prepared by me, and I prepared a portion  
17 from the center, the completion date, all the way to the  
18 right, including the last column of current BHP.

19          Q. Now, does this exhibit contain information on all  
20 wells in the Rhodes Gas Pool?

21          A. Yes, except two wells. One is the well which  
22 operate by Permok, which will be in Section 14, 26 South,  
23 37 East, and also the newest well which I heard complete by  
24 Mr. Doyle Hartman in Section 10, 26 South, 37 East.

25          Q. Let's go through these columns. The first column

1 is simply the completion date; is that right?

2 A. Yes, sir, the completion date with a slight -- On  
3 the first portion on the southwest quarter of Section 4,  
4 the completion date I'm putting there for 43 and 415 may be  
5 different than Mr. Zeno Farris filed to the State. The  
6 reason is, at that time we tried to get accurate bottomhole  
7 pressures, so the date put in there, August, 1998, for 43,  
8 and the July, 415, those two dates are -- only represent  
9 the 72 hours shut-in bottomhole data we acquired.

10 Q. The next column --

11 A. Next column --

12 Q. -- the gross perforations?

13 A. Excuse me. The gross perforations I'm putting  
14 there is using the best my knowledge from the existing well  
15 files and any published information, try to showing the  
16 perforation intervals. Sometimes they are different,  
17 sometimes they are including the upper or lower Seven  
18 Rivers, sometimes the wells might be shorter than they  
19 reach to the upper Seven Rivers.

20 Q. So basically what does this column show you about  
21 the wells in this pool?

22 A. The well -- This column show us, is, not only the  
23 wells can be deepening, and some wells maybe can add more  
24 perforations in those horizons and recover more recoverable  
25 gas.

1 Q. Now let's go to the column entitled "Initial  
2 Pressure". What does that show?

3 A. The initial pressure I'm showing is the date when  
4 those well complete their pressures. I have a hard time  
5 with some wells.

6 For example, the second well from the top, the  
7 Rhodes Federal Unit 41, that well was drilled and completed  
8 in October, 1939. I tried to check the best information I  
9 can have. I cannot get a really comfortable information.  
10 All I can find is 1945 pressures. That's the reason --  
11 That's why I put in there 672 pounds in 1945.

12 And so on. You can see the next one will be the  
13 Rhodes Federal Unit 51. Again, I'm using 1945 pressures.

14 All those pressure I put in here is very  
15 important to calculate, based on the original pressures,  
16 what's the possible gas-in-place numbers and what's the  
17 ultimate recoverable gas under those wells.

18 Q. When we look at this pressure information, does  
19 that tell you anything about the area these wells could be  
20 expected to drain?

21 A. It's very interesting numbers in there. The  
22 reason is, for example, if we take a look at wells complete  
23 in 1973, for example, this northeast quarter of Section 8,  
24 which is Rhodes Federal Unit 81, 82, both well complete no  
25 more than two months apart. For the same period times you

1 can see the pressure have quite a bit of difference, about  
2 227 pounds' pressure's difference over there.

3 And also we have another well, for example, the  
4 -- I'm sorry, the second page, the fifth one from the top,  
5 the northwest quarter 10 and the Rhodes Federal Unit 102,  
6 that well, you know, start in December of 1973, the  
7 pressure only have 275 pounds.

8 Then let's take a look at the pressure. For  
9 example, Burlington drilled the second one in 1991. In  
10 1991, pressures information give you overall summary. They  
11 were as low as 300 pounds, as high as 500 pounds,  
12 indicating reservoir is not uniformly being drained, and we  
13 have similar pressures. In certain areas we will have  
14 higher pressures because they did not been depleted or  
15 drained by -- efficiently, by offset wells.

16 Q. The column, "Current Daily Rate" --

17 A. The current --

18 Q. -- why is that included?

19 A. The current daily rate I put in here just showing  
20 certain wells. For example, if we look the ninth one from  
21 the top, ninth row, the northeast quarter of Section 8, the  
22 Rhodes Federal Unit Number 82, and we only have 2 MCF per  
23 days production -- and some was higher, some was lower --  
24 to show we do have different wells depletion taking place  
25 in different times.

1 Q. You used this information in your volumetric  
2 calculations and in your estimations of drainage areas for  
3 the wells; is that right?

4 A. Yes, sir, this is one of the factors.

5 Q. Let's go to your first cross-section, cross-  
6 section A-A', which has been marked as Exhibit Number 10.  
7 I'd ask you to review that.

8 A. Yes, sir. This cross-section A-A', which --  
9 Excuse me.

10 MR. GALLEGOS: That's all right. Just a second.

11 THE WITNESS: Okay.

12 Q. (By Mr. Carr) Okay, Mr. Lee, let's review A-A'.

13 A. A-A' taking the north-south approach, which  
14 concentrate on the Gruy Petroleum Management Well Number 43  
15 and 415 on the center two wells.

16 What I'm trying to do here is to showing they do  
17 have different tight streaks in different horizons.

18 For example, we taking look the well on the  
19 right-hand side, the Rhodes Federal Unit Number 54 --  
20 apologize the poor quality, because copied several times.  
21 If we're looking just below the Yates horizon, we can see  
22 we have quite a bit of porosity tight streaks, less than  
23 six percent. And when you go in, follow the tight streaks  
24 to the left-hand side, they pretty well development into a  
25 more than 6-percent porosities horizons.

1 MR. GALLEGOS: I'm sorry, which one are you  
2 talking about?

3 THE WITNESS: I'm sorry. May I stand up?

4 EXAMINER STOGNER: Sure.

5 THE WITNESS: Thank you.

6 I'm talking about the well on your right-hand  
7 side, the 9 4 well on the cross-section A-A'. If we  
8 looking at a lease horizon here, you can see --

9 Q. (By Mr. Carr) And you can't say "in here";  
10 you're going to have to define it so that in the record --

11 A. Okay, I'm sorry.

12 Q. -- we know what we're talking about when --  
13 You're talking about the shaded area on the northern part  
14 of that cross- -- or that log?

15 A. Yes, sir. Yes, sir.

16 Q. Okay. Now, what did you want to say about that?

17 A. I want to point out, that one is -- being the  
18 Yates horizon according to my interpretation here, the  
19 porosity horizons, they are not uniform from top to bottom  
20 and the well-to-wells. They do have a lenticular porosity  
21 development in different section of the wells.

22 By doing so, it's one of my conclusion, just for  
23 well, you cannot efficiently to drain the whole Yates  
24 sections, sometimes as thick as about 225 feet. That's the  
25 gross, not the net, porosity horizons.

1 Q. And when you compare that gross thickness to your  
2 net thickness, what is the difference that you see?

3 A. Difference ranging -- For example, if we're using  
4 a -- averaging out at 200 feet, then your net porosity  
5 horizon sometimes as high as 120 feet to 130 feet, using  
6 the 6-percent cutoff.

7 And they also -- From this cross-section, you can  
8 see on the second well on your right-hand side, which will  
9 be Rhodes Federal Unit Number 415, that well actually is  
10 TD'd much shallower than the well to its right, Rhodes  
11 Federal Unit Number 9 4, and the 9 4 have additional  
12 porosity below the TD of the 415.

13 Q. When we look at this cross-section, what kind of  
14 a reservoir are you looking at? A homogeneous --

15 A. Definitely is not a homogeneous, definitely is a  
16 more complicated reservoir than original I start study.

17 Q. Okay. Let's go to cross-section B-B', Exhibit  
18 Number 11.

19 A. Yes, sir.

20 Q. What does this show you?

21 A. Again, the B-B', I tried to re-emphasize my  
22 conclusion on the nonhomogeneous reservoir, the point  
23 number one.

24 The second point, also you can see we do have  
25 wells through much deeper, just reach the top of Seven

1 Rivers, and they do have contributing oil and gas below the  
2 top of the Seven River reservoir. Re-emphasize, it's a  
3 nonhomogeneous, more complicated reservoir than original my  
4 thinking.

5 Q. Mr. Lee, let's go to Exhibit Number 12, your  
6 bubble map, and I would ask you to explain to Mr. Stogner  
7 how you prepared this exhibit.

8 A. This Exhibit Number 12 is combined all previous  
9 -- I mentioned the works, which including study the initial  
10 well-completion pressures, to study the gas quality, the  
11 nitrogen, CO<sub>2</sub> contents and the BTU of the gas, with the  
12 thickness of the isopach maps, additional to that one using  
13 the average porosity information, calculated saturation of  
14 water, using abandonment pressure based on the area, the  
15 gathering line pressure between 10 to 15 pounds to --  
16 that's -- all factors.

17 Then using current those wells' curve of declines  
18 to figure out what the remaining reserves, add that to the  
19 cum so I can come on the ultimate recoverable gas, then  
20 back-calculating to what each one will, based on those  
21 circumstances, how many acres it can drain.

22 Q. So basically you took this data and did a  
23 volumetric analysis and estimated a radius of drainage, and  
24 that's how you plotted these circles; is that right?

25 A. That's exactly correct, sir.

1 Q. And based on this mapping, what were you  
2 attempting to do with this map?

3 A. Well, this map what I'm trying to do is, from  
4 prior my experience, I do not like this jumping area, drill  
5 several wells or workover several wells without at least  
6 give myself a comfort level.

7 First, after study this map, my conclusion is two  
8 parts:

9 First, based on my summary here, we need  
10 additional wells, or recomplete different wells to the  
11 shallow Yates-Seven Rivers to recover remaining reserves.

12 Second reason, based on this map, I can see a  
13 high potential we need to drill more additional edge wells  
14 to expand current producing areas in the Rhodes Yates and  
15 Seven Rivers Gas Pool.

16 Q. So basically your conclusions are that additional  
17 wells or recompletions are needed on certain spacing units  
18 to recover reserves?

19 A. Yes, sir.

20 Q. And that additional reserves can be recovered by  
21 expanding the reservoir with wells on the unit?

22 A. That's right.

23 Q. Is Gruy planning to propose a change in the  
24 overall rules for the Rhodes Gas Pool to permit additional  
25 wells on all spacing units?

1 A. No, sir.

2 Q. Are there any plans that you're aware of at this  
3 time to change the pool rules?

4 A. No, sir.

5 Q. And the locations that are indicated on Exhibit  
6 12 are your recommended additional locations, correct?

7 A. That's correct.

8 Q. And you're not involved with the permitting  
9 process or the questions involving regulatory approvals for  
10 these wells?

11 A. No, sir, I'm not involved that direction.

12 Q. Your assignment is just to identify places where  
13 additional wells could be drilled?

14 A. Yes, sir.

15 Q. If this Application is denied, what, in your  
16 opinion, would be the impact on the correlative rights of  
17 Gruy?

18 A. Well, I believe we'll be denied to have the  
19 opportunity to efficiently to recover additional remaining  
20 reserves, and therefore our rights will be damaged.

21 Q. Could the reserves be recovered that are under  
22 these tracts by producing one well now, and then after that  
23 well hits its economic limit drilling or producing an  
24 additional well on each of these spacing units? Could they  
25 be produced in sequence, as opposed to being concurrently

1 produced?

2 A. Yes, if you really let those wells -- for  
3 example, you more than the gathering line pressure you're  
4 producing, you definitely maybe waited for a long, long  
5 time -- I can't tell you how long of your times. Our  
6 proposed location reserve definitely will be reduced.

7 Q. And what will -- Will you by producing them in  
8 sequence produce the same volume of gas as if you could now  
9 produce them concurrently?

10 A. No. Yes, I'm sorry.

11 Q. Will you -- Let me be sure you understand the  
12 question.

13 A. Okay.

14 Q. How will you produce most efficiently the  
15 reserves under the tract today?

16 A. Definitely will be drilled additional wells and  
17 get approval to produce all at the same time.

18 Q. And produce them simultaneously?

19 A. Yes, sir.

20 Q. If you are permitted to produce these wells  
21 simultaneously, will it have an adverse impact on the  
22 correlative rights of any other operators ion this pool?

23 A. I don't think so, because we are offset by  
24 ourselves.

25 Q. In your opinion, will approval of the Application

1 to simultaneously dedicate these wells otherwise be in the  
2 best interest of conservation and the prevention of waste?

3 A. Yes, sir.

4 Q. Were Gruy Exhibits 2, the portion that you  
5 pre- -- You prepared a portion of Gruy Exhibit 2, correct?

6 A. Yes, sir.

7 Q. And you were responsible for or prepared Exhibits  
8 7 through 12?

9 A. That's correct, sir.

10 MR. CARR: At this time, Mr. Stogner, we would  
11 move the admission into evidence of Gruy Exhibits 2 and 7  
12 through 12.

13 EXAMINER STOGNER: Any objections?

14 MR. GALLEGOS: May this be withheld pending  
15 cross-examination? There may be a couple of -- I don't  
16 have any objection except to Number 12.

17 EXAMINER STOGNER: Let's see, Number 12 being the  
18 drainage calculation?

19 MR. GALLEGOS: Yes.

20 EXAMINER STOGNER: Then you wouldn't object to 7  
21 through 11 being admitted at this time?

22 MR. GALLEGOS: Yeah, and I would like to withhold  
23 ruling and have objections to 9 also. That's the net-pay  
24 calculations.

25 EXAMINER STOGNER: Well, for simplicity we'll

1 just hold off till...

2 MR. GALLEGOS: Thank you, Mr. Examiner.

3 MR. CARR: That concludes my direct examination  
4 of Mr. Lee.

5 EXAMINER STOGNER: Mr. Gallegos?

6 CROSS-EXAMINATION

7 BY MR. GALLEGOS:

8 Q. Mr. Lee, let's go back a little bit so we can  
9 learn some more about your experience.

10 A. Yes, sir.

11 Q. Tell us prior to this what work you have done in  
12 Lea County, New Mexico, hydrocarbon fields.

13 A. Yes, sir. I started with Echo Production. At  
14 that time our work was majority concentrate the -- I  
15 believe the King and the Gladiola and the Bronco field and  
16 the southeast portion of the Lea County, I believe, in the  
17 13 South -- I'm not sure exactly township and range, but  
18 generally in that direction.

19 Q. What field?

20 A. The Bronco --

21 Q. Bronco.

22 A. -- and the King and the Gladiola field.

23 Q. In what formations?

24 A. This will be Devonian, Bone Spr- -- and the  
25 Wolfcamp, in that general directions. And also study --

1 I'm sorry, I cannot tell you exactly township and range --  
2 will be in Eddy County across the state line from Loving  
3 County, the Delaware sands, Delaware sand over there. Also  
4 to the north will be Chaves County, New Mexico, for the Abo  
5 detrital, and also study the field called the Chaveroo  
6 field in the northern portion of Chaves County.

7 Q. Okay. That was back for Echo, back in the early  
8 1980s?

9 A. Yeah, that's including Echo. I'm sorry, I jump  
10 ahead of the time. Echo and Henry Energy Corporation  
11 combined.

12 Q. Okay. What has been your previous experience in  
13 what we generally refer to as the Yates-Seven Rivers trend?

14 A. Okay, experience on that one, my majority work  
15 that time will be in early 1990 with CWF Energy. I was  
16 studying in the Eumont field and the Jalmat, which will be  
17 the 24 South, 36-37 East direction, for the -- not only for  
18 Yates, including the Tansill, Yates, Seven River and Queen.  
19 And a portion of the Drinkard -- Drinkard, D-r-i-n-k-a-r-d.

20 Q. What were you doing?

21 A. At that time we tried to acquire certain  
22 properties in that area, so we try to do the same thing to  
23 see under those -- that time, any potential additional  
24 wells, reserves, can be drilled by new wells or workover  
25 from the deeper horizons, and to evaluate any potential

1 acquisitions.

2 Q. And what happened? There were no acquisitions?

3 A. Well, the price, I believe -- it was very pricey,  
4 and we cannot see a six-years' or five-years' payoff  
5 purchase will be the best interest for the company. That's  
6 the reason those project dropped. And -- Go ahead, sir.

7 Q. Well, so is it accurate to say no wells have been  
8 drilled and completed in the Yates-Seven Rivers trend,  
9 based on your recommendations and your identification of  
10 producing areas?

11 A. Yes, sir, that's a correct statement.

12 Q. Okay. Now, when did you start working on this  
13 project for Gruy?

14 A. The starting date will be official May 1st, 1997.

15 Q. No, I understand you started work -- Your  
16 employment started on May 1st --

17 A. Yes, sir.

18 Q. -- 1997.

19 All right. I'm talking about the particular work  
20 that we see that you're presenting here today in the form  
21 of these exhibits. When did that study start?

22 A. Will be almost the same time, sir.

23 Q. All right. And so what were the steps that you  
24 took initially, then?

25 A. That time, due to the allotted well files, in

1 Houston, I went to Houston to collect a certain boxes  
2 informations relate to the Rhodes areas, try to get all the  
3 wells' past-perforations informations, recompletion  
4 informations for this whole township and range areas.

5           When we do not have those well files, I go to  
6 Fort Worth Geological Library or Geomap to collecting what  
7 additional information they have, and the same times I copy  
8 the Oil Conservation Commission production informations,  
9 make sure I have the most accurate information for those  
10 wells, same times collecting logs -- and unfortunately some  
11 logs are very, very old, are from 1950s, the cased-hole  
12 neutron logs -- and combine all those information together,  
13 start doing the -- what I call a pie chart map to show  
14 which well, which horizon they perforate, to make sure I  
15 give the right cumulative production to that particular  
16 horizons.

17           After that one, I correlate logs, get a structure  
18 map, then come back to doing the porosity net-pay  
19 calculations, get isopach maps, get those things done, then  
20 generally all those maps.

21           Next procedures, I follow up with looking at the  
22 curve of declines on the existing wells to see any portion  
23 of the fields have a higher remaining reserves under that  
24 circumstance, put that number with the cum so I got  
25 ultimate recoverable numbers.

1           Then go to the well files to find out, each one  
2 well, what type of gas we are talking about, the quality of  
3 the gas and what kind of pressure informations, try to get  
4 a BHP over Z number to correlate it back, combine all those  
5 informations together.

6           Then seeing the wells is an older well or newer  
7 wells, and start from the older wells to generate the  
8 bubble map which the ultimate recoverable oil map, the  
9 circle maps, and using pretty standard, about a 90-percent  
10 recoverable factors.

11           Then the newer wells follow. For example, in  
12 1973 or 1990 will be the lower recoverable factors numbers.

13           So combine all those information together, come  
14 up the, I believe, my Exhibit Number 12, sir.

15           Q. All right, let's go back to your determination of  
16 a porosity cutoff factor.

17           A. Yes, sir.

18           Q. This was some -- This was the result of a  
19 calculation that you made?

20           A. Yes, sir.

21           Q. All right. Did you refer to any other -- any  
22 literature, any other sources as to what cutoff factors  
23 were being used in this particular area, in the Rhodes Gas  
24 Pool?

25           A. Yes, sir, I sure did. I got two different

1 sources.

2 One is several studies which was under the  
3 storage unit, at that time was 0 over 01. I cannot tell  
4 you exactly the date, I'm sorry, on that one.

5 The second one is based on the files we got from  
6 Burlington Resources. Burlington was using 12-percent  
7 porosity cutoff.

8 Q. Okay, that makes a considerable difference. In  
9 other words, the lower your cutoff factor, the more you're  
10 calling zones pay; is that correct?

11 A. Yes, sir.

12 Q. If it's 12 percent, many of the zones are not  
13 considered pay or productive, correct?

14 A. That's correct, sir.

15 Q. And you also found, didn't you, that it was  
16 common for those working in this area to use a cutoff  
17 factor of 15 percent?

18 A. Yes, sir, I also got the document there, yes,  
19 sir.

20 Q. Okay. What did you consider to be the factor you  
21 used for hydrocarbon-feet of pay in this particular  
22 formation?

23 A. That's depending on what Rw numbers you're using.  
24 You're using Rw number is 0.03, then you will have a higher  
25 net-feet pay. So using Rw 0.05, you will have a lesser.

1 And my general conclusions, I was -- I probably overall am  
2 using maybe a 13.5 to 13.

3 Q. Okay.

4 A. And I saw several documents, Burlington was using  
5 12.2 numbers.

6 Q. Yeah, Burlington used 12.2 in their  
7 calculations --

8 A. Yes, sir.

9 Q. -- isn't that right?

10 And you're saying that your calculations use 13?

11 A. Yes, sir, 13 or 13.5, I cannot tell you exactly  
12 number, don't have the file.

13 Q. Then what did you consider generally to be the  
14 permeability?

15 A. I consider permeability overall as pretty low. I  
16 consider it -- I call it low is because I also work in  
17 different fields, in different areas. I thought that maybe  
18 looking at 1 to 2 millidarcy, maybe even lesser.

19 Q. Oh, so you consider this a tight formation?

20 A. Yes, sir. Yes, technical term, yes, if you  
21 compare with other sandstone reservoirs.

22 Q. Maybe something like your experience up in the  
23 Abo formation, would you say?

24 A. Yes, Abo -- No, Abo detrital formations would be  
25 similar wherever low permeabilities over there in the

1 Chaves County, New Mexico.

2 Q. Yes, but you considered this also a low --

3 A. Yes.

4 Q. -- permeability --

5 A. Yes.

6 Q. -- formation?

7 A. But you know, that's just overall. The average,  
8 you do can -- You know, they have several wells cored in  
9 there, they do indicate certain porosity horizons,  
10 sometimes as high as 15, 20, but they're very limit  
11 horizons under that high-perms areas.

12 Q. Okay. But by and large, the permeability was  
13 low?

14 A. Yes, sir.

15 Q. Okay, in your opinion?

16 A. Yes, that's in my opinion, that's correct.

17 Q. All right. Now, let's get a little better idea  
18 of what you did on Exhibit 2, which is this table.

19 A. Yes, sir.

20 Q. I tried to follow and I got lost to some extent,  
21 but I think you were telling us that one of the features of  
22 this table that you thought was significant to your opinion  
23 is that certain wells in close proximity and drilled  
24 roughly the same time show a significant differential in  
25 pressure?

1 A. Yes, sir.

2 Q. And I think the first example you gave was that  
3 of the Wells 81 and 82 in the northeast of Section 8?

4 A. I believe so, yes, sir.

5 Q. Okay. And then what was the other example? I  
6 got lost by the time I made a note. I think you flipped a  
7 page and --

8 A. I'm sorry if I speak too fast.

9 Q. No, that's all right, I just -- I'm slow with  
10 keeping up.

11 What was the other example?

12 A. Let's see. I believe I was using the second  
13 page, the fifth one from the top, would be northwest  
14 quarter of Section 10, The Rhodes Federal Unit Number 102.

15 Q. Okay, and comparing that against what, though?

16 A. Compare that one with the first on the northeast  
17 quarter of Section 8, the Rhodes Federal Unit 81, 82.

18 Q. I'm sorry, where is that?

19 A. That's on first page, the ninth columns -- ninth  
20 rows from the top, the northeast quarter of Section 8 --

21 Q. Northeast quarter of -- Oh, the two that we  
22 looked at --

23 A. Yes, sir.

24 Q. -- before?

25 A. Yes, sir.

1 Q. Okay. You're comparing that with the Rhodes  
2 Federal Number 102 because it was also drilled in December  
3 of 1973? That's why you --

4 A. Yes, in the same period of time, yes, sir.

5 Q. All right. And that information led you to the  
6 conclusion that this pressure differential indicates a lack  
7 of uniform drainage?

8 A. That's one of the factors, yes, sir.

9 Q. Okay, and just -- When we talk about the  
10 pressures over in the column of current bottomhole  
11 pressure --

12 A. Yes, sir.

13 Q. -- what is current -- what does that mean?

14 A. That's current pressure --

15 Q. This year or --

16 A. That's -- I'm sorry, that's September, 1997, the  
17 last time when we have pressure information, we send it to  
18 the OCD, except the first two wells. That's the 43 and the  
19 415. The 43 is August, 1998. The 415 is July, 1998,  
20 pressure information.

21 Q. Well, what about the rest of this column? You're  
22 not telling us that all of these bottomhole pressures are  
23 as of September, 1997, are you? Throughout the table?

24 A. Yes, sir.

25 Q. Those are all taken in September of 1997 on all

1 of these wells?

2 A. Yes, sir.

3 Q. And pressure, bottomhole pressure, was  
4 ascertained in all of these wells?

5 A. Yes, we do yearly tests.

6 Q. All right. On all -- These are all Gruy wells.  
7 And you did a wireline --

8 A. Yes, sir.

9 Q. -- wireline on all of these wells?

10 A. Yes.

11 Q. Okay. So all these pressures are September,  
12 1997?

13 A. Yes, sir.

14 Q. Now, let's look at -- And your cum production --

15 A. That's --

16 Q. -- what does that come from?

17 A. -- March, 1998, either from the OCD number,  
18 production number, or from a published company called  
19 Lasser, L-a-s-s-e-r, their CD-ROM production informations.

20 Q. Okay. And any cum that we look at here, we would  
21 understand that it would be from the completion data of the  
22 well until March, 1998? Or soon after completion. I mean,  
23 from when the well first went on production.

24 A. The newer wells, I would say yes. The older  
25 wells sometimes have a problem, because at that time the

1 unit was under gas injection program, and so the 1939, 1937  
2 wells, I believe -- that's my best knowledge, that's the  
3 cum on that one, yes, sir.

4 Q. The cum would be for what period of time?

5 A. For -- Since their production days start, I  
6 believe so, yeah.

7 Q. So you're aware that this field was a gas-storage  
8 unit --

9 A. Yes, sir.

10 Q. -- for decades?

11 A. Yes, sir.

12 Q. So when you show a cum there, you're showing a  
13 cum that reflects native gas and storage gas?

14 A. No, sir. The cum showing is what later on when  
15 the Rhodes gas fields, they claim they already recover all  
16 their injection gas, from that point the native gas  
17 numbers.

18 Q. Okay. So your cum here should only be from that  
19 period of time after it was no longer a storage unit?

20 A. That's correct, sir.

21 Q. All right. Now, your pressures for the 81 and  
22 82, taken in 1973, that you say show a significant  
23 differential, would be pressures taken when these wells  
24 were in the storage unit; isn't that right?

25 A. No, that part information is from their

1 completion information, when they complete the wells and  
2 perforate, frac, then they did a bottomhole pressure test  
3 informations before they injecting any gas.

4 Q. Oh, but they were completing the well into a gas-  
5 storage unit at that time?

6 A. That's correct.

7 Q. All right. And you don't think that could  
8 account for a differential in the pressure?

9 A. My opinion is, maybe very slight but I don't  
10 think there's a whole lot difference.

11 Q. What period of time was this a gas storage unit?

12 A. I do not have a file in front of me, but it's  
13 more towards 1950 and 1960s. Maybe I'm wrong. I cannot  
14 answer the question right now without my file with me.

15 Q. Well, do you know when it ceased to be a gas-  
16 storage unit?

17 A. Again, I really need to refer to more information  
18 in my office. I cannot recall exactly the day and month.

19 Q. Another factor beside pressures that I thought  
20 you -- on which you placed some significance, was, you said  
21 there is no common water table?

22 A. Yes, sir.

23 Q. I don't understand that designation or  
24 characterization. Would you explain that, please?

25 A. Sure, yes, sir. What I mean about common water

1 table, for example, if we're looking a homogeneous  
2 reservoir setting over there, if that's a water-driven  
3 reservoir we will see a bottom water table pretty uniform  
4 in place.

5 But under leased field, so far as my study  
6 result, we do have different wells in different horizon,  
7 different particular sand porosities, have more water than  
8 other wells in the area, lead me believe leases that's not  
9 have a common water coming up from underneath.

10 Q. Are you talking about the water saturation in the  
11 reservoir?

12 A. No, I'm talking about the production of the  
13 water, producing water from each one well.

14 Q. And do you have something that demonstrates that  
15 or charts that?

16 A. For example, we have a well in Section 22. It is  
17 the old name for the Rhodes Number 4-8A, as "apple". That  
18 well will be locate in the unit letter I on the Section 22,  
19 37 South -- 26 South, 37 East.

20 Q. Uh-huh.

21 A. That well, we -- I got a call from the field  
22 office, said that we produce quite a bit of water, and  
23 after study, put a cast-iron bridge plug, and right now we  
24 produce water-free.

25 Q. That well is in fairly close proximity to

1 Texaco's Rhodes-Yates Waterflood Unit, isn't it?

2 A. That's correct, but we do not have the problem,  
3 for example, to the north of the Waterflood Number 1A,  
4 which will be unit letter C, and we do not have a problem  
5 in the Number 3A, the unit letter A, as "apple", in the  
6 same section.

7 Q. Well, but what you're doing is, you're getting a  
8 water flow in that particular well in the southeast of  
9 Section 22?

10 A. My conclusion is not -- Well, you know,  
11 geological engineering is always subject to different  
12 interpretations, but I don't think so.

13 Q. Are you aware that other wells in this area have  
14 encountered -- even farther away from the Texaco  
15 waterflood, have encountered serious water flows?

16 A. Yes, sir, I aware that information, and when we  
17 heard the problem Mr. Hartman, on he drilling his new  
18 wells, yes.

19 Q. Okay, so what else, other than what you've  
20 mentioned about the water in this well in the southeast of  
21 22, supports this position about a differing water table?

22 A. In the Section 8, we can take a look.

23 The old well, called the Rhodes Federal Gas Unit  
24 Number 22, which will be unit letter G, Section 8, 26  
25 South, 37 East, direction, that well original was perforate

1 shallower, so I try to going back down to the upper Seven  
2 Rivers, which, after I perforate that one and we encounter  
3 very high percentage of the water.

4 Same token, the same horizon, when we did the re-  
5 entry project on the old Texaco well, called the Number 28  
6 Moberly, due west on the unit letter F, Section 8, 26  
7 South, 37 East, we do not have the water problem.

8 Q. And that's -- Those two wells tell you, then,  
9 that there's a differing, as you put it, water table?

10 A. Yes, sir.

11 Q. How successful was that well that you just  
12 mentioned that you drilled? I guess it's in the northwest  
13 of Section 8, in unit letter F.

14 A. F, is unit letter F.

15 Q. Yes, sir.

16 A. That's a re-entry well, and originally was  
17 abandoned by Texaco. And I went back in there, and as far  
18 as the averaging out, we are looking at between 10 to 12  
19 barrels of oil per day with the gas volume between 120,000  
20 to 135,000 cubic feet of gas per day.

21 Q. And that's completed in what formation?

22 A. That's well completed with the Yates and upper  
23 Seven Rivers.

24 Q. Let's, if we might, concentrate just a bit on the  
25 work on Section 4, to start with.

1 A. Yes, sir.

2 Q. It's up there on the board, and it's also  
3 portrayed on your Exhibit Number 12 --

4 A. Yes, sir.

5 Q. -- drainage areas.

6 Focusing on the southwest quarter of Section 4 --

7 A. Yes, sir.

8 Q. -- there was already existent the well that we've  
9 been calling the 41 --

10 A. Yes, sir.

11 Q. -- which would be in the southeast of the  
12 southwest?

13 A. Yes, sir.

14 Q. And that's shown there, that's meant to -- Your  
15 circle is meant to portray that well?

16 A. Yes, sir.

17 Q. And the circle, the large circle around it,  
18 represents the area of drainage from the 41?

19 A. Yes, sir.

20 Q. And the 41 has been in place since -- I forget  
21 when it was --

22 A. 1939.

23 Q. Yeah, okay. All right, and then there was also  
24 on that unit the 43 well, which had been originally an oil  
25 well? Is that --

1 A. Yes, sir.

2 Q. Is that shown here?

3 A. Yes, that's showing that a gas well.

4 Q. Shown as a gas well just --

5 A. Yes.

6 Q. -- at the very -- you might call it the very  
7 north end of this --

8 A. Yes, sir.

9 Q. -- southwest quarter?

10 Q. All right. And the drainage area you're showing  
11 there is the gas-drainage area?

12 A. Yes, sir.

13 Q. And then what you're proposing, then, the  
14 square -- the WOC stands for what?

15 A. Wait on completion.

16 Q. Meaning that the well is already drilled?

17 A. Yes, sir.

18 Q. It's actually completed?

19 A. Either waiting on completion or during completion  
20 procedure but not completed yet.

21 Q. This is the 4- -- what's been referred to as the  
22 415?

23 A. Yes, sir.

24 Q. All right. And what's the drainage area to be of  
25 the 415? You don't portray that. That's going to overlap,

1 clearly is going to overlap the other two circles of  
2 drainage that are already shown; isn't that true?

3 A. No argument, sir.

4 Q. And did you -- you recommend the drilling of the  
5 415 in what would be the southwest of the southwest?

6 A. Yes, sir. At that time during the  
7 recommendations is -- our main, primary target was not  
8 Yates-Seven River reservoir. Actually, that quarter  
9 section we do own oil right. So original my proposal was  
10 go to 3450 or 3500 feet to take a look the potential for  
11 the Queen horizons, the oil horizons.

12 But that time, when we drilled down to about 3050  
13 feet, I got a call from the field drilling superintendent  
14 said that they only can go down to about 3057 feet. From  
15 3050 to 3057 feet --

16 Q. They lost circulation, didn't they?

17 A. The totally lost the circulation. They fought  
18 for quite a while, so I refer that matter to our drilling  
19 engineer and finally decide, due to the potential encounter  
20 of the mechanical problems, so we decide, go ahead TD that  
21 at that depth.

22 Q. Okay, let's get this sequence real clear. Okay?  
23 Basically, the fact was, as far as the -- as another gas  
24 well, this quarter section was drained and would be drained  
25 efficiently with the 43 and 41 well; isn't that true?

1           A.    I would say the majority, yes, but not all.  
2    Because we still can see we have the southwest quarter,  
3    southwest quarter do have some space left, and also to the  
4    northern half of the northeast quarter have potential in  
5    drain areas.

6           Q.    Well, but you have offsetting wells in other  
7    areas that will drain, just as the 41, according to you, is  
8    draining gas from under Section 9?

9           A.    Yes, that's a correct statement.

10          Q.    All right.  So what you did is, you thought you  
11    had selected a location for an oil well in the -- what?  
12    Langlie-Mattix-Queen?

13          A.    Yes, sir.

14          Q.    All right.  So then what happens is, at about  
15    3000, 3100 feet, they're drilling and they lose  
16    circulation?

17          A.    I believe it's 3050, yes, sir.

18          Q.    3050.

19          A.    Yes, sir.

20          Q.    All right.  Now, I mean that's probably telling  
21    you you're hitting a permeable reservoir, right?  It's not  
22    uncommon?

23          A.    That's correct, sir.

24          Q.    Your mud or your drilling fluids go up because  
25    you're getting into a high-permeability reservoir?

1 A. Yes, sir.

2 Q. Which was the Yates reservoir, right, at 3050?

3 A. That's a Yates-Seven River, much more the upper  
4 Seven River horizons.

5 Q. All right. And it's not uncommon when that  
6 happens for those conducting the drilling to take steps to  
7 regain the circulation?

8 A. Yes, sir.

9 Q. But Gruy didn't do that?

10 A. At that time we were using the water system. We  
11 do not have a mud on locations, and that's the reason our  
12 drilling superintendent finally decide it will be a wise  
13 decision to, due to mechanical problems, stop the drilling.

14 Q. You're drilling without mud?

15 A. Yes, sir.

16 Q. You're just drilling with brine water?

17 A. Yes, sir.

18 Q. Okay. But even at that, you can call out  
19 Halliburton and they come out and you use the lost  
20 circulation materials and you get going, put the mud, and  
21 you can start up again; isn't that right?

22 A. They did using the lost-circulation materials,  
23 and -- but cannot regain the circulations, and then they  
24 call so we made a decision to stop drilling.

25 Q. And that well was not logged, was it, open-hole

1 log?

2 A. That well, we hired Schlumberger at that time --  
3 Let me get myself right. We set a pipe, we run the case  
4 hole log.

5 Q. That's what I said, you did not do an open-hole  
6 log?

7 A. No, we did not.

8 Q. And you as a geologist, you know that you're in a  
9 situation here where you're going to be coming before a  
10 regulatory body to make a geology presentation and talk  
11 about the behavior of the reservoir and the drainage, but  
12 you don't get an open-hole log in this log; isn't that what  
13 happened?

14 A. That decision made is first, do you have so many  
15 wells in the area, in the Rhodes area, adjacent, I talking  
16 about, 80s, 90s, comments on the neutron-density porosity  
17 log, dual lateral logs.

18 And the -- we won't have a chance also to  
19 evaluate any potential deeper wells which case the hole,  
20 have any potential by using a case-hole evaluation too.

21 So at that time our decision was, it will be a  
22 good time to case this well using case-hole evaluation logs  
23 to evaluate under these kind of circumstance how close the  
24 oil and gas -- I'm sorry, the hydrocarbon in the porosity  
25 horizons we can produce, versus of the open-hole logs. So

1 we're doing experimental to see the case-hole log will work  
2 as good as the open-hole logs.

3 Q. Wasn't the situation was that Gruy was in a hurry  
4 to get these wells drilling, a drilling contract, and so  
5 when it lost circulation, decided we'll just stop there,  
6 move the rig to drill the next well, and we'll just make  
7 this a gas well?

8 A. No, sir.

9 Q. Well, but you agree it could have gone on and  
10 drilled to the target formation; it just would have taken  
11 more time?

12 A. It's possible, but I don't know.

13 Q. Well, also, unless I misunderstood your  
14 testimony, I thought you were telling the Examiner earlier  
15 that you were using this 415 well as an example to show  
16 that some wells were completed in deeper formations and  
17 therefore opened up more pay, and some wells were not  
18 drilled so deep, and that meant to you that more pay was  
19 available than is being produced?

20 A. Yes, sir.

21 Q. But what really happened on the 415 is what  
22 you've just described: You simply -- They lost circulation  
23 and stopped at that point?

24 A. That's one reason.

25 The second reason, if you take a look, the wells

1 which on your left-hand side on the cross-section A-A',  
2 called the Texas Pacific Coal and Oil Company, the  
3 Farnsworth Number 4-12, that well perforated as low as just  
4 below the top of Seven Rivers, and that same horizon is  
5 also not appear in the 415 wells, and the -- also that  
6 perforations was not in the second well from your left-hand  
7 side, the Rhodes Federal Unit Number 43 well.

8 Q. Okay, these logs -- The log on the Rhodes Federal  
9 Unit 43 is the log we're talking about, which is a closed  
10 case log, as opposed to an open-hole log, right?

11 A. That's correct.

12 Q. We're comparing -- The Texas Pacific Coal log is  
13 an open-hole log --

14 A. Yes, sir.

15 Q. -- so we're comparing an open-hole log to a  
16 cased-hole log?

17 A. Yes, sir.

18 Q. And I take it, Mr. Lee, that when the  
19 circumstances occurred in the drilling of the 415 and you  
20 decided to -- we'll just stop there at the depth we're at  
21 and perforate in the Yates, you weren't aware of the rules  
22 of the Commission that have been discussed this morning  
23 that no more than one well is allowed on a 160-acre spacing  
24 unit in this --

25 A. No, I was not aware of that, sir.

1 MR. GALLEGOS: All right. That's all the  
2 questions that I have.

3 EXAMINER STOGNER: Thank you, sir.

4 Mr. Kellahin?

5 MR. KELLAHIN: Thank you, Mr. Examiner.

6 EXAMINATION

7 BY MR. KELLAHIN:

8 Q. Mr. Lee, would you point to whichever cross-  
9 section you prefer to illustrate for me what is your  
10 opinion with regards to the location of the various  
11 substances?

12 For example, if I look at a cross-section, where  
13 would you tell me I would look to find any oil  
14 accumulation? You've got Exhibit 10 and Exhibit 11 to work  
15 with. Which one would you like to see?

16 A. Well, for that purpose I would suggest let's use  
17 the cross-section B-B' --

18 Q. All right --

19 A. -- instead of --

20 Q. -- let's use this one.

21 A. Okay.

22 Q. If I'm asking you for your opinion of where the  
23 oil is stored, where would I find that, looking at this  
24 vertical display?

25 A. This vertical display, all you can see right now

1 is half the story, because in here, I'm putting here  
2 comments from density porosity logs. That's one of the  
3 factors to look into. The saturation of water is  
4 producible or possible, the water saturation too high,  
5 possible will have majority either water or oil. I say  
6 water or hydrocarbon.

7 Q. Okay. When we're looking to drill an oil well --

8 A. Yes, sir.

9 Q. -- in the Yates-Seven Rivers, where are we most  
10 likely to perforate that well to attain an oil well?

11 A. The most possible place was started just below  
12 the upper Seven Rivers, all the way down to the Queen  
13 horizons.

14 Q. Within that interval, would we also produce gas?

15 A. Yes, sir.

16 Q. And would we also produce water?

17 A. Depending on, again, your -- where are you  
18 locate, and which lenticular porosity you are perforate.  
19 They will have a lot of variations.

20 Q. Is there a defined water contour position in the  
21 reservoir?

22 A. Again, I do not believe so.

23 Q. Okay. When we look at your structure map --

24 A. Yes, sir.

25 Q. -- is it of significance to you that on the

1 structure map we either increase or decrease the  
2 probability of attaining an oil well, based upon where we  
3 are on the structure map?

4 A. No, because structure map I'm making here is the  
5 top of the Yates structure maps. From the top of the Yates  
6 to the Seven Rivers, then to the next horizon, Queen, the  
7 thickness are not uniform, so they will have variations of  
8 this structure, from the lower two horizons.

9 Q. When I'm looking to examine your criteria or your  
10 conclusion --

11 A. Yes, sir.

12 Q. -- that we need to drill more edge wells --

13 A. Yes, sir.

14 Q. -- and we need to recomplete existing wells  
15 higher up in the reservoir to recover additional  
16 hydrocarbons that won't otherwise be recovered --

17 A. Yes, sir.

18 Q. -- that's our objective. How can I use your  
19 structure map to tell me where to find those places?

20 A. Using structure map, either combined with isopach  
21 maps, finding the additional potential locations for the  
22 Rhodes-Yates-Seven River Gas Pool, but not including the  
23 lower Seven River or the Queen formation oil -- potential  
24 oil productions.

25 Q. When I look at your structure map, is there an

1 advantage, then, in drilling higher on structure?

2 A. Not necessary.

3 Q. To what extent, then, does structure play in  
4 importance in your decision about well locations?

5 A. It's one of the factors.

6 Q. Can you attribute a percentage to it?

7 A. Sir, I never put a percentage on which factors is  
8 more important than the other one. All I'm trying to do is  
9 using a factor to come up in my Exhibit Number 12, using  
10 that Exhibit Number 12 to finding the possible gas in  
11 between circles, to come off my potential suggest  
12 locations.

13 Q. Yes, sir, and that's what I'm trying to do. I'm  
14 trying to take the bubble map, Exhibit 12 --

15 A. Okay.

16 Q. -- and to find the positions you've chosen for  
17 the 415 and the Number 5 well and compare it to the  
18 structure map to see if looking at the structure map --

19 A. Uh-huh.

20 Q. -- gives me a clue as to why those wells were  
21 placed there. And frankly, I cannot find a relationship  
22 that justifies those locations based upon structure. Did I  
23 misread this?

24 A. Actually, the structure map, if you look in  
25 Rhodes State Com Number 5, which will be the unit letter C

1 on Section 16, 20 South, 37 East --

2 Q. Yes, sir.

3 A. -- we really need to also take a look at the  
4 isopach map. For example, we have -- we're dealing with a  
5 monocline sliding nose to the southwest, going downdip, By  
6 the same token that nose change, we have, my opinion, we  
7 have a much thicker of the sands sitting over there, the  
8 two combine.

9 Q. Is this a solution gas drive reservoir?

10 A. It's really hard question to ask, and I would --  
11 under the circumstance, I'm still studying by doing various  
12 completions and try to learn more about that aspect, so I  
13 cannot answer that question right now yes or no.

14 Q. Do you see any partial water drive or water drive  
15 influence that would affect pressure in the reservoir?

16 A. No.

17 Q. Are the oils and gases, the hydrocarbons,  
18 organized in a vertical sense in the reservoir where we can  
19 find the gas above the oil?

20 A. Not necessary.

21 Q. Okay, so we're not dealing with a gas cap in  
22 here?

23 A. No, I don't think so.

24 Q. When I look at the isopach map, can I pick well  
25 locations based upon the thicknesses you've contoured on

1 the isopach?

2 A. You will not pick any location just purely based  
3 on isopach maps.

4 Q. When I go back to the bubble map, did you bring  
5 with you, Mr. Lee, the supporting information that shows us  
6 what the actual EURs were for any of these wells and the  
7 methodology used to make those conclusions?

8 A. I believe I have some, yes, sir.

9 Q. Did you do this volumetrically?

10 A. Yes, sir.

11 Q. In addition, did you examine this based upon  
12 production decline curves?

13 A. Yes, sir.

14 Q. In addition, did you use any P/Z analysis?

15 A. Try to match them, yes, sir.

16 Q. Yes, sir. Do you have all that data with you  
17 today?

18 A. I do not have all of those data.

19 Q. All right. If requested, could you provide that  
20 after the hearing to the Examiner and to the parties, so  
21 that we can validate the accuracy of your bubble map?

22 A. Yes, sir.

23 Q. Let's -- Do you have available enough information  
24 on the EURs that we could get some actual numbers to fill  
25 in some blanks on Exhibit Number 2? This is the table of

1 data. What I'm interested in knowing, sir, is, if we look  
2 at the entries for the southwest quarter of 4, can you  
3 supply us with what the EURs are that you calculated for  
4 the 43 well and the 41 well?

5 A. The -- I did not put any EUR on these dedication,  
6 description --

7 Q. Yes, sir, I'm suggesting we're going to do that  
8 now --

9 A. Okay.

10 Q. -- because you have drawn circles on the bubble  
11 map --

12 A. Yes.

13 Q. -- and I need some numbers to go with the  
14 circles.

15 Do you have those numbers? Is it something we  
16 could do after the lunch break?

17 A. Yeah, I think --

18 Q. Let me show you what I want --

19 A. Okay.

20 Q. -- want to get from you. I would like the  
21 estimated ultimate recoveries --

22 A. Okay.

23 Q. -- for those wells for which you've made that  
24 calculation in the southwest quarter of 4.

25 A. Yes, sir.

1 Q. And if you'll do the same for us, for the  
2 northwest of 16?

3 A. Northwest 16?

4 Q. Yes, sir.

5 A. Yes, sir.

6 Q. And that would give me some information with  
7 regards to the bubble map.

8 A. Yes, sir.

9 Q. When I look at Exhibit Number 2 and I'm looking  
10 at the cumulative production numbers --

11 A. Uh-huh.

12 Q. -- I am still not clear on the answer to a  
13 question Mr. Gallegos asked you. When you look at the 41  
14 well --

15 A. Uh-huh.

16 Q. -- it appears to me that the cumulative  
17 production is 6.6 BCF of gas.

18 A. That's correct, sir.

19 Q. Is there any portion of that cumulative  
20 production attributed to the stored gas?

21 A. I do not believe so.

22 Q. All right. So that well, based upon your  
23 analysis, has currently accumulated, as of March, 1998,  
24 some 6.6 BCF of gas, right?

25 A. Can I answer that question also after I get my

1 supporting information, particularly so I can answer that  
2 better?

3 Q. All right, sir. And when you constructed your  
4 bubble map and were looking at the 43 well --

5 A. Yes, sir.

6 Q. -- which is the one in the northwest southwest,  
7 there's a circle around that well, is there not?

8 A. Forty-three, yes, sir.

9 Q. It's accumulated only 8000 MCF of gas, and so  
10 you've got a future forecast for that well --

11 A. Yes, sir.

12 Q. -- of an EUR that you're going to give us later?

13 A. Yes, sir.

14 Q. Okay. In addition, while we have a break, would  
15 you give us the other values you used in your volumetric  
16 calculation? I think you gave Mr. Gallegos some of those  
17 values, but so that we could save some time after lunch, I  
18 might ask you to go through the list of the parameters or  
19 values you put into your volumetrics. I understand the  
20 thickness is going to change --

21 A. Uh-huh.

22 Q. -- but you can give me water saturation and the  
23 other values that you used?

24 A. Yes, sir.

25 Q. All right. I can see on the bubble map the

1 location of the edge wells.

2 A. Yes, sir.

3 Q. I understand you're arguing about the edge wells.  
4 Describe for me now what your argument is for recompleting  
5 or drilling new wells internally. For example, the Number  
6 5 well and the 415. What causes those wells to be there,  
7 and what's the basis for that position?

8 A. The Rhodes State Com Number 5, you can see  
9 according to my estimations we do have quite a bit of area  
10 which, according to my bubble maps, has not been drained.

11 Then the 415, again, like I state before, the 415  
12 original was not a well, primary target on the Rhodes-  
13 Yates-Seven Rivers. That was a well original want to drill  
14 through the deeper horizon for the Queen. That's the  
15 reason why you can see the square. I will come same  
16 question if I look this one, why I put a well in the 415,  
17 that's correct, because I'm looking at deeper target  
18 horizon. Was not primary for Yates-Seven Rivers.

19 Q. When we look at your bubble map, do you see any  
20 more internal locations within the pool, for example, in  
21 the southeast quarter of 9, which represents a satisfaction  
22 of the criteria that you used for the Number 5 well?

23 A. No, I don't think so. The reason is, on the unit  
24 letter P on Section 9, that well I'm still try to search  
25 exactly what it was cums, everything. If they were -- well

1 have any kind of cum, I believe was taking most out on the  
2 southeast Section 9. That's the reason I do not have a  
3 proposed location.

4 Q. You couldn't move over to Unit O?

5 A. No, that will be too close and -- too close to  
6 the both two wells to the northwest and southeast.

7 Q. Do you have a criteria for the minimum distance  
8 between wells?

9 A. No, I don't have a criteria for minimum distance  
10 between wells. I'm try to using the what area potential  
11 left in that pool to choose my locations. Sometimes will  
12 be more than maybe 2000 feet, sometimes lesser, depending  
13 on what my bubble map show me.

14 Q. Have you examined the pressure data in the  
15 reservoir to see if there is pressure communication among  
16 or between certain wells or families of wells?

17 A. I try to do that. Then the problem I'm facing  
18 is, you have a lot wells which they were using different  
19 frac techniques. So really very difficult to judge how  
20 efficient the frac did for the wells. And that's the  
21 reason you are seeing some well drain, itself have a better  
22 porosity, perms, and maybe additional add benefit from the  
23 artificial fracturing, so you produce more than other  
24 wells, and some wells lesser.

25 Q. I guess what I was trying to ask you was, when

1 you compare one well to another, is there adequate pressure  
2 information so that you can see a pressure effect between  
3 wells?

4 A. Not necessary, sir.

5 Q. When we look at the current bottomhole pressure  
6 for the wells shown on Exhibit 2, the September of 1997  
7 data --

8 A. Uh-huh.

9 Q. -- it appears that for the most part the  
10 reservoir has been substantially depleted to less than 100  
11 pounds, bottomhole pressure?

12 A. That's correct statement.

13 Q. What do you estimate to be the ultimate  
14 bottomhole pressure upon abandonment of the various wells?

15 A. I'm using currently, is using the what gathering  
16 line pressures in the area, which are around 15 pounds,  
17 plus or minus two or three pounds.

18 Q. Fifteen pounds is what you're using?

19 A. Yes, sir.

20 Q. Is it your expectation that the pressure in the  
21 reservoir can be drawn down to that pressure?

22 A. No, the pressure -- refer that one, this will be  
23 related to your flowing tubing pressures.

24 Q. So what would we expect to be the bottomhole  
25 pressure upon abandonment?



1           A.    Because sometimes we do produce one or two  
2 barrels water per day, or they're -- the pressure so low we  
3 can lift the gas, the reason we have a pumping unit out  
4 there removing liquids.

5           Q.    In your review of the records, were they all  
6 flowing at one -- initially?

7           A.    Yes, sir. For the Yates-Seven Rivers, yes, sir.

8           Q.    On the Number 43 well, are you going to have to  
9 put a pump on that one?

10          A.    The 43 wells, we eventually need to put a pumping  
11 well, but right now the well is flowing and no liquid  
12 production.

13          Q.    Do you expect that to change?

14          A.    It's possible, but I really cannot give a  
15 conclusion, because the 41 wells is been flow for quite a  
16 while.

17                   EXAMINER STOGNER: Mr. Kellahin, what information  
18 are you going to be --

19                   MR. KELLAHIN: I've asked Mr. Lee, for the sake  
20 of expediting things, to provide us his estimates on the  
21 EURs so we know the actual number that went into each of  
22 those two spacing units. You can't read it off the bubble  
23 map, obviously.

24                   MR. GALLEGOS: Values for his volumetrics.

25                   MR. KELLAHIN: Right, yes, sir, and the values he

1 used for his standard volumetric calculations so that we  
2 might have our own engineer duplicate his work.

3 EXAMINER STOGNER: Okay, Mr. Carr, when do you  
4 think you'll have that available?

5 MR. CARR: How soon can you have it? Can you  
6 have it after lunch?

7 THE WITNESS: Yes, sir.

8 MR. CARR: Okay. We can present that first thing  
9 after lunch.

10 EXAMINER STOGNER: Okay, I'll tell you what.  
11 Let's -- At this time let's take a lunch break. We'll keep  
12 Mr. Lee after you get back, and we can amend or supplement  
13 Exhibit Number 12 with that information.

14 So at this time let's take a lunch break, and  
15 we'll reconvene at 1:30.

16 (Thereupon, a recess was taken at 12:26 p.m.)

17 (The following proceedings had at 1:33 p.m.)

18 EXAMINER STOGNER: This hearing will come to  
19 order.

20 Mr. Carr, I believe you have a supplement to 12.  
21 You want to call it 13?

22 FURTHER EXAMINATION

23 BY MR. CARR:

24 Q. Mr. Lee, I've handed you what has been marked as  
25 Gruy Exhibit Number 13. Could you identify what that is,

1 please?

2 A. That's the four different wells. I'm using the  
3 standard gas-in-place calculations for each one well. How  
4 I arrived the bubble maps.

5 Q. And so if we go to each of these pages, the first  
6 one says Farnsworth "C" Number 1 well. That's actually the  
7 Number 41 well; is that right?

8 A. Yes, sir, because we --

9 Q. You've written that on the exhibit?

10 A. Yes, sir.

11 Q. And then the next one is the Farnsworth "A"  
12 Number 1. That's the 43 well?

13 A. Yes, sir.

14 Q. And then the last two sheets are the Rhodes Gas  
15 Storage Unit 18 and 19?

16 A. Yes, sir.

17 Q. If we look at these exhibits, it sets forth all  
18 the factors and values that were used in your volumetric  
19 work?

20 A. Yes, sir.

21 Q. And the EUR is shown as the recoverable gas  
22 figure on each of these pages.

23 A. Yes, sir.

24 MR. CARR: Mr. Stogner, we'd move the admission  
25 of Gruy Exhibit 13.

1 EXAMINER STOGNER: Are there any objections?

2 MR. GALLEGOS: No objection.

3 EXAMINER STOGNER: Gruy Exhibit Number 13 will be  
4 admitted to evidence at this time.

5 MR. CARR: And that concludes my examination of  
6 Mr. Lee.

7 EXAMINER STOGNER: Mr. Gallegos?

8 MR. GALLEGOS: Just a moment, please.

9 I have no questions, thank you.

10 EXAMINER STOGNER: Mr. Kellahin?

11 MR. KELLAHIN: Thank you, Mr. Examiner.

12 FURTHER EXAMINATION

13 BY MR. KELLAHIN:

14 Q. Mr. Lee, when we look at Exhibit 13 and look at  
15 the first page -- this is for the 41 well -- and when we  
16 look at the bubble map, which is Exhibit Number 12, the 41  
17 well is going to be the one in the southeast of the  
18 southwest of Section 4?

19 A. Yes, sir.

20 Q. That size of that circle --

21 A. Yes, sir.

22 Q. -- corresponds to an area of 143 acres, if I've  
23 read Exhibit 13 correctly?

24 A. Yes, sir. The radius you can find will be the --  
25 If you see the well name, you go to the right-hand side,

1 the well name, the next one I have an R equals a 1409.

2 This well that I calculate 1409 feet on radius.

3 Q. When you make this calculation, then, you are  
4 trying to give us the size of a circle for the recoverable  
5 gas number shown on the bottom of this display, which is  
6 the 6.6 BCF of gas?

7 A. Yes, sir.

8 Q. Now, when we compare this to the next tabulation  
9 for the 43 well, many of the same parameters are used, with  
10 the exceptions of certain ones.

11 You've made a corresponding adjustment in the net  
12 pay, which would be the thickness. In this well it goes  
13 from 150 feet in the first well down to 125 feet?

14 A. Yes, sir.

15 Q. You made an adjustment in the porosity, you went  
16 from 14 to 15 percent?

17 A. Yes, sir.

18 Q. And you changed the water saturation, and it  
19 appears that the rest of the values are the same, with the  
20 exception of pressure?

21 A. That's correct, sir.

22 Q. Okay.

23 A. That well -- May I point out? That well  
24 calculation was before we drilled the 4-3 well.

25 Q. Yes, sir, I understand.

1 A. Yes, sir.

2 Q. And so you've got .6 of a BCF of gas for this  
3 well, contained within an area of 87 acres?

4 A. Yes, sir.

5 Q. Explain to me how you can get 6.6 BCF of gas  
6 within a container, the size of which is 143 acres?

7 A. The key on this one is the initial pressures in  
8 there. The initial pressure you can see right now, due to  
9 well very, very old, I do not know exactly what's the 1939,  
10 that well pressure, so I'm using assumable number, 900. I  
11 know it should be higher than that.

12 When you compare 900 pressure to start with  
13 versus a 200 p.s.i., that can make a tremendous difference  
14 of the area being drained.

15 Q. Why isn't the area of acreage higher than 143  
16 acres to contain 6.7 BCF of gas?

17 A. Because that's related to the gas in place for  
18 the gas in the pore-space areas. When you have higher  
19 pressures, you will have a much easy flows to your  
20 wellbores, which also combination with your porosities.  
21 This reason, you have a higher-pressures wells, you normal  
22 case, if the porosity saturation number same, will be  
23 higher recoverable gas than much lower pressures wells.

24 Q. On the bubble map, then, you're contending that  
25 the bubble for the 41 well should not be substantially

1 larger than depicted on this display?

2 A. No, because this display I'm using 1409 feet  
3 radius.

4 Q. Yes.

5 A. And the 43 I'm using 1100 feet radius.

6 Q. You see what I'm trying to understand? When I  
7 look at the size of the two circles they are approximately  
8 the same; the 41 circle is slightly bigger than the 43  
9 circle.

10 A. Yes, the 41 circle is about a 300 feet of radius  
11 bigger than the 43 circles.

12 Q. And that 300-foot difference is enough to contain  
13 gas -- what? Ten times more than the other well?

14 A. Also related to the pressure difference, using  
15 initial 900 pounds pressure versus a 200 pounds pressures.

16 Q. Based upon that data, what would you forecast or  
17 expect to be the EUR of the 415 well?

18 A. 415 well, I cannot really answer you that  
19 question right now. The reason is, 415 wells, our rate  
20 right now extremely high at 300,000 cubic feet of gas per  
21 day, but the pressures right now is 133.

22 If I apply these number, assuming all other  
23 factors the same, because we did not take the gas samples  
24 so I cannot tell exactly nitrogen, H<sub>2</sub>S, CO<sub>2</sub> yet -- if I  
25 apply the same factors in there, I believe -- I just give

1 you a rough number right now, and I believe maybe we are  
2 looking at about 450 million, plus, minus. -- number, but  
3 just a quick estimate.

4 MR. KELLAHIN: All right, thank you, Mr. Lee.  
5 Thank you, Mr. Examiner.

6 EXAMINER STOGNER: Any redirect, Mr. Carr?

7 MR. CARR: No redirect.

8 EXAMINER STOGNER: Any other questions of this  
9 witness?

10 MR. GALLEGOS: This cross-examination inspired  
11 just a question or two. May I --

12 EXAMINER STOGNER: Please.

13 MR. GALLEGOS: -- Mr. Examiner?

14 FURTHER EXAMINATION

15 BY MR. GALLEGOS:

16 Q. On your -- what we've been calling the bubble  
17 map, which is Exhibit 12 --

18 A. Yes, sir.

19 Q. -- I'm curious about the circle around what so  
20 far has been an unidentified well in the southeast of 4.  
21 Do you see what I'm talking about? There's a well shown  
22 there in a circle which is larger -- appears to me to be  
23 larger than the one that you've drawn for the 41.

24 A. Yes, sir, you're talking about that one, the  
25 southeast quarter of southeast quarter, Section 4?

1 Q. Yes, sir. What well is that?

2 A. That well, the old name actually is called the  
3 Farnsworth 414.

4 Q. You've got some data on that?

5 A. I don't have that with me, sir.

6 Q. Farnsworth 414?

7 A. Yes, sir.

8 Q. Is Gruy still calling it -- Is it still named  
9 that?

10 A. No, I believe we change the name, but I cannot  
11 tell you exactly what that name called. If you give me a  
12 minute, why, maybe we can dig out that information.

13 Q. And if you're going to get some information, do  
14 you have offhand --

15 A. -- the well name, I --

16 Q. Well, do you have offhand the similar calculation  
17 which you've given us, which would be drainage acres, gas  
18 in place, that information?

19 A. I do not have that well in my file right now,  
20 sir.

21 Q. Do you know how long that well has been  
22 producing?

23 A. No, I need to get more information before I  
24 really can give you a right answer on that one.

25 EXAMINER STOGNER: Well, let me see if I can

1 help. Does that well show up in Exhibit Number 2?

2 THE WITNESS: Oh, yes, sir. That's the well --  
3 I'm sorry, here it is. The Rhodes Federal Unit Number 47.

4 Q. (By Mr. Gallegos) That would be it, right?

5 A. Yes, sir.

6 Q. Okay. And now, isn't it true we show a  
7 completion date there of June of 1990?

8 A. That well was plugged back in June, 1990.  
9 Original was drilled all the way to the Queen, opened up  
10 all the horizon from shallow all the way to the Queen  
11 horizon. Then later on, due to the Queen horizon, they  
12 deplete, so they plug back to produce --

13 Q. Because it was an oil --

14 A. Yes, sir.

15 Q. -- originally?

16 A. Yes, sir.

17 Q. And then it was recompleted in 1990 by  
18 Meridian --

19 A. Yeah, they set --

20 Q. -- as a gas well.

21 A. They set cast-iron bridge plug, isolate, only  
22 produce from the Yates horizon.

23 Q. Right. So only having produced since the middle  
24 of 1990, that well has produced 623 million?

25 A. Yes, sir.

1 Q. And evidently, from the size of this circle, you  
2 are predicting that it's going to produce more than the  
3 41 --

4 A. No, sir.

5 Q. -- which has produced 6.6 billion?

6 A. No, sir, because the initial pressure on that was  
7 much lower than the 41. You can see I put over here the  
8 47, where are the initial pressure, only have 163 pounds  
9 pressures.

10 So that well, I believe I was forecasting that  
11 well will be at about a -- close, 900 million to a BCF  
12 range.

13 Q. But it's obviously going to drain --

14 A. -- bigger area.

15 Q. -- 160 acres or more?

16 A. Yes, sir. Yes, sir.

17 Q. Okay, a former oil well, recompleted to the gas  
18 zone?

19 A. Yes, sir.

20 MR. GALLEGOS: All right. Okay, thank you.

21 FURTHER EXAMINATION

22 BY EXAMINER STOGNER:

23 Q. Well, that kind of brings me up to something  
24 here. I look in the southeast quarter of Section 5, if I  
25 look at Exhibit Number 2. That's called the Rhodes Federal

1 Unit Well Number 51, and it's been producing since 1937,  
2 and it's got 2.4 BCF.

3 A. Yes, sir.

4 Q. And then when I correspond and look over here on  
5 Exhibit Number 12, our bubble map --

6 A. Yes.

7 Q. -- that's a pretty small bubble.

8 A. Ye, sir. That well was original complete in  
9 April 1937. Based on the information extrapolate from the  
10 1945 pressure, I believe I was using close to about 1000  
11 pounds initial bottomhole pressures, using the thickness --  
12 I'm seeing my map here, is using about 135 feet net pay.  
13 And therefore, that well is slight smaller than the 4-1  
14 well, and close to about 120 acre, something like that.  
15 Ultimate on that well, I believe, is about 2.5 B's.

16 EXAMINER STOGNER: Any other questions?

17 MR. CARR: No questions.

18 MR. GALLEGOS: No questions.

19 EXAMINER STOGNER: Mr. Lee, you may be ex- -- I'm  
20 sorry, did you have something, Mr. Gallegos?

21 MR. GALLEGOS: No, sir.

22 EXAMINER STOGNER: Okay, you may be excused, Mr.  
23 Lee.

24 MR. CARR: Mr. Stogner, that concludes our direct  
25 presentation.

1 MR. GALLEGOS: Mr. Examiner, we call Doyle  
2 Hartman.

3 EXAMINER STOGNER: Mr. Gallegos, please proceed.

4 DOYLE HARTMAN,

5 the witness herein, after having been first duly sworn upon  
6 his oath, was examined and testified as follows:

7 DIRECT EXAMINATION

8 BY MR. GALLEGOS:

9 Q. Would you state your name, please?

10 A. Doyle Hartman.

11 Q. Where do you live, Mr. Hartman?

12 A. Dallas, Texas.

13 Q. Are you a party in this proceeding under the --  
14 doing business named Doyle Hartman, oil operator?

15 A. Yes, I am.

16 Q. And what is the nature of your business,  
17 generally?

18 A. We're in the oil and gas business and operate  
19 primarily in Lea County, Jalmat and the Eumont Pools.

20 Q. Okay. Has that been an area of specialization  
21 for you?

22 A. Yes.

23 Q. For how many years?

24 A. Over 20 now.

25 Q. And approximately how many wells have you

1 drilled, completed, reworked, completed and operated in  
2 this trend?

3 A. Oh, 175 or 200.

4 Q. Okay. Mr. Hartman, have you previously provided  
5 your qualifications before Examiner Stogner and been  
6 accepted as an expert?

7 A. I'm not sure about before Examiner Stogner, but  
8 in the same era he was there. I'm not sure if we had --

9 Q. Before this Division?

10 A. The same era when he came. I remember when he  
11 came.

12 MR. GALLEGOS: All right. To save time, we offer  
13 Mr. Hartman as qualified to give opinion testimony on the  
14 issues in this matter.

15 MR. CARR: No objection.

16 MR. KELLAHIN: No objection.

17 EXAMINER STOGNER: Mr. Hartman is so qualified.

18 Q. (By Mr. Gallegos) Mr. Hartman, have you prepared  
19 a series of exhibits that you're going to sponsor that are  
20 numbered 25 through 39? Thirty-nine includes the  
21 demonstrative exhibit on the board.

22 A. Yes.

23 Q. And what, generally speaking, have been the --  
24 has been the source or the sources of the information on  
25 these exhibits?

1           A.    The sources have been *Dwight's* data, OCD data, El  
2 Paso data, scout tickets, OCD well files, log information,  
3 you know, purchased from PI, Riley's or whoever.

4           Q.    Okay.  Have the exhibits that you're going to  
5 speak to been prepared by you personally or at your  
6 personal direction?

7           A.    That's correct, yes.

8           Q.    Now, just by way of a little bit of introduction,  
9 when did you become aware of the activities of Gruy in the  
10 Rhodes Gas Pool?

11          A.    You mean as far as the current group of wells?

12          Q.    Yes, as far as the situation that we're dealing  
13 with here.

14          A.    Okay.  The day I wrote my letter.

15          Q.    Which was what date?

16          A.    That was May 21st, that was when I became aware  
17 of -- that they had some pending locations in the near  
18 future.

19          Q.    What brought the matter to your attention?

20          A.    We were doing some work, trying to determine  
21 whether we were going to drill our Bates 3 wells, and at  
22 the same time we learned about this particular -- about the  
23 location -- about three locations that they had, the 103,  
24 the 159 and the 415.

25          Q.    And as a result of that coming to your attention,

1 as well as the Applications that were filed before this  
2 Division on June 30, 1998, have you conducted investigation  
3 and done some analysis as to the activities and the  
4 requests of Gruy to drill additional wells on 160-acre  
5 spacing units?

6 A. Yes, we have. We don't agree that extensive  
7 infill drilling is necessary, and so therefore we have  
8 prepared a series of exhibits on that subject.

9 Q. Okay. In your opinion, can one efficient well  
10 drain a 160-acre proration unit in the Rhodes Gas Pool and  
11 the Eumont Gas Pool and the Jalmat Gas Pool?

12 A. It's my opinion that one efficiently completed  
13 well is capable of draining 160 acres, even at these low  
14 pressures that we have at this point in time.

15 Q. And would you define for the Examiner what you  
16 mean by an efficient well?

17 A. An efficient well, I would say, is a well that's  
18 been drilled or recompleted or reworked using modern  
19 techniques, perforating versus open-hole, you know,  
20 completions, reasonable acidizing, a thorough frac.

21 Q. Okay, so that would exclude, for example, wells  
22 that were drilled in, say, the 1930s, 1940s or 1950s that  
23 were open-hole kind of completions?

24 A. Right, some of the -- those -- The wells, the  
25 earlier wells, were efficient wells in their day and

1 produced a lot of gas. But, you know, they're no longer  
2 efficient as far as competing against a more modernly  
3 completed well.

4 Q. Okay. Do you have an opinion whether or not  
5 having more than one efficiently producing well on 160  
6 acres in this pool is violative of correlative rights?

7 A. It has the possibility of violating your  
8 correlative rights, that's right.

9 Q. And would you explain why you have that opinion?

10 A. Well, because if it's been efficiently completed,  
11 an operator, if he's got two wells, two efficiently  
12 completed wells on a 160, he's going to have twice as many  
13 wellbores. And -- versus -- And that's done all the time,  
14 for example, in the Jalmat and the Eumont. We've got some  
15 examples in here where you can see that the wells were  
16 capable of producing a lot more but were -- you know,  
17 production curves are influenced by the allowables.

18 Q. Okay, because in those pools, rather than  
19 correlative rights being protected by spacing, they are  
20 protected by the allowable system?

21 A. Right.

22 Q. Prorationing?

23 A. That's right.

24 Q. Do you have a opinion, in the case of the Rhodes  
25 Gas Pool, where there is an efficient well on 160 acres,

1 whether the drilling of -- and production of another well  
2 will constitute waste?

3 A. Oh, definitely. If you had -- you can drill a  
4 well that will drain the 160, we believe it's waste, you  
5 know, to drill two wells to do the same thing.

6 Q. Unnecessary, an uneconomic practice to do that,  
7 in your opinion?

8 A. Especially at this point in time, toward the end  
9 of the life of the field where the reserves are not  
10 sufficient -- you know, are actually getting fairly skimpy  
11 for one well, but much less having to do that over two.

12 Q. What were the initial pressures in this field?

13 A. The initial pressure was 1400 p.s.i. That's as  
14 reported by El Paso Natural Gas.

15 Q. And what pressures are found now with newly  
16 drilled, efficiently -- modern-completion wells?

17 A. The typical well is probably -- would probably  
18 encounter between 50 and 70 -- excuse me, between 50 and 100  
19 p.s.i. Probably, you know, maybe 75 to 100 as an initial  
20 pressure.

21 Q. Okay. Mr. Hartman, let's go through exhibits,  
22 and let me ask you to draw your attention to Exhibit Number  
23 25 and explain to the Examiner what this exhibit shows and  
24 its purpose.

25 A. Well, this -- The Exhibit 25 shows the

1 mathematical relationship between -- for a volumetric gas  
2 reservoir between the slope of a P/Z curve and drainage  
3 area of a well.

4 Q. Okay. Now, what can you learn from the  
5 information that's shown here?

6 A. Well --

7 Q. Are you able to use this in the analysis that you  
8 made?

9 A. Historically, New Mexico has required the  
10 reporting and has published pressure data on wells going  
11 way back in time. And so that's one of the good tools you  
12 have available to get a handle on reserves, is the plotting  
13 of P/Z curves or pressure-cum curves.

14 Q. Okay. I see on the first page of this exhibit,  
15 capital A equals drainage area in acres?

16 A. That's right. That's the final mathematical  
17 relationship for calculating drainage area when you have  
18 the slope of a P/Z curve.

19 Q. Okay, and would you explain the components that  
20 go into making that calculation of the drainage area in  
21 acres?

22 A. Do you want me to talk about the final equation?

23 Q. Yes.

24 A. Okay. Well, area is equal to -- basically, the  
25 slope of the P/Z curve, and that's expressed in MCF per

1 p.s.i. -- not SCF per p.s.i. but MCF per p.s.i. -- divided  
2 by basically the porosity feet of pay, times some  
3 constants, and divided by some constants also.

4 Q. Okay.

5 A. And we've also taken this equation and then  
6 simplified it further for, say, the Jalmat and Rhodes Gas  
7 Pools.

8 Q. That's shown on the second page?

9 A. That's right.

10 Q. All right. And is the purpose of Exhibit 25  
11 basically introductory? That is to say, to demonstrate the  
12 mathematical methodology you use in applying the data that  
13 you'll discuss later?

14 A. That's right, that's exactly -- This is the  
15 premise of the numbers we'll be showing later.

16 Q. Okay. And is this approach an accepted one,  
17 broadly, in the industry and in the literature concerning  
18 gas-well evaluation?

19 A. Well, it's discussed in Craft and Hawkins, and  
20 we've thrown some -- Craft and Hawkins, you know, being an  
21 introductory reservoir-engineering book. It's discussed on  
22 pages 39, 40, 41.

23 Q. And is Craft and Hawkins a standard text and  
24 resource for --

25 A. I think most schools use it.

1 Q. All right. Is there anything else that you  
2 wanted to explain concerning Exhibit 25?

3 A. No, this is just to show where we're coming from  
4 mathematically.

5 Q. How you calculate a drainage area?

6 A. That's right.

7 Q. Okay. Let's go to Exhibit 26, then, and explain  
8 what that shows.

9 A. Well, knowing that the drainage area -- one of  
10 the components that you need to calculate a drainage area  
11 is hydrocarbon feet of pay, the next exhibit focuses on  
12 hydrocarbon feet of pay for the Rhodes Pool.

13 Q. Okay, and what does it show regarding hydrocarbon  
14 feet of pay?

15 A. This is a multi-page exhibit. The first one is  
16 just -- is a summary of numbers, one of the numbers that  
17 Meridian apparently has used for their hydrocarbon feet of  
18 pay. And then also, it also shows what we have calculated  
19 independently of Meridian. As a matter of fact, when we  
20 ran across the Meridian document, you know, we had already  
21 done these calculations. But it struck us as very  
22 interesting that they were very close numbers.

23 Q. All right. And what did you calculate? What had  
24 you already calculated?

25 A. When we ran our calculations, we used -- these

1 particular calculations use our Base Number 3 well, which  
2 was drilled in June. And we used two different water  
3 resistivities to calculate water saturations, and then have  
4 just done our calculations, you know, for both water  
5 saturations.

6 Q. Okay.

7 A. And I can show you. But the first pages -- the  
8 first two pages just summarize the end results.

9 Then when you turn over to the third page, we  
10 have a log on our Bates Number 3. It gives us the  
11 crossplot porosity for the Yates -- what we consider to be  
12 the Yates porosity section. This is not the entire Yates  
13 interval but the porous part of the Yates section.

14 And this particular log presents on the very  
15 left-hand side the crossplot porosity. We also have  
16 calculated porosity times water saturation. So the amount  
17 of pore space that contains connate water.

18 And then we also have calculated the water  
19 saturation of the invaded zone.

20 Q. Does the information here provide values  
21 concerning what Mr. Lee referred to as the porosity cutoff?

22 A. Well, we'll show you how we did ours and how we  
23 arrived at our conclusions. The reason we calculated  
24 saturations for both the connate situation and the invaded  
25 situation is to get a handle on what's permeable.

1 Obviously, there's some -- quite a bit of porosity in the  
2 Yates interval. However, a portion of it is not  
3 necessarily commercially permeable in our opinion.

4 Q. In a later exhibit, do you show your calculation  
5 of the porosity cutoff?

6 A. Well, it will -- actually, it will be -- I'll  
7 show you how we get there. It's all contained in this one  
8 exhibit.

9 Q. Oh, okay. Well, why don't you proceed --

10 A. Okay, what we did, after we went in and analyzed  
11 where we had -- what I call an invasion profile, where you  
12 actually had invasion occur, we're dealing with --

13 Q. Are you talking about water invasion?

14 A. Yeah, from the drilling process.

15 Q. All right.

16 A. Right, this is water invasion from the drilling  
17 process. When you're drilling, you know, you have a  
18 hydrostatic head of maybe 1400 or 1500 p.s.i., and if you  
19 have permeable zones, you're going to have a certain amount  
20 of leakoff into those permeable zones. And those zones  
21 that have decent permeability will show an invasion  
22 profile.

23 Those that the calculated -- the saturation of  
24 the invaded zone, where it's approximately equal to the  
25 connate water saturation, that's telling you that you do

1 not have a lot of permeability, or it hasn't been depleted.  
2 And there's enough wells that have been drilled and  
3 completed and produced in the Rhodes Pool to have affected  
4 every zone in the pool, as far as the Yates interval is  
5 concerned.

6 So what we -- The first process is to identify  
7 what's permeable. Then we happened to have all the log  
8 data digitized, in a digitized form. Then we calculated  
9 our -- did our log calculations over those intervals that  
10 were permeable.

11 Q. And that log data is --

12 A. That's the tables that follow the --

13 Q. These tables, these long --

14 A. Yeah, right, that follow it. And it's broken up  
15 into two sets of calculations, one set for  $R_w$  is equal to  
16 .03 and the next set for  $R_w$  is equal to .05.

17 And what you can do -- The first eight pages of  
18 the tables contain the calculations, and on like page 8 of  
19 the table gives you the final results of the calculation  
20 for  $R_w$  is equal to .03.

21 Q. Okay, where it comes -- where you kind of come to  
22 a --

23 A. That's right.

24 Q. -- bottom line, the first eight pages.

25 A. You've found page 8.

1 Q. All right.

2 A. So the final three columns, for example, the next  
3 to the last column on the right-hand side, that's poros- --  
4 that's the hydrocarbon feet of pay, 12.977 is the  
5 cumulative number of all these calculations.

6 Q. All right.

7 A. And then the porosity feet, by itself, is 19.76.  
8 Knowing that -- Having that information and knowing how  
9 many net feet of pay you have, then you can calculate what  
10 your average water saturation is, your average porosity,  
11 and -- you know, you can know those components.

12 To determine what your cutoff is -- We didn't  
13 actually do a porosity cutoff; we did the calculation on  
14 what's permeable. But you can go back, and you'll see  
15 there's very few -- very little pay section that's included  
16 -- or section that's included in here that has a porosity  
17 less than 15 percent. There's maybe a couple of feet.

18 Q. Okay. So if you were going to put it in terms of  
19 a correct porosity cutoff for this formation, would then  
20 you say probably 15 percent?

21 A. I'd say 14 to 15 percent, but closer to 15.

22 Q. All right. Then on the next table page is the  
23 same kind of calculation, only using a different water  
24 saturation?

25 A. It's just -- Right, just a different water

1 saturation. It uses a resistivity of .05 instead of .03,  
2 but it's the identical calculations otherwise.

3 Q. Okay. And that basically brackets the  
4 hydrocarbon-feet that you put on the summary, on the  
5 beginning?

6 A. That's where we came up with our two numbers.  
7 Now, granted, you know, there will be -- Every well is not  
8 going to be identical in that pool. But this is a good,  
9 representative number.

10 Q. All right. With this information, then, what are  
11 you next able to do in order to address the question of a  
12 drainage area for wells in this pool?

13 A. Well, what we did is, we started looking at -- we  
14 took -- looked at Rhodes information. We also looked at  
15 wells in the Jalmat, which are essentially the same animal.  
16 As a matter of fact, the Rhodes was part of the Jalmat at  
17 one time. And -- Because we happened to have some good  
18 data on Jalmat wells during the modern -- what we call the  
19 modern era, in more recent times, versus, you know, the  
20 early days when this area was first drilled.

21 But before we get to that, we do have a curve  
22 where we've taken and applied the equations that were in  
23 Exhibit 25 and presented drainage area for the two  
24 different hydrocarbon-feet of pay, versus m factor or P/Z  
25 slope, to get a handle on what a certain P/Z slope equates

1 to in drainage area.

2 Q. In sort of a simplified term, is that what the m  
3 factor means --

4 A. The reason I use m --

5 Q. -- drainage area?

6 A. Yeah, Craft and Hawkins uses the term m for  
7 slope, so that's the reason I call it m factor, just from  
8 the fact that it was referred to as m in the equations of  
9 Craft and Hawkins.

10 Q. Okay.

11 A. We've used this technique for a long time.

12 Q. Okay, so explain how this, then, on Exhibit 27,  
13 explain what this graph shows and how you use it.

14 A. Well, if you plot a P/Z curve and determine what  
15 the slope is in terms of MCF per p.s.i. -- and the reason  
16 we use that, that's -- production is reported in terms of  
17 MCF, and so we do our plots in MCF. And -- But the slope,  
18 in MCF per p.s.i., if you know what that is, just go  
19 vertically until you intersect the curve and then go left,  
20 and you've got drainage area.

21 Q. Okay. So just for an example --

22 A. You've got reasonable estimate of drainage area.

23 Q. Right. As you go through on a well and you  
24 calculate and you come up with your m factor and it's  
25 10,000, then the drainage area would be -- depending on

1 which hydrocarbon footage factor you use, it would be --  
2 the drainage area would be somewhere around 300 acres?

3 A. Probably 340 to 380.

4 Q. Okay.

5 A. Assuming that -- you know, that the hydrocarbon  
6 feet of pay did not fall outside of those two numbers.

7 Q. Okay, all right. Let's keep this exhibit kind of  
8 where we can refer to it as you go through the rest of your  
9 work here, and now let's turn to the --

10 A. And we might want to -- I don't know if we stated  
11 it, but this is Exhibit 27.

12 Q. Yes.

13 A. Okay.

14 Q. Thank you. And now, with Exhibit 27 there where  
15 we can refer to it, let's turn to a derivation of the m  
16 factor for wells in the Rhodes Gas Pool. Have you done  
17 work of that sort?

18 A. Have we analyzed m factors for the Rhodes Pool?

19 Q. Yes, for wells -- specific wells in the Rhodes  
20 Pool?

21 A. Yes.

22 Q. Okay, what was the time period of your  
23 investigation?

24 A. Our time period in the Rhodes Pool actually  
25 concentrated on from the time of discovery until about

1 1944. The reason that we chose that time period, we  
2 happened to have data available, and from 1944 until 1982  
3 it's a storage unit, so this technique would, you know, not  
4 be applicable.

5 And then from 1982 on, you'd have a lot larger  
6 well density than you do in the earlier period, so it's  
7 harder to get a handle of what the reservoir is capable of  
8 yielding up, if you have a properly completed well.

9 Q. Okay. And you say you happen to have data for  
10 that early period, initial completions up to 1944?

11 A. Right, the reason we have that data available, as  
12 El Paso contemplated converting the Rhodes Gas Pool -- or  
13 the Rhodes Pool at that time is what it was called; it was  
14 the Rhodes Pool -- to a storage facility, they had to file  
15 a plan of operations with the USGS. So they had a lot of  
16 good engineering data that was filed with that application,  
17 as far as pressures and cums were concerned.

18 Q. Okay. So what did you find, Mr. Hartman, as to  
19 the drainage factor, or m factor, as you call it, for wells  
20 in this pool?

21 A. Well, we found, for example -- One thing we might  
22 want to do is look at Exhibit 28 first.

23 Q. Okay.

24 A. This is an old map. It's actually a few years  
25 younger than 1944, but basically in that era. And what we

1 have on the map on Exhibit 28, we have circled the wells  
2 that El Paso defined as the gas wells, and there are sour-  
3 gas and sweet-gas-producing areas of the Rhodes Pool. And  
4 I believe there's about 17 wells on here.

5 Q. Okay.

6 A. So this gives us a pretty decent handle of what  
7 the pool looked like at the time it became a storage  
8 facility.

9 Q. And are there some significant pieces of  
10 information here?

11 A. Yes. Actually, the -- We have calculated slopes  
12 ranging all the way up to 32,000 MCF per p.s.i. of pressure  
13 drawdown.

14 El Paso, I think, in their reservoir-engineering  
15 calculations, used per effective p.s.i. pressure. They use  
16 the word "effective p.s.i." --

17 Q. Okay.

18 A. -- that being defined as the point -- the  
19 pressure point between there and abandonment pressure.

20 Q. Well, I notice there's a listing of the wells  
21 with their production up to January, 1942. The Rhodes A1  
22 is the first one shown. Was that the discovery well?

23 A. The Rhodes A1 was the discovery well. It was  
24 drilled, and I believe it was completed, in October of  
25 1927, but did not go on production until 1929 because

1 that's when El Paso Natural Gas was founded.

2 It was founded prior to that, but they got the  
3 pipeline finished, and the first gas was delivered or  
4 started flowing through the pipeline system on June 9th,  
5 1929. And the Rhodes A1 was their first supply well. This  
6 is a very historic well.

7 Q. It had produced how much over that time period,  
8 up to the --

9 A. Up to --

10 Q. -- up to the point where it became a storage  
11 unit?

12 A. Up to January 1st of 1942, it had produced 13  
13 billion. What they did, they didn't get around to doing  
14 the storage unit for two more years, and I think they  
15 apparently had done their original calculations based on  
16 January of 1942, but then World War II came along and some  
17 equipment and materials became less available, which slowed  
18 up their storage project for a couple years. So they --  
19 These numbers were done for 1942.

20 And then there was an additional 13 billion that  
21 was produced for the years of 1942 to 1943, bringing the  
22 total for the pool up to around 79 billion cubic feet by  
23 1-1 of 1944.

24 Q. Which brought -- that -- Historically, that would  
25 bring it, that 79 BCF would bring it up when it was turned

1 into a storage unit?

2 A. Just about when it was turned into a storage  
3 unit.

4 Q. And would we understand that those wells that had  
5 produced that quantity of gas from this pool would not be  
6 properly characterized as what you would call today an  
7 efficient producing well?

8 A. Well, they're no longer efficient, but they were  
9 very efficient in their day and time.

10 Q. Yeah, but I meant as far as modern completion --

11 A. No.

12 Q. -- techniques?

13 A. If you put two wells at the same pressure  
14 together, you know, these completions in a modernly  
15 completed well, obviously the modernly completed well would  
16 perform a lot better at current pressures. But these were  
17 excellent wells.

18 And what we're really focusing on here is what  
19 the reservoir is capable of doing.

20 Q. All right. And does that -- the information on  
21 Exhibit 28, then, give you some capability to begin to  
22 calculate drainage areas?

23 A. That is right, that's the basis -- From those  
24 numbers, a person can arrive at a pretty fair estimate of  
25 what the drainage areas was for each -- what the drainage

1 area was for each of the initial wells in the Rhodes Pool.

2 Q. Does Exhibit 29 show that calculation?

3 A. Yeah, Exhibit 29 is actually a tabulation. This  
4 was mainly to map, and one of the tables in Exhibit 29 is  
5 at the bottom of the map. But we actually have a series of  
6 tables, and the plots that back them up, and the original  
7 El Paso data, is all in Exhibit 29.

8 But the summary is right, say, on the top sheet  
9 here of Exhibit 29.

10 Q. All right. Is there any more explanation that  
11 you want to make concerning Exhibit 29?

12 A. Well, you can use either the first page or the  
13 second -- or the third page, excuse me. Yeah, right, the  
14 third page.

15 The third page, we have P/Z slope calculated or  
16 listed out from the largest down to the smallest slopes,  
17 sorted by, you know, maximum P/Z slope --

18 Q. Uh-huh.

19 A. -- showing that the Cagle A2 had a demonstrated  
20 slope of 32,000 MCF per p.s.i. The lowest one for which we  
21 have a value is the Gregory B1 at 2342 MCF per p.s.i.

22 Q. Okay.

23 A. And most of the wells -- One of the things you  
24 can say, most of the wells, all of them but four, have a  
25 demonstrated drainage area in excess of 160 acres.

1 Q. Now, is that value of MCF per p.s.i. valid if the  
2 reservoir pressure is 1000 pounds, versus if the reservoir  
3 pressure is 100 pounds?

4 A. Yes. What you're doing, you're not -- Obviously  
5 a well at 1000 pounds and say a slope of 10,000 is going to  
6 make a lot more gas than a well that has 10,000 slope but  
7 only 100 pounds initial pressure. But they both are  
8 illustrating the same -- essentially the same slope.

9 Q. Same quantity of gas --

10 A. Right.

11 Q. -- per 1 p.s.i. of pressure?

12 A. And one of the things I want to point out here,  
13 if you want to look at the curves behind, you're going to  
14 see that wells illustrate different slopes at different  
15 times in their life.

16 And for example, we can turn to the Rhodes A1.  
17 The Rhodes A1 was the discovery well. It had an initial  
18 slope of approximately 21,000 MCF per p.s.i. The Rhodes A1  
19 and the Cagle A1 wells produced -- were essentially the  
20 only two producing wells, gas wells, until 1936. Then  
21 additional -- El Paso started performing additional  
22 drilling. Over about a two-year period the slope of that  
23 Rhodes A1 turned downward as it started competing with  
24 other wells nearby.

25 Q. Well, would that say to you that there was good

1 communication between the wells in this field?

2 A. Yes, we believe there is good communication,  
3 excellent communication, really.

4 Q. And this is reflected when only -- there were  
5 only six wells drilled?

6 A. What was -- Ask that again.

7 Q. Well, you see the effect on the slope on the  
8 Rhodes A Number 1 by just the addition of five wells?

9 A. Yes, it had an effect on it, that's correct.  
10 Actually, it turns out, the slope that it finally went to  
11 before the storage project started was about one-third of  
12 the slope it had been exhibiting prior to that, saying that  
13 it was -- after additional drilling started occurring, it  
14 was only draining about a third of the drainage area that  
15 had previously, you know, been drained before.

16 Q. And in your opinion is that because the  
17 communication drainage --

18 A. Yeah, you have good communica- -- Good reservoirs  
19 will show P/Z slopes like this.

20 Q. Okay. And is this a good-permeability reservoir?

21 A. We think it's a high-quality reservoir for the  
22 Permian Basin.

23 Q. Anything else that you want to --

24 A. And when I say that, I'm not comparing it to  
25 places like Sonora that's got tight sands or the Abo, you

1 know. Those are what I call tight reservoirs. This is  
2 good-quality stuff.

3 Q. Anything else that you want to point out on your  
4 Exhibit 29?

5 A. I think we've covered most of it.

6 Q. Okay. Now, is Exhibit 30 addressing specifically  
7 the Rhodes A Number 1?

8 A. Right, this is the -- This is the history of the  
9 Rhodes A1 as far as production and pressures is concerned.

10 Q. Does this take a -- one well example to show how  
11 you get your m factor or your drainage factor?

12 A. Well, it -- yeah, it does that. But also the  
13 reason we use this one is, this was the beginning. This  
14 well was not only the discovery well for the Rhodes Pool,  
15 it was the discovery well for Southeast New Mexico or the  
16 southern part of Lea County.

17 Q. It was probably the discovery well for New  
18 Mexico, wasn't it?

19 A. No, I don't think -- I'm not sure. But it was an  
20 early.

21 Q. Okay.

22 A. It was discovered about a year after the Hendrick  
23 field was discovered in Texas, and that was the first well  
24 on the west side of the Central Basin Platform, or the  
25 first field. And not too far, you know, north of the

1 Hendrick.

2 Q. Okay. So what is the significance of the  
3 information that's shown here?

4 A. Well, again, we have the same pressure-cum slope  
5 incorporated in this package.

6 We also have the pressure-cum slope, the more  
7 modern one, from 1983 through 1993. And we have a  
8 pressure-time curve, or a composite pressure-time curve,  
9 that shows -- I think, illustrates the good communication  
10 in the reservoir. It starts in 1930 and goes through 1945,  
11 and the initial pressure for the Rhodes A1 was 1400 p.s.i.

12 But the Rhodes A1 and the Cagle A1 were  
13 essentially the only wells producing during the early  
14 years.

15 So when the drilling started taking place in  
16 1936, you can see what the additional wells, what their  
17 pressure curves looked like. They come in at a pressure  
18 very much along the pressure curve of the Rhodes A1,  
19 showing that the Rhodes A1 was draining the area that these  
20 wells were located in.

21 Q. And they follow -- The decline is pretty much on  
22 a parallel basis from that point on to 1944?

23 A. That's right.

24 Q. Okay.

25 A. And this is all taken right out of El Paso's

1 data.

2 Q. Okay, again showing the good communication  
3 between wells?

4 A. Yeah, I -- We think that's excellent  
5 communication.

6 Q. All right.

7 A. Especially at the pressures we're plotting here.

8 Q. All right. Now, from this point, then, skip over  
9 the storage unit area, and do you have some information and  
10 things as to the 1982-to-present era, when once again the  
11 Rhodes Gas Pool became a pool that was producing the true  
12 reservoir native gas?

13 A. Well, the next groups of wells that we've got  
14 here are -- They're not necessarily in the Rhodes Pool but  
15 just to the north in the same zones, in the same  
16 reservoirs. And the reason we did these is to show, when  
17 you're dealing at low pressures, relatively low pressure,  
18 what's still possible in a high-quality reservoir, as far  
19 as the completion is concerned, if a well, you know, is --  
20 doesn't have competition for the gas.

21 Q. And does it show what's also possible in terms of  
22 drainage area, even though the pressure --

23 A. That's what I'm saying. It shows that it's  
24 possible to achieve a drainage area in excess of 160 acres,  
25 which is the spacing for the Rhodes Pool. And that's what

1 I think we have to be able to show, is that one well can  
2 drain 160 acres.

3 So -- But we can show that wells can drain in  
4 excess of 160 acres.

5 Q. All right. So is there one of these wells -- we  
6 don't want to go through all of them -- one of them that  
7 you just, by way of example, explain how you made your  
8 calculation and --

9 A. Okay, what I'll -- I'll go through these two  
10 tables. We've broken it out into two different groups of  
11 tables.

12 Q. Okay, and those are Exhibits --

13 A. -- 31 and 32.

14 Q. Okay.

15 A. Each table -- There's five wells in each group.  
16 One group that we chose is, we chose where basically you  
17 were drilling the replacement well at -- the replacement  
18 infill well at, you know, essentially the same location as  
19 you drilled -- as the original well was drilled. That's to  
20 show that you still can come in and get a very good  
21 completion, because it's draining a much larger area than  
22 just a little, small area.

23 Q. That's Exhibit 31?

24 A. That's Exhibit 31.

25 Q. Okay. So those five wells were drilled very near

1 the well -- the old well --

2 A. Previously existing well to the same zones.

3 Q. Okay.

4 A. And we can walk through, say, like the Lankford  
5 2, if you want to, like this one. The Lankford 2 is a  
6 Jalmat well located in Section 25 of 23-36. It was a  
7 120- -- It is a 120-acre proration unit. The original well  
8 was located in Unit G of Section 25, and the infill well  
9 was drilled at that same location.

10 So in each package, on each well, we have a plat  
11 showing the proration unit, the wells under consideration,  
12 and also surrounding wells.

13 Q. Now, these five wells on Exhibit 31 have an  
14 average m factor of 11,989?

15 A. That is correct.

16 Q. So if we go back to Exhibit 27, which I asked you  
17 to --

18 A. Yeah, and I want to qualify one thing when we say  
19 "average" and when we talked about m factor. We're talking  
20 about the maximum slope that's been demonstrated by the  
21 well. The slopes, you know, can change with time.

22 Q. All right.

23 A. Okay.

24 Q. But is this the indicator that one can use to get  
25 an idea of the drainage area?

1 A. That's right.

2 Q. Okay. So I'm just picking the average instead of  
3 one well, just for purposes of convenience, but if we say  
4 it's 12,000 and we go back over to Exhibit 27, then would  
5 that indicate a drainage area of, oh, say 350 to 380 acres?

6 A. That this group of wells, these five wells here,  
7 had a drainage area -- have demonstrated a drainage area in  
8 the neighborhood of 320 to -- or 340, say, to 380 acres.

9 Q. And these are replacement wells being drilled on  
10 a proration unit which it already had production from the  
11 old wells?

12 A. Yeah, a previously producing proration unit.

13 Q. All right.

14 A. And it encountered pressures that are a little  
15 bit higher than the Rhodes is today, but still of the same  
16 order of magnitude. We're talking about over 100 pounds  
17 instead of less than 100 pounds. And some of them -- a  
18 couple of them in these examples are less than 100 pounds.

19 Q. Now, is Exhibit 32 an example set of wells in the  
20 Yates-Seven Rivers where the new well is not in close  
21 proximity to --

22 A. Well, it's removed 40 acres or so.

23 Q. All right.

24 A. Yes.

25 Q. And you've got the same data there, initial

1 pressures, m factor and so forth?

2 A. That is correct.

3 Q. And in this case, if we look at, again, an  
4 average and say it's -- call it 15,000 MCF per p.s.i. and  
5 go back to your Exhibit 27, we would say, then, that you're  
6 talking about draining 400 acres, or maybe a little bit  
7 more, with that well?

8 A. That is correct.

9 Q. Okay.

10 A. That's not to say that every well that we've ever  
11 drilled has done this, but this particular group of wells  
12 were excellent wells that also apparently were not  
13 encountering serious competition, you know, by offset  
14 leases.

15 Q. And each of these wells would be what you'd call  
16 an efficient well, modern kind of completion?

17 A. Yes, they're very efficient wells, there's no  
18 doubt about that. And that can be -- I think -- let's go  
19 back through the -- We can pick one of these again. We can  
20 take the Shell State 5 if we'd like, the first one --

21 Q. On Exhibit 32?

22 A. Yes. And you can see from the production curve  
23 the level of the production of the existing well at the  
24 time that the infill well was drilled, the production,  
25 where it was at the time the well was drilled, and what the

1 new well was capable of doing.

2           Also, you need to keep -- a person needs to keep  
3 in mind that the new well was -- these became nonmarginal  
4 proration units when the new well was drilled. So  
5 therefore the production that was allocated to the new well  
6 was equal to the allowable less the marginal production  
7 that went to the original well.

8           Q. Okay, does that explain some of these gyrations  
9 in the production curves?

10           A. Yeah, that's the reason you have the gyrations in  
11 the curve up until, say, around 19- -- well, this one  
12 turned out to be 1990. In 1990, this well went on  
13 capacity, about January of 1990. But prior to January of  
14 1990, it was a top-allowable well.

15           Q. So that its production was constrained to a  
16 certain extent by the allowables?

17           A. Right, the first, early part of the curve is.

18                   Then, if you look on the same -- on the  
19 production curve, if you look down at the bottom, you can  
20 see the pressures. Pressures, you know, of the first well  
21 and the second well coincide very closely.

22                   You can also see from the cum curve that  
23 approximately, you know, 1.2, 1.3 billion cubic feet of gas  
24 was added, so far, by the Shell State 5.

25                   Then you turn to the next page, and that's what

1 we call a composite pressure-cum curve. We have the  
2 pressure-cum curve for the original well and the pressure-  
3 cum curve for the new well. And you can see that the slope  
4 is much more shallow on the new well, showing it is a  
5 highly efficient completion relative to the first well.

6 Q. Okay.

7 A. And then behind the cum curve, we also have a  
8 pressure-time plot for all the wells, including the Shell  
9 State 5, the Shell State 5 and the wells immediately  
10 surrounding. And you can see again, there's good  
11 communication pressurewise between the various wells in  
12 this area.

13 Q. Okay, basically you've got a nine-well group in  
14 an area there?

15 A. Let's see. Yeah, it's nine, that's correct.

16 Q. All right. And their pressures are following a  
17 decline basically parallel?

18 A. That's correct. And you know, you'll see -- on a  
19 couple of them you can see spikes.

20 And past experience -- I've had to even check to  
21 see which well that was, but past experience has taught me  
22 generally, that's an open-hole completion. You'll have  
23 some, you know, real tight zone that's maybe got a little  
24 higher pressure, maybe a little fluid in the well, and so  
25 on some of the shut-ins it might demonstrate a higher shut-

1 in pressure. But say it's been swabbed or something prior  
2 to another shut-in a year later, a year later it will be  
3 brought back on the curve again.

4 Q. Okay. And Mr. Hartman, do these studies confirm  
5 your opinion that one good well in this reservoir will  
6 drain more than 160 acres?

7 A. Right, if there's not real competition, or as you  
8 say, if the well density were less, it would also, as  
9 illustrated by the original wells in the Rhodes Pool.

10 If you had -- for example, if you had all  
11 efficiently completed -- if every well in a pool were  
12 efficiently completed, then the drainage area for each well  
13 would be equal to the spacing, the effective spacing it was  
14 on.

15 Q. In other words, what you're saying is, the  
16 competition would keep it to that, otherwise --

17 A. Right.

18 Q. -- without the competition it would be draining  
19 200 or 300 acres?

20 A. Right, it would -- It could drain more. So what  
21 it's saying is, if you've got a well that's capable of  
22 draining 160, or -- and you can drill a well that's capable  
23 of doing that, then there's no need, it becomes a waste to  
24 drill more wells because they're not necessary.

25 Q. And can the rework of an old well just as

1 adequately be an efficient well as a newly drilled well?

2 A. That's right. If -- let me -- In a lot of cases,  
3 it is. Sometimes I -- Maybe you don't feel like you would  
4 have as good of a wellbore opportunity, and you might need  
5 to drill a new well.

6 Q. Okay. What is Exhibit Number 33?

7 A. Let's see, 33. Okay, 33 focuses on southwest  
8 quarter of Section 4. Actually -- As a matter of fact,  
9 that's the tract that's a part of this Application of  
10 Gruy's. And it contained what was called the Farnsworth C  
11 Number 1 well, now the RFU Number 41 well.

12 Q. All right. And did you develop an m factor for  
13 the Number 41 well?

14 A. Well, it turns out that the 41 was completed  
15 October -- I think it was October 17th, 1939. I take it  
16 back, it's October 13th, 1939. And that happened to be  
17 data for -- that we have from El Paso's data, so -- and it  
18 had a slope, illustrated or demonstrated an initial slope  
19 of 16,900 MCF per p.s.i.

20 Q. Okay. And if we go back to your Exhibit Number  
21 27, what would that indicate in terms of the area that  
22 could be drained by this well?

23 A. That would be in the neighborhood of 500 acres,  
24 plus or minus.

25 Q. Okay. Well, the one existing well, the Number

1 41, on that 160 acres can drain and would drain more --

2 A. It did -- It was draining in that neighborhood,  
3 that's right.

4 Q. Yeah. What --

5 A. Before a lot of wells were drilled. And as a  
6 matter of fact, historically, from a historical  
7 perspective, a lot more gas was being produced back in the  
8 1930s from the Rhodes area, say, from -- you know, in 26-37  
9 than was being produced to the north in 25-37, because that  
10 was more oil to the north.

11 Q. All right.

12 A. And, you know, the gas was basically behind pipe.  
13 That was before the Jalmat and the Eumont Pools and so  
14 forth were formed.

15 Q. What else does Exhibit Number 33 illustrate?

16 A. Well, we happen to have information on  
17 completions on the three wells on that particular proration  
18 unit, we have the production histories, pressure histories.  
19 Again, we have another -- We have the pressure-cum  
20 histories of the Farnsworth C, as well as several of the  
21 wells around it, especially the Cagle A1 and the A2.

22 The Cagle A1 was the really big well in the  
23 Rhodes Pool. By 1-1-44, it had produced over 20 billion  
24 cubic feet. It was an excellent well. And it's located in  
25 Section 9, just to the south. And its pressure, initial

1 pressure, was 1400 p.s.i., just like the Rhodes A1. and it  
2 went on production in 1929 also.

3 And as you can see, after -- that the Cagle  
4 produced by itself for a number of years, up until around  
5 1936. Then, as additional wells began to be drilled around  
6 it, most of those wells came in at pressures in the  
7 neighborhood of what the Cagle A1 was at that point in  
8 time.

9 Q. Okay. Now, Mr. Hartman, you understand that this  
10 quarter section and the wells here, speaking broadly, are  
11 the subject of Gruy's Application in Case 12,015?

12 A. That's right.

13 Q. All right. And what is your position concerning  
14 the Application and what's sought by Gruy?

15 A. Well, my position is that one efficiently  
16 completed well could -- and can drain 160 acres.

17 Q. Okay. And if Gruy chose to rework the 43, as was  
18 done, and shut in the 41, would then you have any  
19 opposition to that --

20 A. No, I can understand their desire maybe not to  
21 continue to produce the 41 because it's not -- you know,  
22 it's of a different vintage.

23 Q. All right.

24 A. A good well in its day, but not necessarily a  
25 competitive well today.

1 Q. Or if they elected to not produce the 43 and 41  
2 and drill their new well, which they call the 415, again,  
3 would you have no opposition to that?

4 A. I don't have any opposition to them producing one  
5 well.

6 Q. Okay.

7 A. The rules provide for it, to have that right.

8 Q. And would any one of these three wells drain this  
9 proration unit or more?

10 A. I'm not sure about the 41 --

11 Q. Okay.

12 A. -- today. I'd have to really, you know, study it  
13 in detail because it is an open-hole completion. And I  
14 think it's been frac'd, but it's difficult to get as an  
15 effective frac job, you know, in an open hole as it is  
16 where you have pipe and perforating, can control the frac  
17 to some degree.

18 Q. Okay. So your position of proper outcome would  
19 be if the 41 could be P-and-A'd and production could be in  
20 the 43?

21 A. It's their election, not mine.

22 Q. All right. Do you have Exhibit 34, which  
23 provides some --

24 A. One thing I would like to illustrate again, that  
25 I just noticed here on this particular Exhibit 33, we have

1 a pressure-cum curve about midway through the package -- or  
2 a pressure-time curve, I mean, for more recent times from  
3 1976 up to the present. And as you can see, when the 43  
4 was drilled, the pressures came right in at just about what  
5 you would predict it to be off of this composite curve.

6 Q. Came in at what?

7 A. They reported a shut-in bottomhole pressure on  
8 the Number 43, I believe, of 85 p.s.i. But right -- You  
9 know, well in the neighborhood of what you would expect  
10 from this particular plot.

11 Q. And which would be indicative of the  
12 communication --

13 A. Right.

14 Q. -- good communication that we talked about?

15 A. That's right.

16 Q. All right. On that point, does Exhibit 34  
17 provide for the Examiner composite information concerning  
18 pressures?

19 A. Yes, it does. This one, basically, it's -- The  
20 exhibit has both production and pressure information. At  
21 the bottom of the exhibit is -- we have a pressure-time  
22 plot, where we've thrown all the pressures in the Rhodes  
23 Pool on one plot.

24 Q. Since 1982, since the -- since what we call the  
25 modern era of this pool?

1 A. Right.

2 Q. Okay. And what did we learn? Once you've put  
3 all the pressures of all the wells here, what do you find?

4 A. That the most probable outcome is going to be  
5 between 50 and 100 p.s.i., if you look at it statistically.

6 Q. All right. Well, but does it tell you that  
7 essentially all of these wells fall within the parameters  
8 of a certain pressure zone?

9 A. Yeah, it's showing there's good communication.  
10 If there weren't good communication then you would see  
11 wells coming in, I believe, at a lot higher pressures,  
12 because they wouldn't be affected by the offset production.

13 Q. Okay.

14 A. But when the band, pressure band, is pretty  
15 concentrated like this, it's showing good communication.

16 Q. Do you have any comment concerning Mr. Lee's  
17 exhibit where he had an example of three wells which, to  
18 him, supported the conclusion that there is not good  
19 communication between wells?

20 A. Well, I don't remember the three; I remember two  
21 of them. One, I believe, was over on the west side, and if  
22 I'm not mistaken the other -- one of them, I think he  
23 mentioned, was 102 --

24 Q. Well, the 81 and the 82 were in the northeast of  
25 8.

1 A. Okay.

2 Q. And then the other one was in the northwest of  
3 10.

4 A. Okay. See, those are -- The geology has changed  
5 as you go across there. You're starting to get -- on the  
6 west side, you're getting more into an upper Yates  
7 development, whereas on the east side it's middle to lower  
8 Yates. We call it lower Yates but, you know, you could --  
9 somebody -- some people might call part of it middle Yates,  
10 because it's in the middle of the Yates interval.

11 But you can divide the Yates deposition up into  
12 lower Yates on the east, upper Yates on the west. And  
13 that's all the way up and down the platform, from Eunice  
14 south.

15 Q. But does your data show --

16 A. There are two different geological systems, just  
17 to start with.

18 Q. Okay.

19 A. So, you know, you can't -- Just because there's  
20 differences in pressure does not necessarily say there's  
21 not good communication.

22 Q. All right. Well, does your investigation  
23 indicate a general uniformity of pressure among all of  
24 the --

25 A. Yeah, the -- I think these curves show that.

1 Q. Okay. You have another exhibit here, Exhibit 35,  
2 recoverable gas reserve. Would you explain that exhibit?

3 A. What that is, that's just a graph depicting a  
4 series of volumetric calculations where we've utilized --  
5 is -- Let me see here.

6 Okay, we've done it for two different -- Again,  
7 for the Rw of .03, for an Rw of .05. We've got two curves.  
8 This Exhibit 35 has got actually two curves to it. And you  
9 can -- Along the X axis we have acres per well.

10 Then we have for -- different curves for  
11 different initial pressures, and then computed recoverable  
12 gas reserves on the Y axis, all assuming an abandonment  
13 pressure of 15 p.s.i.g., which is essentially what the  
14 gathering system is.

15 Q. Okay. Show us how we would read this. Let's  
16 assume that you have an initial pressure of 75 p.s.i.a.

17 A. Okay, if you had an initial pressure of 75  
18 p.s.i.a., assuming that you had approximately 12  
19 hydrocarbon-feet of pay -- this one is actually for -- it  
20 would be 12.98, at 75, 160-acre spacing, you could expect a  
21 recovery of approximately 300 million for a well.

22 But if you have two wells per 160, then the  
23 recovery is going to be reduced to half of that on a per-  
24 well basis.

25 Q. You'd go over to about 80 acres?

1 A. Right.

2 Q. If you have --

3 A. If you have two efficiently completed wells, say  
4 on a 160, then that's essentially 80-acre spacing. Now  
5 you've reduced your recovery per well to about half.

6 Q. Or about a hundred and --

7 A. -- fifty --

8 Q. -- fifty --

9 A. Yeah.

10 Q. -- thousand?

11 A. Yeah, 150,000 MCF.

12 Q. And what is the significance of that in terms of  
13 the issues of waste?

14 A. It's waste, it's waste to have to drill, to drill  
15 more wells than is necessary to drain the acreage.

16 Q. And to drill more wells to recover just 150  
17 million cubic feet?

18 A. Well, what you're doing is, I don't think you're  
19 going to add too much to the reserves; you're just going to  
20 drill more wells to get it. You know, you -- It's my  
21 strong belief you're going to get most of it with one well.

22 Q. Now, did you prepare Exhibit 36 to provide for  
23 the Division just a general overview of this pool and the  
24 existing wells?

25 A. It was done under my direction, yes.

1 Q. All right. And is that the purpose of it, kind  
2 of as a reference?

3 A. What it is, it's basically showing the outline of  
4 the pool, the Rhodes Gas Pool. It shows the proration  
5 units. It also has -- From a well standpoint, the blue  
6 dots are the wells, Rhodes gas wells, that were approved  
7 under Order -- What is it? R-68- -- What is that number,  
8 -71?

9 Q. 6891.

10 A. -- 6891, in -- that was effective 1-1 of 1982.  
11 Those are the wells that, if you look in that order, you'll  
12 find that were approved for the Rhodes Pool as gas wells.

13 Q. Is it true that at that time, because of what had  
14 been previous drilling practices, some wells, some 160-acre  
15 units that had two wells, were approved, and in effect a  
16 grandfathering in of more than one well per 160 acres --

17 A. Right.

18 Q. -- in a few instances?

19 A. What happened in the history of the pool, of this  
20 pool, El Paso, along the way, mostly in 1973, drilled  
21 additional wells, because this was a storage project. And  
22 so you wound up with multiple wells on some of the  
23 proration units at that point in time. Obviously, you've  
24 got those wells, they have an application, and it would be  
25 a waste to abandon those wells.

1           But -- Those wells were approved, but it was also  
2 approved for this to be a -- not -- their application  
3 requested that the pool be defined or designated as an  
4 unprorated gas pool, or nonprorated gas pool, operating  
5 under the rules, the applicable rules for nonprorated  
6 pools.

7           Q.    And that rule, as we heard before, would be one  
8 well per 160 acres?

9           A.    That's one of the constraints in a nonprorated  
10 pool.

11          Q.    Okay. All right. And finally, Mr. Hartman, did  
12 you -- You also have a few cross-sections here to offer,  
13 and I don't want to take a lot of time to go into detail,  
14 if --

15          A.    Yes, we do. We have a series of cross-sections.  
16 The A-A' -- We actually had two A-A'.

17          Q.    You're referencing Exhibit 39 now?

18          A.    That is -- Well, let me see. Let me see that,  
19 yeah, all right.

20          Q.    The cover map is 39?

21          A.    I have one that's just -- the map --

22          Q.    37.

23          A.    -- is 37.

24          Q.    -- is 37.

25          A.    The map is 37. These are attached.

1 Q. Yeah.

2 A. We have three cross-sections in the Rhodes Pool  
3 itself.

4 A-A' is essentially a north-south cross-section.  
5 It's going up through the lower -- what we call the lower  
6 Yates trend.

7 B-B' sort of parallels the gas-oil contact, just  
8 to show that, you know, if you get south of that gas-oil  
9 contact, now you'd have gas-oil wells in the pool versus  
10 gas wells to the north.

11 And then we have C-C', which is diagonally -- you  
12 know, running from southeast to northwest, or northwest to  
13 southeast, but basically in an east-west direction, showing  
14 the changes, some of the changes that occur as you go  
15 across the pool from east to west.

16 Q. Do your cross-sections mainly serve to  
17 demonstrate that this reservoir is essentially uniform for  
18 miles --

19 A. Yeah, well, in the --

20 Q. -- through this area?

21 A. Within the Rhodes Pool. And then in addition, we  
22 also have another -- Okay, that would be Exhibit 38,  
23 another A-A', that really does that. This one goes for 35  
24 miles, showing the same trend. But it continues on, you  
25 know, it doesn't stop at 26 South, 37 East.

1 Q. Okay. Why don't we take just one of the cross-  
2 sections, Mr. Hartman, open it up and just show Examiner  
3 Stogner what we've been talking about as far as the  
4 uniformity of this formation across a wide area?

5 A. Well -- What do you all use for a tackboard?

6 Q. Here, I'll just hold it. Why don't we just --  
7 Which one do you have, Mr. Hartman?

8 A. That's A-A', stay within the Rhodes Pool.

9 Q. Okay, we'll be the tackboard.

10 A. You can see it runs from, I think, Section 26  
11 down to the southeast and all the way up to Section 34 in  
12 25 South, 37 East, in the Jalmat Pool. But it shows  
13 basically -- The predominant development through here is a  
14 lower Yates --

15 Q. "Here" -- When you say "here" --

16 A. Okay, that's right, on the transcript.

17 The development, the lower half to two-thirds of  
18 the Yates section is the porosity section, what we're  
19 calling the lower Yates. And there's a tight streak that's  
20 common throughout all of Lea County, or the productive part  
21 of the trend in Lea County, right here, that separates two  
22 sands or some sands right below this tight streak from some  
23 sands that lie above it. But this is what we call the  
24 lower Yates trend. It's the lower half to the lower two-  
25 thirds. And that's the main pay, over on the east side of

1 the trend.

2 Q. Okay, is there any significant difference -- I  
3 mean, recognizing that each well may encounter some  
4 different stringers or so, but is there any significant  
5 difference across this cross-section in the reservoir?

6 A. You have the main same producing interval as a  
7 whole. There may be some stringers that will come and go.  
8 For example, if we look at C-C' we'll see, as we go from  
9 east to west, we start getting development building up the  
10 hole in the Yates. And then, say, when you get over to the  
11 southwest part of 4, you have the top -- from the top of  
12 the Yates down is the pay. But you're getting less  
13 development in the lower.

14 Q. Okay. And if I understand you -- and I don't  
15 think we need to take the time to go into it -- as I  
16 understand it, if we went into Exhibit 38, that's basically  
17 a cross-section that would take us all the way north from  
18 the Eumont, down through the Jalmat, down to the Rhodes  
19 Pool?

20 A. Right, this cross-section begins from the Rhodes,  
21 it goes all the way up to the Eumont Pool, just west of  
22 Eunice.

23 Q. All right.

24 A. And it's about 35 miles.

25 Q. And what would that demonstrate?

1           A.    It demonstrates you've got a gas reservoir that  
2 starts in the Rhodes Pool and continues all the way until  
3 you drop off the platform west of Eunice, all one common  
4 accumulation, initially.

5           MR. GALLEGOS:  That completes our direct  
6 examination, Mr. Examiner, and we'd move the admission of  
7 Exhibits 25 through 38.

8           EXAMINER STOGNER:  Any objection?

9           MR. GALLEGOS:  I think 39 was admitted.  Well,  
10 I'm not sure.  I'll move 39.

11          MR. CARR:  And we have no objection.

12          MR. GALLEGOS:  Pardon?

13          MR. CARR:  No objection.

14          EXAMINER STOGNER:  Okay, Exhibits 25 through 39;  
15 is that correct, Mr. Gallegos?

16          MR. GALLEGOS:  I'm sorry, sir?

17          EXAMINER STOGNER:  25 through 39?

18          MR. GALLEGOS:  Yes, sir.

19          EXAMINER STOGNER:  Will be admitted into evidence  
20 at this time.

21          Thank you, Mr. Gallegos.

22          Mr. Carr, your witness.

23          MR. CARR:  Thank you.

24          MR. KELLAHIN:  Would you like me to go next,

25          Mr. --

1 EXAMINER STOGNER: Well, I'll --

2 MR. CARR: I don't care. I have not a very  
3 lengthy cross, but if Mr. Kellahin wants to go ahead --

4 MR. KELLAHIN: I may cause something to occur to  
5 Mr. Carr's case that gives him a chance to go last.

6 MR. CARR: That makes me nervous, but I don't  
7 object, Mr. Stogner.

8 MR. GALLEGOS: Can we take a recess and decide  
9 this?

10 EXAMINER STOGNER: Mr. Kellahin, what --

11 MR. CARR: I have no objection to Mr. Kellahin  
12 going next, Mr. Stogner.

13 EXAMINER STOGNER: Okay, I'm assuming that you're  
14 in opposition to Gruy's Application --

15 MR. KELLAHIN: It appears that I've --

16 EXAMINER STOGNER: -- and you're supporting --

17 MR. KELLAHIN: -- positioned myself at this point  
18 in that position.

19 EXAMINER STOGNER: Okay. Then in that case,  
20 since there's no objection, go ahead.

21 EXAMINATION

22 BY MR. KELLAHIN:

23 Q. Mr. Hartman, I'm going to ask you, sir, to  
24 comment on Mr. Lee's methodology, if you will, and I'm  
25 going to share with you some of his work product and see if

1 I can understand how the two of you have come to some  
2 substantially different conclusions.

3 A. Okay.

4 Q. I'm using the Gruy Exhibit 13, which we received  
5 after lunch, and the bubble map.

6 Now, Mr. Hartman, if I understand Gruy's  
7 argument, it goes something like this, that apart from the  
8 fact that they failed to get prior approval for the two  
9 increased density wells, they're here today to get those  
10 approved, and based upon Mr. Lee's work, it creates the  
11 opportunity to argue that from their position drainage is  
12 small and therefore there is no harm in having the  
13 additional density.

14 Mr. Lee wants to support that argument by this  
15 bubble-map concept, which, as I understand it, is based  
16 upon the volumetric calculations, examples of which are  
17 Exhibit 13. And if you'll turn with me to the first page  
18 of Exhibit 13, he has showed us his values for what I  
19 characterize as a conventional volumetric calculation for  
20 the Rhodes Federal 41 well.

21 A. Okay.

22 Q. And by that methodology he shows us that despite  
23 the fact that that well is going to ultimately recover 6.6  
24 BCF of gas, it's only going to affect 143 acres. Therefore  
25 he says, you know, no harm, no foul.

1           When I look at your methodology, if I understand  
2 this correctly, on Exhibit 25, you're using the same type  
3 of volumetric gas reservoir calculation, and you used one  
4 of those factors, the m factor?

5           A.    Right.

6           Q.    And by your methodology, then, you can create a  
7 type curve on Exhibit 27 that, based upon which of the m  
8 factor values, gives you a very convenient way of  
9 calculating for the 41 well, as you've done, that it has an  
10 m factor of almost 17,000.

11          A.    Okay, it demonstrated during its life an m factor  
12 of 17,000. That's not to say that that was the m factor  
13 over the entire life.

14          Q.    No, I understand that.

15          A.    Okay, so -- Yeah. Later on, if you'll notice our  
16 -- whatever exhibit number it was that had the Farnsworth  
17 data in it, we had a more recent slope, and that very could  
18 have been a different slope, you know, and a lesser slope,  
19 because the other slope was derived at a period of time  
20 when there was a lot fewer wells competing for the gas.

21                But -- And what our focus is, is to show, if a  
22 well is drilled, is capable, if it has a modern, efficient  
23 completion, of recovering -- or draining 160 acres, which  
24 is the allocated drainage area, you know, for 160-acre  
25 spacing, and there's -- showing there's need for a well,

1 you know, more wells, than what the -- if you have wells  
2 that can drain what the spacing is.

3 That's where our -- was the thrust of our -- So  
4 you may have two different slopes --

5 Q. All right.

6 A. -- on these curves --

7 Q. Pick a slope --

8 A. -- at different times.

9 Q. Pick a slope that you think is appropriate, or  
10 combination of slopes, by which you'd use your methodology  
11 to tell me what you forecast to be the ultimate drainage  
12 area for the Rhodes Federal 41 well.

13 A. Well, if I were starting out from scratch,  
14 because this is how we sort of used to estimate reserves,  
15 as a -- we feel like was fairly accurate way of doing it,  
16 is to take -- analyze the -- just take -- draw a circle,  
17 start analyzing the wells around it and start finding how -  
18 - what is typical or what is -- I always look at from the  
19 standpoint, what is possible, from the various wells that  
20 surround a particular proration unit you're going to  
21 develop.

22 And then we make sure that when we drill a well  
23 that we get efficient completion and assume that we're  
24 probably going to be pretty close to the upper end of  
25 what's possible, if we do our job right. That's how we go

1 about it. It's --

2 And then knowing the slope, knowing what's a  
3 possible slope, then you estimate -- that's the reason we  
4 plot these -- what we -- We call them Huenigrams. That was  
5 after an engineer at El Paso, employed one time in a case  
6 against us. But they're pressure-cum plots, is what they  
7 really are.

8 And knowing what the initial pressure should  
9 anticipate, and then estimating briefly what the  
10 abandonment pressure is, you take that pressure  
11 differential, apply it against the possible/probable slope,  
12 and that gives you a good handle on what type of reserves  
13 you should anticipate.

14 Q. Well, and I had assumed that you had done that.

15 A. I haven't done it in detail around this  
16 particular well. What I did, though, is analyze this  
17 particular -- the 160-acre standpoint from, just to see  
18 what the Farnsworth had demonstrated back in its early  
19 life.

20 For example, if you go over to the Shepherd to  
21 the west --

22 Q. Let me finish --

23 A. Okay.

24 Q. -- my thought here. On the 41 well --

25 A. Okay.

1 Q. -- if I'm using this m factor slope analysis that  
2 you've advanced --

3 A. Uh-huh.

4 Q. -- and I'm going to look at the 41 well, what's  
5 your opinion about the drainage area for that well?

6 A. My opinion is that an efficiently completed -- on  
7 that particular well today may not be the same -- it may --  
8 probably much -- is a lot lower slope, because the  
9 production has dropped away off. So that's going to turn  
10 the slope down, make it a lot steeper.

11 Q. So I cannot use the 17,000 MCF of gas --

12 A. Oh, no --

13 Q. -- for --

14 A. -- that's what I'm trying to say --

15 Q. -- the 41 well --

16 A. -- yeah.

17 Q. -- on this exhibit, look at this type curve and  
18 say it's draining 500 acres?

19 A. It's draining -- today draining that, but at one  
20 time it drained more than that. At one time in its life,  
21 it actually drained more than the 500 acres, I believe.

22 Q. I guess that's the question I'm trying to ask  
23 you, Mr. Hartman, is, the minimum number of acres being  
24 drained by the 41 well, in your opinion, is substantially  
25 more than what Mr. Lee has told us?

1           A.    No, I -- not -- We have to qualify the time  
2 period, is what I'm trying to say.  But it's definitely --  
3 If it were a modernly completed well --

4           Q.    Yes, sir.

5           A.    -- it would -- yes, it could definitely drain  
6 more than 160.

7                    Let me find that 27 again, I'm looking for 27.  I  
8 just want to check those numbers.

9                    Here it is, I've got it.

10                   That was 16,000.  I'll take it back, you're  
11 right, it was right at 500.

12           Q.    Am I correctly stating your position, then, if we  
13 use this methodology --

14           A.    You could -- This methodology shows you what that  
15 reservoir is capable of, and that's what you have to look  
16 at.  And that's what dangerous about their Application.

17                    For example, let's say they have a well that's  
18 got good casing, good cement job.  Somehow it just didn't  
19 get properly completed, you know, somebody did a lousy job  
20 that day.

21                    They go in, they drill another well.  They get a  
22 modern completion.  Then they say, My goodness, look at  
23 what we can accomplish here.

24           Q.    Well, I guess that's the --

25           A.    And then they come back and they said, Well,

1 we're going to apply the same methodology on completion  
2 that we did on the second well. Now they've got two real  
3 good ones, and they'd have a competitive advantage at that  
4 point in time.

5 Q. Right, and I think that with your expertise, I'm  
6 trying to get you to focus what I think is the pivotal  
7 issue, is that Mr. Lee has used his argument to advance the  
8 proposition that these wells are actually draining smaller  
9 areas. Therefore, I can put the 415 in here without being  
10 an unnecessary well.

11 And I want to contrast that with your position as  
12 to this spacing unit where you tell me that there's an  
13 opportunity for substantially more drainage area than what  
14 Mr. Lee contends for the curve.

15 A. It is possible, unless they come along and put an  
16 additional well on every tract around you. Then all of a  
17 sudden, you know, the drainage area is going to be smaller  
18 for another reason, and that is, due to the fact we have  
19 equally competing wells.

20 Q. What do you think of his argument of using a  
21 bubble map like this to help identify areas which would  
22 support an increased density?

23 A. It's just -- It's not an approach I use. I  
24 just -- I don't have a real strong opinion about it, but I  
25 don't quite use that approach.

1 Q. Is there a flaw in this approach that causes you  
2 not to use it?

3 A. I'm not going to -- I can't say, because I have  
4 not really analyzed that approach thoroughly. But, I do  
5 know that our analysis tells us that these wells are not  
6 necessary, that -- you know, that -- When I say "these  
7 wells", I'm talking about more than one efficiently  
8 completed well per 160.

9 Q. When I look at your display board that's before  
10 Examiner Stogner, it's on the big display board --

11 A. Uh-huh.

12 Q. -- I'm looking at a well density of wells that  
13 you operate, that are on a higher density than one well per  
14 160.

15 A. Which ones are those?

16 Q. Within the north half of Section 15 --

17 A. Our --

18 Q. -- are any of --

19 A. -- excuse me --

20 Q. -- north half of 15, any --

21 A. No, no --

22 Q. -- of these --

23 A. -- this is our -- Our acreage is this 160 here,  
24 which it happens to be the north half of the south half.

25 And the 160 right below it is in the shape of a square

1 consisting of the northwest southeast -- or excuse me,  
2 southwest southeast, southeast southwest, northwest  
3 south- -- northwest -- or northeast northwest, and  
4 northwest northeast --

5 Q. All right, let's look at the south half of 10.

6 A. South half of 10.

7 Q. South half of 10 has got three gas wells --

8 A. South half --

9 Q. -- in the red --

10 A. -- has three, that's correct.

11 Q. Yeah, and those are all operated by you?

12 A. No. This one is operated by Gruy.

13 Q. Okay.

14 A. And these are two different proration units.

15 Q. I understand.

16 A. Yeah.

17 Q. Apart from being separate proration units --

18 A. Right.

19 Q. -- those two wells you operate on your spacing  
20 units --

21 A. This well is in production, this well we have set  
22 20-inch casing on. We're in the process of drilling this  
23 well.

24 Q. All right. So you don't have examples over in  
25 the area of the pool where you operate that have the

1 density examples that are involved in the cases before  
2 Examiner Stogner at this point?

3 A. Not yet, and that's what we want to prevent, as a  
4 matter of fact. We don't want it to look like a  
5 pincushion.

6 Q. Well, and that's why I'm asking you to explain to  
7 me on this display the differences between the Gruy  
8 pincushion and what appears to be a similar occurrence in  
9 the south half of 10.

10 A. Well, the south half 10 and the northwest of 15,  
11 these are original wells --

12 MR. GALLEGOS: Can you say what "these" --

13 THE WITNESS: Okay, "these" meaning -- Okay,  
14 that's a good point. Unit M of Section 10, Unit B, E and F  
15 of Section 15, those are wells that were grandfathered in  
16 with the order that approved the pool.

17 MR. KELLAHIN: All right, sir. Thank you.

18 EXAMINER STOGNER: I need to clear up some things  
19 here. What kind of grams did you use? What was the  
20 engineer's name with El Paso?

21 MR. GALLEGOS: Huenigrams

22 THE WITNESS: Huenigrams. Okay Hueni, Greg  
23 Hueni. He's a consulting engineer out of Denver.

24 EXAMINER STOGNER: Okay.

25 THE WITNESS: And they've used him in various

1 cases, as a consulting engineer.

2 EXAMINER STOGNER: Okay, I'll --

3 THE WITNESS: And we added the word --

4 EXAMINER STOGNER: -- circle that.

5 THE WITNESS: -- we added the word "gram" after  
6 it, okay? Like a telegram.

7 EXAMINER STOGNER: Good.

8 Mr. Carr?

9 CROSS-EXAMINATION

10 BY MR. CARR:

11 Q. Mr. Hartman, is a Huenigram an industry term, or  
12 an in-house --

13 A. No, that -- That's our in-house term, and we try  
14 to use the word pressure -- composite pressure time plots  
15 or pressure time plots.

16 Q. Mr. Hartman, you realize here today that Gruy is  
17 not seeking here today a change in the pool rules, you  
18 understand that?

19 A. We understand they're seeking two specific  
20 Applications, that's correct.

21 Q. The data you have presented here today, in fact,  
22 would suggest that a change in the pool rules probably  
23 would not be appropriate across the Rhodes Gas Pool; isn't  
24 that a fair --

25 A. That is our --

1 Q. -- summary?

2 A. That is our position. We feel like that the  
3 current rules protect correlative rights and are capable of  
4 preventing waste.

5 Q. My question is that in the time period prior to  
6 these modern completion techniques and the efficient wells,  
7 in your judgment was 160-acre spacing inappropriate in this  
8 reservoir?

9 A. Well, you had a period of time, and I -- Well,  
10 40, approximately a 40-year -- 38-year period of time, when  
11 it really was not a gas pool per se; it was a storage  
12 project.

13 Q. Do you believe that the pool rules back in that  
14 time -- Do you believe 160-acre spacing really wasn't --  
15 authorized a larger spacing pattern than was appropriate  
16 for the reservoir?

17 A. Well, at the time -- At the time it was in the  
18 Rhodes -- the time of the Rhodes, was in our storage  
19 project. It was actually part of the Jalmat but not  
20 subject to prorationing. It was being operated as a  
21 storage project within the Jalmat Pool. And the spacing in  
22 the Jalmat Pool, recognized or approved spacing, is 640-  
23 acre spacing.

24 And I think -- I can understand how the  
25 Commission, in Order R-520, got to that large of a number.

1 They -- At the time R-520 was first approved, they had  
2 wells that were demonstrating a capability of draining 640  
3 acres.

4 Q. In fact, the 640-acre spacing, though, that is  
5 prorated pool of the Jalmat?

6 A. That's correct.

7 Q. And you get a full allowable factor for every  
8 160 --

9 A. That's right --

10 Q. -- acres?

11 A. -- you get four acreage factors, full acreage  
12 factors.

13 Q. On 640?

14 A. That's correct.

15 Q. And so I -- My question, really, is, was it  
16 improper to try and at any time develop this pool on 160  
17 spacing prior to the development of these modern --

18 A. No, I don't necessarily think so.

19 Q. As you noted, we've got two separate Applications  
20 that are actually before the Division; isn't that --

21 A. Right.

22 Q. The yellow spacing unit up in Section 4 on your  
23 Exhibit 39 and the yellow-shaded 160-acre units in 16; is  
24 that correct?

25 A. That is correct.

1 Q. And you're opposing these Applications?

2 A. I am opposing denser spacing for the Rhodes pool.

3 Q. And you -- Ergo, is it fair to say you are  
4 opposing the Applications of Gruy in these two cases?

5 A. We're opposed because we do not want the  
6 precedent set that -- And the reason we're concerned is the  
7 number of locations. We don't feel like this is an  
8 isolated case. It's their -- apparently going to be their  
9 ultimate plan to drill as many wells as they feel like they  
10 can find locations for.

11 Q. And you understand that they've said that that  
12 won't occur until they have OCD approval?

13 A. Well, that's the reason we're opposing now, then.  
14 We feel like the evidence needs to be put on the table that  
15 a modern well today can drain 160 acres.

16 Q. I believe you testified that more than one well  
17 in your -- in the spacing unit, in your opinion, could  
18 violate correlative rights?

19 A. In this pool.

20 Q. Now, you're not here suggesting today that either  
21 of the Gruy Applications are going to violate the  
22 correlative rights of Doyle Hartman?

23 A. Not these particular two, immediately.

24 Q. You don't own anything in either of the spacing  
25 units --

1 A. No.

2 Q. -- that are at issue, and, in fact, you don't own  
3 oil or gas rights in any of the 160 units surrounding those  
4 spacing units --

5 A. No.

6 Q. -- do you?

7 Your concern is the precedent?

8 A. The precedent and the going forward with what's  
9 already been proposed.

10 Q. You also testified that, in your opinion, two  
11 wells on these units could, in fact, result in waste?

12 A. That is correct.

13 Q. And you presented -- I believe it was Exhibit 35,  
14 in which you showed that, in fact, two wells on a unit  
15 would really create a situation where you had two wells  
16 competing for what the reservoir could give up?

17 A. If they're equally -- If they're equally  
18 completed wells, that is correct.

19 Q. And when you talk about waste, you're not talking  
20 about recovering less; you're talking about economic waste,  
21 drilling more wells to recover the same amount; is that  
22 right?

23 A. Economic waste, that is absolutely right. But  
24 actually, in the scheme of things, that amounts to also  
25 waste, because dollars that are put into a wasteful project

1 don't go to a project that, you know, could actually add  
2 reserves.

3 Q. But when you add two wells --

4 A. And we would be -- it would be violating our  
5 correlative rights if we have to come in just to compete  
6 for our fair share of the reserves and drill more wells.

7 Q. And that would happen if there were --

8 A. And if we fail to do that, then our correlative  
9 rights would be violated.

10 Q. Because you'd have to -- You wouldn't be denied  
11 an opportunity to produce your reserves, you'd just have to  
12 pay more to do it; isn't that right?

13 A. But wells would be being drilled that were  
14 unnecessary to start with.

15 Q. And that would occur after a hearing when you had  
16 notice and an opportunity to inject?

17 A. I'm not sure -- I don't know I'd totally have  
18 notice, but -- But we have pool rules, and I think it's  
19 time for this issue to be heard right now.

20 Q. We had that example in Exhibit 35 where you put  
21 two wells on the unit and considered that wasteful. Do you  
22 recover less from that spacing unit --

23 A. What was that -- Oh, you said 35. Go ahead.

24 Q. Yes, sir. Would you recover less with the two  
25 wells, or just increase your cost?

1           A.    Let me see 35.  Which one was 35, to be precise?

2    Oh, okay.  Go ahead, ask the question again.

3           Q.    The question I have is --

4           A.    I've got it right here.

5           Q.    -- are you going to actually recover less  
6    reserves from this spacing unit, or do you just create a  
7    competitive situation where you have to have more wells to  
8    recover?

9           A.    If you have -- Let's say we have two proration  
10   units, and we have one that is completed with one well  
11   efficiently, and then you have the other completed with two  
12   wells efficiently, and both -- all of them -- both groups  
13   of wells is capable of draining 160, then probably what's  
14   going to happen is, the guy with two wellbores is probably  
15   going to get two-thirds of the reserves, and the guy with  
16   one wellbore is going to get one-third of the reserves,  
17   although the guy with one wellbore has half the acreage.

18          Q.    And my question, really, is this:  On a single  
19   spacing unit, when you drill more wells you're not  
20   recovering less hydrocarbon, you're just running your cost  
21   up?  Is that -- That's what I'm trying to get at.

22          A.    Our position is that if we get into a round of  
23   drilling in the Rhodes Pool, that -- doubling the number of  
24   wells, then we are running the cost up without  
25   substantially --

1 Q. Okay.

2 A. -- increasing the reserves.

3 Q. I'm just trying to understand you between  
4 physical waste of hydrocarbons and economic waste. You're  
5 not going to recover less, you're just going to -- it's  
6 going to cost a lot more to gather it; isn't that what  
7 you've been saying?

8 A. We're saying, yeah, you're not --

9 Q. Okay --

10 A. -- with one well, you're not necessarily going to  
11 -- you could -- You will recover less on his 160 if he's  
12 only got one well, but he has the potential of recovering  
13 more if the offset operator doesn't drill two wells.

14 Q. In each of --

15 A. We should both have an equal chance to get the  
16 reserves.

17 Q. In each of the Gruy cases, there are unorthodox  
18 well locations being sought, and there were questions on  
19 cross this morning about, are you taking a position on  
20 those unorthodox locations as to the unorthodox nature of  
21 them?

22 A. Obviously, if these are not totally bothering us  
23 here, then, you know, moving it a few feet doesn't affect  
24 us either. But it is also a factor -- For example, the  
25 103, it's at -- still at an unorthodox location that

1 directly offsets us. That's one well that they've given us  
2 notice that they're going to drill.

3 Q. And they haven't filed an application, to your  
4 knowledge?

5 A. Well, not for a hearing. They definitely have  
6 filed for drilling.

7 Q. When we look at Rule 104, the spacing rule, you  
8 would agree with me that at least a basic assumption for  
9 spacing reservoirs is the area that a well drilled in that  
10 reservoir ought to be able to drain?

11 A. Say that again. I'm sorry.

12 Q. That spacing is based on drainage, at least in  
13 theory?

14 A. The Commission rules define the spacing as being  
15 the area that one well can efficiently and economically  
16 drain.

17 Q. And when we look at Rule 104, there are several  
18 component parts to those spacing requirements: The size of  
19 the unit, 160 acres; that's one of the component parts?

20 A. Okay, what else, then?

21 Q. And -- But that's one, correct? We'll go through  
22 the entire --

23 A. Okay.

24 Q. Another one, you'd agree with me, would be the  
25 setbacks from the outer boundaries; isn't that fair to say?

1           A.    The rules, right, provide for a specified  
2 setback, depending on the amount of acreage.

3           Q.    And they provide for a certain distance between  
4 wells, 1320?

5           A.    That is right, in unprorated pools.

6           Q.    And they also contain provisions that provide  
7 that a 160-acre spacing should be substantially in the form  
8 of a square; isn't that right?

9           A.    That is right.

10          Q.    And that it also should be a quarter section of a  
11 governmental -- U.S. government subdivision?

12          A.    That's right. That's the reason we, on our -- we  
13 have a -- 160 in the form of a square. But we're following  
14 a nonstandard proration unit application, we're -- we don't  
15 sit within the governmental quarter section.

16          Q.    In fact, both of the spacing units you operate in  
17 this pool are nonstandard units?

18          A.    Yeah, and Gruy -- Gruy's predecessor determined  
19 the shape of those.

20          Q.    But the fact is, when we have rules that set a  
21 spacing pattern, when other reservoir or ownership factors  
22 come to bear, you can get an exception to that rule; isn't  
23 that right?

24          A.    There -- yeah, there are appropriate --

25          Q.    That's what you've had to do here, or your

1 predecessor had to do here, to get these units; isn't that  
2 right?

3 A. These -- Well, for example, if you want to talk  
4 about these -- our Bates lease, El Paso Natural selected  
5 the shapes of the proration units surrounding the Bates 4.  
6 Consequently, that determined the shape and the size and  
7 the positioning of the Bates 4 proration unit.

8 And that's an appropriate application, especially  
9 being that people would -- the only people that would be  
10 opposing are the guys who created, you know, the shape to  
11 start with.

12 Q. But there are factors that justify exceptions to  
13 the rules; do you agree with me on that?

14 A. That's right, but I don't -- what we're here --  
15 Our opposition today is that we don't think it's justified  
16 throughout the Rhodes Pool, intense infill drilling.

17 Q. And that's not being sought here today; you  
18 understand that?

19 A. Well, I think -- I think it's the beginning of  
20 it.

21 Q. You stated several times, I think, that an  
22 efficiently completed well today should drain 160 acres.

23 A. I think it can in these particular reservoirs.

24 Q. Recently you have drilled your Bates 3 well in  
25 Unit K of Section 10 in the --

1 A. That's right.

2 Q. -- spacing unit?

3 I assume that's efficiently completed.

4 A. Not totally yet. We could improve on it. But  
5 it's making an adequate amount.

6 Q. It is on a 40-acre offset from the Bates Number  
7 1?

8 A. That's right.

9 Q. Did you -- What have you done with the Bates  
10 Number 1?

11 A. The Bates 1, the history behind it, it was -- I  
12 think Meridian inherited or had become the operator for El  
13 Paso by that time, but around 1987 -- the well was actually  
14 making -- in 1987 it was making about -- capable of making  
15 about 400 MCF a day.

16 But I believe they had a casing leak, and they  
17 elected not to fix the casing leak but to plug the well.  
18 And that was what was holding the lease.

19 Q. How much was actually produced from the Bates 1?  
20 Do you know the cumulative-production figure?

21 A. The cumulative-production figure that's reported  
22 is 14 billion, but I question whether that's all native  
23 gas. And the reason I question that is, we can go back and  
24 look at, say the Rhodes A1. If you look at the P/Z curve  
25 for the Rhodes A1, it should have had an ultimate of around

1 16 billion, but it's got a cum of 26 billion.

2 But we had a -- you know, a 40-year period in  
3 there that we had a project. So we had some cycled gas  
4 that's kind of in those numbers.

5 I believe it's the same thing that's happened on  
6 the Bates 1, the Cagle, a lot of those wells.

7 Q. When we look at this area within which you're  
8 operating, your Bates Number 3 offsets the Bates Number 1.  
9 It produced some volume. It's reported at 14.3, maybe and  
10 maybe not. The Bates 1 did not effectively drain that 40  
11 acres immediately offsetting, isn't that fair to say?

12 A. No, it didn't. And also, I need to tell you  
13 something about that Bates 1. I mean, Bates 3 -- The Bates  
14 1 you're talking about and the -- versus the 3?

15 Q. Yes.

16 A. Well, first thing is, we have some additional pay  
17 that's not open in the rest of those wells.

18 Q. In the Bates 3?

19 A. Right.

20 Q. And so you're -- are you -- do you know how much  
21 of the reserves are coming from the new pay as opposed to  
22 the old pay?

23 A. Essentially all of them right now, because we  
24 have not even come up the hole because of the pressure  
25 differential.

1 Q. Do you intend to open the Bates 3 in the same  
2 zone that was open in the Bates 1?

3 A. We definitely intend to open the Bates 4 in that.  
4 That's one of the reasons.

5 Q. And the Bates 4 is the well due south of --

6 A. Yes. And then probably, you know, eventually  
7 move back, if -- depending on how the Bates 3 holds up. If  
8 it falls off very fast, then we will recomplete it to the  
9 main pay, which is the Yates.

10 Q. A number of these wells were grandfathered in --

11 A. Number of wells --

12 Q. -- in the prorated -- in the storage --

13 A. Yes --

14 Q. -- part of the unit?

15 A. -- you're right.

16 Q. But if I look at the area within which you  
17 operate, we have a gas well in the pool currently being  
18 produced by Gruy due north on the 40 acres, due north of  
19 the --

20 A. Uh-huh.

21 Q. -- Bates 1. You have just drilled to the 40  
22 acres due east of the Bates 1, correct?

23 A. Right.

24 Q. There is a producing gas well operated by Gruy  
25 due south --

1 A. Let me see.

2 Q. -- of the Bates 1?

3 A. Yeah, it probably is producing. I think maybe  
4 it's the one just south that is not.

5 Q. And Mr. Kellahin pointed out three wells due  
6 south of that on 40-acre tracts, south of the Bates 1.

7 A. Wells that were existing prior to the pool being  
8 produced.

9 Q. And all of those produced from the gas reservoir?

10 A. Yes, that's right.

11 Q. And when we -- And so in effect, although it's  
12 developed on 160-acre spacing rules, you do have wells that  
13 have been drilled to this reservoir on effectively a 40-  
14 acre spacing pattern; isn't that right?

15 A. It was a storage project that was being operated  
16 on 40-acre spacing, not necessarily producing wells. It  
17 was being operated as a storage project. I can't tell you,  
18 you know, what all their thinking was, but I'm sure they --  
19 part of the idea was, they wanted to put gas in part of the  
20 year and withdraw it other parts of the year. And that was  
21 the -- you know, the spacing pattern they chose.

22 But that's also what was inherited when it went  
23 to a gas pool.

24 Q. When you complete the Bates 3, finish completing  
25 it --

1 A. Uh-huh.

2 Q. -- you anticipate it will drain 160 acres, or  
3 whatever acreage is available to it; isn't that right?

4 A. We -- It's our plans to make it where it will get  
5 its share, which is 160.

6 Q. And then due south on the yellow spacing unit, on  
7 Exhibit 39, here now, is this the Bates oil well that  
8 you're now drilling?

9 A. That's right.

10 Q. And that is in Unit N of 10, Section 10?

11 A. That's in N of 10, that's correct.

12 Q. Originally, you proposed to drill that well in B  
13 of 15; isn't that correct?

14 A. That is right.

15 Q. And you have moved it to the 40-acre spacing unit  
16 offsetting your Bates Number 3?

17 A. Right.

18 Q. Doesn't that, in fact, create a situation where  
19 you're competing -- creating competition between the wells  
20 that wouldn't exist at the --

21 A. There's probably --

22 Q. -- original location?

23 A. -- a little bit more competition there. But  
24 again, we know that a well can drain a large area. So  
25 maybe exactly where you have it on that 160 is not that

1 important, because you're going to be able to drain the 160  
2 anyway.

3           What determines the amended location was, we also  
4 have geology for the lower Seven Rivers and Queen that we  
5 were interested in, and we feel like that was a more  
6 advantageous location as far as structure was related.

7           And also following -- because there's a nose in  
8 there anyway, probably -- pick a probably better sand  
9 development, even the Yates, he could have been close to  
10 the sand development, you know, high-quality sands going  
11 across the nose, versus falling off the nose a little bit.

12           It's our interpretation that there's a structural  
13 nose that sticks out to the west, and that's -- as well as  
14 permeability pinchouts in a north-south direction,  
15 approximately along the section line between Sections 10  
16 and 11, 14 and 15, and we found some gas and some oil in  
17 the zones down here, and that's why we wanted to make sure  
18 that we were drilling it off of a structural position.

19           Q.   Exhibit 35 was a 160-acre tract with one well on  
20 it. And then you put a second well on, which effectively  
21 resulted in 80 acres.

22           A.   What was that again, now? Say that --

23           Q.   Exhibit Number 35 showed a 160-acre tract with  
24 one well on it --

25           A.   Okay.

1 Q. -- and then when you place the second well in  
2 that 160, you said you were essentially reducing it to an  
3 effective 80-acre spacing pattern; isn't that right?

4 A. If you have -- Right, if you have wells that can  
5 drain 160, you go in and drain -- drill an additional  
6 well -- and assuming -- and assuming that the other wells  
7 around you are also competitive, then what you're doing is,  
8 you're reducing the spacing, essentially, cutting it in  
9 half.

10 Q. And when you take your Bates Number 4 and put it  
11 on essentially an 80-acre unit below your Bates Number 3,  
12 haven't you done just that, created competition and thereby  
13 the waste you were talking about --

14 A. I don't think that -- No, as long as we drain  
15 160, I could really care where the gas tank comes from.  
16 You know, we're not -- we're not trying to tell you that  
17 the gas that this well will produce will only come from  
18 there.

19 I don't think anybody in this room is qualified  
20 to say where it comes from. That's part of what  
21 correlative rights is about, you know. And you protect  
22 correlative rights by -- just as long as there's counter-  
23 drainage, to offset drainage on the tract.

24 And what we want to make sure is that we get our  
25 fair opportunity without wasting money.

1 Q. Okay. And neither of the Gruy Applications will  
2 deny you the opportunity to do what you need to do with  
3 your acreage?

4 A. You could argue today that those particular Gruy  
5 applications would not immediately deny me an opportunity.  
6 However, Gruy might be tempted to come back and say, Now  
7 the precedent is set, now, you know, we should be able to  
8 do this or that. And we do agree -- disagree that intense  
9 infill drilling is necessary. We don't think it is. We  
10 just think they need to take care of their business on the  
11 current wells they have or their current leases within the  
12 rules.

13 MR. CARR: Thank you, Mr. Hartman.

14 MR. GALLEGOS: No redirect.

15 EXAMINATION

16 BY EXAMINER STOGNER:

17 Q. Mr. Hartman, you have mentioned several times  
18 about the modern era or the modern times in this particular  
19 pool, and they started when? About what year?

20 A. I would say, you know, especially -- Probably,  
21 I'd say mid-Seventies, at least, probably -- maybe earlier  
22 than that.

23 But what I'm referring to -- one of the things  
24 that -- the reason I use that cutoff when you ask that  
25 question, the OCD issued an order or rule -- you had a rule

1 that requires, you know, certain cementing practices in  
2 southeast New Mexico. It was because of water flows, but  
3 it turned out to have some very beneficial effects.

4 You have some pretty decently drilled wells,  
5 wellbores, from that point on, because a lot of cement was  
6 used to cement the wells, so that -- cement job, so  
7 therefore, you know, you don't have to worry about  
8 channeling, things like that.

9 So I think -- I definitely would put 1975  
10 forward, or 1976, when I think those rulings came out. You  
11 have the opportunity to get a good cement job as well as,  
12 you know, frac jobs. They continue to progress with time.  
13 And those are two big, important factors. It's just making  
14 sure you're well communicated to your pay zone in your  
15 wellbore.

16 And I want to say, you know, the -- what we call,  
17 I guess, the old wells, in those day -- in their day, they  
18 were efficient wells. There was not a problem the way they  
19 were -- those were the -- That was what was available in  
20 1935.

21 But I would find it very difficult, you know, I  
22 -- you might -- it might be difficult to make a good well  
23 out of a well that was an open-hole completion, you know,  
24 in the Thirties, today.

25 Q. I keep trying to figure out how we got to where

1 we're at today, and I believe your Exhibit Number 1, which  
2 was our Order Number R-6891, that we took administrative  
3 notice of, that's essentially what created the Rhodes-Yates  
4 Pool; is that correct?

5 A. What is known as the Rhodes-Yates Pool today.  
6 Prior to that, you -- Rhodes-Yates Gas Pool and the Rhodes-  
7 Yates Oil Pool, you have both. Prior to that you had the  
8 Rhodes Pool, you also had some other surrounding pools that  
9 were -- you know, like the Scarborough and Jalmat to the  
10 north. You had several overlapping pools coming together  
11 in that vicinity.

12 But essentially the Jalmat Pool boundaries  
13 extended all the way down to the state line, with the  
14 Rhodes Pool, oil pool, covering the same area, but not  
15 necessarily the -- you know, the same pay.

16 Q. I thought I heard you say earlier that the Jalmat  
17 and the Rhodes were essentially the same --

18 A. From a reservoir standpoint, producing zones, they  
19 are. But you -- You know, as you drop further south, you  
20 drop into the oil column. And so the Rhodes -- what was --  
21 The Rhodes Oil Pool was originally a gas pool, being an oil  
22 pool on the south end, and with, you know, gas -- above the  
23 gas-oil contact.

24 El Paso produced the gas portion as a gas pool,  
25 and then as a storage project Texaco has produced mainly --

1 has been the predominant producer of the oil to the south.

2 Q. Okay, what was going on with the gas up in the  
3 gas portion? How come the Jalmat wasn't extended or kept  
4 down --

5 A. It was the Jalmat. This was part -- In 1982,  
6 when the -- El Paso came in, the Rhodes officially was part  
7 of the Jalmat but being operated as a storage unit and  
8 being exempted from prorationing in the Jalmat.

9 Q. Okay. So therefore it was created as the Rhodes-  
10 Yates, which was not prorated?

11 A. Right, that -- El Paso -- their application was  
12 to do it that way. I can only presume that -- Well, the  
13 transcript indicates that they wanted to be able to get  
14 their gas out in a timely manner.

15 Q. Okay, that's what I was kind of getting at. What  
16 was going on at the time in this area? We evidently got a  
17 correlative-rights situation now. Did that same  
18 correlative-rights situation occur then?

19 A. Well, what -- one of the -- I've given thought to  
20 that. And you remember it was a storage project, and the  
21 testimony in the hearing in 1982 was, they were back to  
22 zero net injection as of January of 1982.

23 By this point in time, the Jalmat pressures  
24 further north outside of the Rhodes area were already below  
25 what the pressures were in the Rhodes at the time the

1 Rhodes gas pool was created.

2 So El Paso made application, I presume, to --  
3 maybe to be able to catch up or -- but to get --  
4 definitely, the transcript says to get their gas out, you  
5 know, in a timely manner. So that's the reason they made  
6 the application as a nonprorated versus a prorated pool.

7 Q. But didn't El Paso own all that acreage within  
8 that pool?

9 A. Yes, essentially they did.

10 Q. Okay, so that was essentially -- took care of the  
11 correlative-rights problem, because they owned everything?

12 A. Yeah, and we have no problem with it today. It  
13 works. It's worked -- it can work as -- it works as a  
14 nonprorated pool and has been produced in that manner since  
15 1982.

16 It can -- when I say "works", I mean the rules  
17 are capable of working

18 Q. Okay, we have situations out there where  
19 nonstandard proration units would have to be formed.  
20 Section 8, for instance -- well, it's off of that map --  
21 where the pool boundaries -- I believe you have it depicted  
22 on here, Exhibit Number 37, where you have the oil pool  
23 kind of coming up and making an L shape. It would be  
24 necessary to form one 120-acre nonstandard proration unit  
25 and one 40-acre nonstandard proration unit. Right there,

1 that cries out correlative rights. And also, there's not  
2 an easy solution --

3 A. Okay.

4 Q. -- with today's rules and regulations as they  
5 are.

6 MR. CONDON: It's in your packet.

7 THE WITNESS: No, it's not in here. Excuse me.

8 EXAMINER STOGNER: I'm sorry.

9 THE WITNESS: Oh, okay, you're on the same one, I  
10 thought we were on the proration map. Go ahead.

11 Q. (By Examiner Stogner) Okay. I was just -- I'm --  
12 Okay, I'm referring to the outline of the Rhodes-Yates Gas  
13 Pool.

14 A. Right.

15 Q. Okay. In Section 8, under the present rules and  
16 regulations, for the south half to be produced, one is  
17 going to have to formulate a 120- and a 40-acre nonstandard  
18 proration unit for the south half of Section 8 to be  
19 completed within this -- within a gas pool.

20 A. It looks like -- In Section 8 there, that is a  
21 160. It's undedicated; is that correct or not? Over in  
22 the southwestern part.

23 Q. That would require a hearing --

24 A. Yeah, right?

25 Q. -- because you're not in the form of a square --

1           A.    Right.

2           Q.    -- and under our rules and regulations, they  
3 could come under and get 120-acre spacing administratively,  
4 without coming in the hearing, because there's three 40-  
5 acre tracts within that quarter section that could be  
6 formed into a nonstandard proration unit.

7                    But yeah, I see what you're saying.  But that  
8 would -- That would necessitate a hearing for that  
9 160-acre --

10          A.    Yeah, for a nonstandard.  And that's reasonable,  
11 because that's what's left.

12          Q.    Right.

13          A.    You know, it's -- They have the adequate amount  
14 of acreage, and the shape and the positioning is dictated  
15 by what's already happened around it.  We're not opposed to  
16 things like that at all.

17          Q.    It's just not easy obtaining that under the  
18 present rules.

19                    In the Jalmat, one's able to do that fairly  
20 easily.  It is prorated, but yet there's different rules  
21 and regulations that apply in there, that would allow an  
22 administrative order to be written.

23                    Then I guess what I'm coming up to and leading up  
24 to, in Section 4, I thought I heard you say that you had no  
25 problem with the Number 41 well still producing in

1 concurrence with one of the other new wells, but not the  
2 two new wells producing at the same time.

3 A. Right. And the reason I'm able to say that,  
4 probably, is that 41 is an open-hole completion with a low  
5 probability of ever being made more -- you know, turned  
6 into much more than it already is.

7 But when you come in and you get two basically  
8 brand-new modern completions, you know, within a period of  
9 a few months, obviously, if we were being offset there and  
10 the other operators were on -- a person had one well on the  
11 160, the guy with two is going to have a competitive  
12 advantage in that situation. And --

13 Q. Two new completions?

14 A. Yeah, with two new completions, that's right.  
15 Two new modern completions. And they -- both of theirs  
16 have been frac'd and used modern techniques.

17 It's just not that easy to accomplish that with  
18 an open hole, plus the fact, you know, you have no rathole  
19 to deal -- you know, work in. You have fill that can fall  
20 in and cover part of your pay in an old well and so forth.

21 So there's some real constraints that an operator  
22 has with some of these old open-hole completions.

23 Q. Let's take a look at the situation in which  
24 they're asking for in the southwest quarter of Section 4,  
25 and let's just say, for instance, that these three wells

1 are allowed to produce. And this being federal acreage,  
2 what would the BLM demand to the offsets, for offset  
3 drainage demands? Would that be taken into account?  
4 Essentially going to effective 40-acre spacing.

5 A. It could possibly lead to that. You know,  
6 problems of meeting the offsets. And that's another  
7 excellent reason, if a person is sitting there holding  
8 federal acreage, to have to, you know, meet what's  
9 happening in the offset, especially if it's not necessary  
10 to do that.

11 Our position is, we happen to be on fee, but I'm  
12 sure that our royalty owners would, you know, demand the  
13 same thing of us too.

14 Q. Possibly the obligation to, at least?

15 A. Yeah, it increases the potential obligation to  
16 drill.

17 EXAMINER STOGNER: I think we're into a situation  
18 where we're playing with a lot of "what ifs" at this point,  
19 but I have no other questions.

20 Are there any other questions of Mr. Hartman at  
21 this time?

22 MR. GALLEGOS: No, Mr. Examiner.

23 MR. CARR: (Shakes head)

24 EXAMINER STOGNER: You may be excused.

25 Is there any need to call any other witnesses?

1 MR. CARR: No, Mr. Stogner, there is not.

2 I have a very brief closing.

3 EXAMINER STOGNER: Okay. Mr. Kellahin, I'll let  
4 you go first with the closing.

5 Oh, before we get started on this, I had on my  
6 desk on Monday the 31st, and I didn't get back till  
7 Wednesday -- this was a letter to me from the State Land  
8 Office, and I notice it was not cc'd to you, Mr. Carr,  
9 discussing communitization agreements. And in fact, the  
10 Commissioner wanted to go on the record formally objecting  
11 to this particular matter pending the communitization of  
12 the acreage in Section 16. At least I'm assuming that this  
13 is referring to Case -- Yeah, it actually is, 12,017. And  
14 I can provide you a copy of that letter at this time.

15 MR. CARR: We would appreciate that.

16 EXAMINER STOGNER: Mr. Kellahin?

17 MR. KELLAHIN: Thank you, Mr. Stogner.

18 Mr. Stogner, Gruy created this problem for  
19 themselves. They've admitted to you in testimony today  
20 that they were assuming the risk of what they were doing,  
21 and yet they now come before you and they want you to bail  
22 them out of the problem that they made for themselves.

23 They suggest to us that this is not to be a pool-  
24 rule change, and by doing so we're all supposed to relax.  
25 Just grant me my little exception in the southwest of 4 and

1 my little exception in the northwest of 16, and this  
2 nonproblem simply disappears.

3 But you and I have been doing this long enough to  
4 know that once you grant an exception, then the exception  
5 becomes the rule. And we have a competitive domino effect  
6 in this pool.

7 And you and I now know that for the last ten  
8 years we've been telling operators something that's not  
9 going to happen anymore.

10 Since 1988 I have been telling operators, as you  
11 have been telling operators, that in nonprorated gas pools  
12 you can have a single gas well per spacing unit.

13 We went so far as to put it in the rule book back  
14 in 1996 so people like Gruy, if they don't know about the  
15 memos and can find one of the yellow books and can read  
16 104.D, can find that paragraph to alert them to the fact  
17 that you have a single gas well in a nonprorated gas pool.  
18 And it is to preclude exactly what they're doing, to cause  
19 competition in the drilling of potentially unnecessary  
20 wells.

21 We have two solutions in the rule book. If you  
22 want to increase the density in a nonprorated gas pool,  
23 then you can petition to have it prorated, and that creates  
24 a wonderful opportunity and a vehicle to increase the  
25 density of your wells. Correlative rights are protected,

1 you have a gas allowable for the GPU, and they can drill  
2 their wells. And us as offset operators will be comforted  
3 by the fact that we know, regardless of the well depths,  
4 that we will have the right and opportunity to produce an  
5 equal amount of gas.

6 The other option that we have told operators,  
7 both you and I, for the last decade, is that in a  
8 nonprorated gas pool if you want more than a single well  
9 then you abide by the 1988 and the 1990 memos. And if you  
10 read them, it talks in very strong language about coming  
11 forth with compelling evidence that the new well is  
12 necessary in order to protect yourself from offset  
13 drainage.

14 And what does Gruy do? Do they afford themselves  
15 the opportunity to advance that argument for you today?  
16 Certainly not. They bypass that entire set of memorandum  
17 and procedures and cases we've done following those  
18 procedures, and they simply say, Grant us an exception.  
19 We're not going to worry about presenting you that special  
20 case that shows they need an exception.

21 So if you grant this case today, then it will be  
22 a floodgate of cases where anytime I can get an operator to  
23 give me a volumetric calculation and a bubble map, we're  
24 going to be in here asking what Gruy is asking you to do.

25 And where is their compelling evidence that tells

1 you that it is absolutely essential that they produce these  
2 wells concurrently? Not a word was spoken on that topic.  
3 Nothing was presented. There is no evidence before you to  
4 show that there's any compelling reason why you should  
5 grant them forgiveness for the mistake that they've  
6 created. There's nothing to show that they can't produce  
7 these consecutively and abide by the pool rules. The fact  
8 that they have chosen not to avail themselves of the  
9 opportunity to read and understand the rules is no excuse  
10 for you to grant them the exemption.

11 We would ask that you deny their request.

12 EXAMINER STOGNER: Mr. Kellahin.

13 Mr. Gallegos?

14 MR. GALLEGOS: Mr. Examiner, I want to cover  
15 three areas:

16 One, the interest -- and most appropriate  
17 interest -- of Doyle Hartman in this matter.

18 Number two, the law and the rules that apply and  
19 should enforced.

20 And number three, what we might call a brief look  
21 at the evidence on the technical issue of appropriate  
22 spacing for drainage in this pool.

23 First of all, the implication has been made in  
24 cross-examination that some way or other the Hartman  
25 interest is not really vitally affected, and it may be that

1 he's an interloper, when in fact Hartman is serving the  
2 orderly development of this pool.

3 And one only has to look at Exhibit 15, Exhibit  
4 18 and Exhibit 20 to know clearly that at the same time in  
5 April of this year that Gruy was setting out to rework the  
6 43, drill an oil well that turned out to be gas well, the  
7 415, and to do the 5, it had already made application to  
8 drill what it called the 103 and the 159 wells, right next,  
9 offsetting Hartman's base lease, where there was already a  
10 producing well.

11 And Exhibit 15 is the drilling agreement which we  
12 learned -- This is this multi-well package, 13 wells, six  
13 of them already permitted, not yet drilled. And the only  
14 reason that those wells weren't drilled -- There's no other  
15 conclusion to be made. The only reason those wells weren't  
16 drilled offsetting and starting to drain the Hartman  
17 acreage was because he saw what was happening, he wrote  
18 letters, he called to their attention their trampling of  
19 the rules, and they stopped drilling those wells, and they  
20 came in here with applications. They probably would not  
21 have even filed these Applications; they'd still be out  
22 there drilling every place that they found a -- 40 acres  
23 without a gas well on it.

24 So the Hartman interest is clearly proper, it's  
25 to be protected, and at the same time it serves the purpose

1 of enforcement of the rules.

2 Which brings me to the second point I want to  
3 cover.

4 Section 70-2-17.B speaks of the Division's  
5 creation of proration units: Any area that can be  
6 efficiently and economically drained and developed by one  
7 well -- even the statute speaks of efficient and economic  
8 draining developing by one -- and in so doing, the Division  
9 shall consider the economic loss caused by the drilling of  
10 unnecessary wells. The economic loss. And then the  
11 protection of correlative rights and the prevention of  
12 waste.

13 That's exactly the design of the rules, and  
14 that's exactly the consideration.

15 Now, taking a look at the rules, I have to say,  
16 as I focus on them briefly, Gruy cannot come before this  
17 Division on the same footing as a party who had a certain  
18 plan or aspiration in terms of development, followed the  
19 rules, first made an application and then waited to  
20 determine whether or not permission was going to be  
21 granted. This is a party who has grossly violated a number  
22 of rules that apply to it, and then comes in and says, Now,  
23 do something for us.

24 Just to review, Rule 104.C.(2) applies here. It  
25 says that the spacing here is 160 contiguous acres, 660

1 feet outer, 330 feet inner, and 1300 [sic] feet to the  
2 nearest well.

3 104.D.(2) says, when it talks about nonstandard  
4 spacing units, which in effect we have here because we're  
5 talking about trying to put more than one well on a 160,  
6 Any well which does not have the required amount of acreage  
7 dedicated to it for the pool or formation in which it is  
8 completed may not be produced until a standard spacing unit  
9 for the well has been formed and dedicated or until a  
10 nonstandard spacing unit has been approved.

11 And Rule 104.D.(3) says, Unless otherwise  
12 permitted by the special pool rules or authorized after  
13 notice and hearing, only one well per spacing unit is  
14 permitted in nonprorated rules [sic].

15 The implication or the suggestion of the witness  
16 for Gruy was, Well, we didn't know about the LeMay memos,  
17 something that's not widely known, until Mr. Hartman called  
18 it to our attention.

19 The LeMay memos are no different than the  
20 precursors of what's in the rule. If they just read the  
21 rule book, 104.D.(3) told them they could do what they were  
22 doing.

23 Now, I've always admired the eloquence of Mr.  
24 Carr, and I won't take the time, but in the case of the  
25 Application of Presidio Exploration, Inc., for an

1 unorthodox gas well location and simultaneous dedication,  
2 Eddy County, New Mexico, Case Number 10,416, Mr. Carr,  
3 representing Yates, made the argument that I am making,  
4 better than I could possibly make it, that what is really  
5 happening, what Presidio was trying to do there was really  
6 an effort to change the pool rules.

7           As he said, and I quote, At least to start down  
8 that road.

9           And then he goes on to say, The legal framework  
10 within which that decision must be made includes the  
11 Division's memorandum dated August 3, 1990 -- and he quotes  
12 that memorandum that requires that there be only one well  
13 on a proration unit, and he quotes it to say application to  
14 produce both wells will be approved upon compelling  
15 evidence that the applicant's correlative rights will be  
16 impaired unless both wells are produced.

17           In this case, there's nothing in the record that  
18 says Presidio's correlative rights will be impaired.  
19 That's what the requirement is, to quote Mr. Carr. And I  
20 can change that phrase by saying in this case there's  
21 nothing in the record to say Gruy's correlative rights will  
22 be impaired by them being restricted to following the rules  
23 and having one well.

24           The technical evidence simply shows, first of  
25 all, that there was an effort here, which I would call

1 after the fact, by Mr. Lee to describe this reservoir as  
2 one that is tight, of low permeability, to select an  
3 arbitrary porosity cutoff and manufacture some  
4 justification for what Gruy already intended, which is  
5 basically to just go in and drill on any 40-acre spacing it  
6 can find.

7 The compelling evidence shows that one well  
8 clearly can drain 160 acres.

9 And if anything blows the cover of Gruy, I think  
10 it is the evidence concerning the southwest quarter of  
11 Section 4, where even Mr. Lee's bubble map indicates that  
12 the two wells, particularly with the 43 reworked, clearly  
13 will drain that acreage, and that it was not even intended  
14 that the 415 be a gas well; instead, it was targeted as an  
15 oil well.

16 And out of haste and evident intention to save  
17 money the 415 becomes a gas well. And lo and behold,  
18 again, with the trampling of all the rules, disregard of  
19 procedure, Gruy wants this Division to approve them and  
20 allow after the fact for their wrongdoing to become blessed  
21 and approved.

22 And all I say to that, Mr. Examiner, if operators  
23 don't follow the rules, we eventually have chaos, and we  
24 undermine the whole scheme of orderly development and  
25 orderly regulation and fair treatment of everybody who has

1 interest in a pool, and that's even more so the case when  
2 somebody can come in after they've violated the rule and  
3 then ask the Division to excuse them.

4 Thank you.

5 EXAMINER STOGNER: Mr. Carr?

6 MR. CARR: May it please the Examiner, Gruy  
7 Petroleum Management Company comes before you today  
8 admitting that we're outside the rules. And contrary to  
9 the way Mr. Kellahin or Mr. Gallegos would like to posture  
10 the case after the fact, what we're here to do is to  
11 resolve this problem, get back within the rules and abide  
12 by an order of the Division or the Commission. That's why  
13 we're here.

14 And this is a case that involves correlative  
15 rights. It involves the correlative rights of Gruy. It  
16 doesn't -- You can threaten the correlative rights of Mr.  
17 Hartman. Mr. Hartman owns nothing in the subject spacing  
18 units, he owns nothing in any 160-acre unit offsetting  
19 either of the spacing units that are at issue. And he  
20 doesn't suggest that what's going to happen in the two  
21 tracts that are the subject of these cases, he doesn't even  
22 suggest they're going to impair his correlative rights;  
23 he's concerned about the precedent, about pool rules, which  
24 everyone knows are not on the table here today.

25 This isn't about the correlative rights of Mr.

1 Armstrong. Armstrong Energy filed a prehearing statement.  
2 They were concerned about pool rules. We're not seeking  
3 pool rules. They were concerned about a well being drilled  
4 in Section 8, and we had our land witness say, point out,  
5 that there was a location picked by Mr. Lee in Section 8,  
6 and the well was already drilled, but not by us, but by Mr.  
7 Armstrong.

8           What we're talking about here today is the  
9 opportunity afforded by statute to Gruy to produce without  
10 waste its fair share of the reserves under its acreage.  
11 And Mr. Lee came before you, and he showed how he had  
12 evaluated the tracts in this unit, how he had identified  
13 locations using geological and engineering principles where  
14 the reserves had not been drained and were not being  
15 drained.

16           This was not the approach that Mr. Hartman would  
17 use, but he wouldn't even say it was wrong when asked by  
18 Mr. Kellahin about that. It was the approach that Gruy, as  
19 the operator of these properties, elected to employ to  
20 decide where to invest their money, to take advantage of  
21 their statutory opportunity to produce the reserves under  
22 this tract, under these two tracts.

23           And so they're here seeking authorization from  
24 the Division to simultaneously dedicate wells so that they  
25 can produce the recoverable reserves under their acreage.

1 Mr. Kellahin said that there wasn't thing said about their  
2 correlative rights. Well, he'll need to read the  
3 transcript, because Mr. Lee testified that if the  
4 Application is denied, they will recover less, their  
5 reserves will be left in the ground under their tract, and  
6 they will be denied the opportunity to produce what is  
7 theirs. That's what the record shows.

8 I will say that I was pleased to be quoted by Mr.  
9 Gallegos. That is a first. I was glad to see he finally  
10 found reliable authority. But I would point out that in  
11 the Presidio case there wasn't the testimony that was in  
12 the record here today where Mr. Lee pointed out that unless  
13 he can simultaneously dedicate wells on this tract, he  
14 won't recover what he could recover if they were produced  
15 in sequence or on an alternating basis.

16 Mr. Hartman says the current rules will suffice.  
17 And I'm going to say these next two things without saying  
18 that I think what I'm mentioning is wrong, but Mr. Hartman  
19 doesn't have a standard spacing unit in the pool, and he is  
20 developing in an area where the pool has been effectively  
21 developed, and historically, on 40-acre spacing, but also  
22 is really being developed today with current techniques on  
23 offsetting 40-acre tracts.

24 And I want to tell you that I don't think that's  
25 wrong. I think what you have there, as you have with Gruy

1 trying to develop on offsetting 40s, is an operator who  
2 brings his science to the reservoir, who knows what the  
3 rules are, in Hartman's case, and if necessary in the past  
4 or now, because of historical or reservoir characteristics  
5 or ownership problems, has to get an exception to those  
6 rules.

7           That's what we're doing here today. We're asking  
8 for an exception to rules for two spacing units. Mr.  
9 Hartman employs his technique to develop his acreage; we're  
10 asking for permission to employ our technology to develop  
11 ours.

12           And to then run behind and say, Well, this is  
13 really a pool-rule case, I submit to you that isn't the  
14 situation here at all, and I think it's extremely unlikely  
15 that we could come back and say, Oh, yes, you approved  
16 simultaneous dedication on two spacing units, and you've  
17 started the domino effect, and sorry, Mr. Hartman, we have  
18 to drill all around you now, because you'll remember today,  
19 just as we'll remember today, and Mr. Gallegos will quote  
20 me again.

21           But the fact of the matter is, that's not what  
22 we're talking about; that's raising an issue so they can  
23 knock it down. We're not proposing pool rules, we're  
24 attempting to bring our prorations within rules or get  
25 exceptions to rules where the reservoir doesn't match the

1 general rule.

2 The evidence here today shows that if you deny  
3 these Applications, we will be denied the opportunity to  
4 produce our fair share of the reserves under our tract. No  
5 other operator's correlative rights are going to be  
6 impaired.

7 And I submit to you that when we come in here and  
8 show you that if you deny these Applications we will not be  
9 allowed to produce what is under our acreage, our  
10 correlative rights are impaired, the evidence is  
11 compelling, and to deny the Application would be to cause  
12 correlative-right impairment.

13 And therefore we ask you to grant the Application  
14 of Gruy in each of these cases.

15 EXAMINER STOGNER: Does anybody else have  
16 anything further in Cases 12,015 and/or 12,017?

17 These cases will be taken under advisement.

18 We have a couple more cases to call at this time.

19 MR. CONDON: Mr. Stogner, would you -- Do you  
20 want us to leave the Exhibit 39 here?

21 EXAMINER STOGNER: I would like that, yes.

22 MR. CONDON: Okay.

23 (Thereupon, these proceedings were concluded at  
24 4:05 p.m.)

25 \* \* \*

*Handwritten notes:*  
I do hereby certify that the foregoing is a true and correct copy of the proceedings as reported by the reporter.  
S. 12015 and 12017  
1998  
3 hll


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )  
 ) ss.  
COUNTY OF SANTA FE )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL September 10th, 1998.



STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 14, 1998