

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
 THE OIL CONSERVATION DIVISION FOR THE)
 PURPOSE OF CONSIDERING:)
)
 APPLICATION OF HANAGAN PETROLEUM)
 CORPORATION FOR AMENDMENT OF DIVISION)
 ORDER NO. R-8611 TO AUTHORIZE A 40-ACRE)
 FIVESPOT INJECTION PATTERN IN ITS TWIN)
 LAKES SAN ANDRES UNIT WATERFLOOD PROJECT)
 AREA AND TO QUALIFY THIS PROJECT FOR THE)
 RECOVERED OIL TAX RATE PURSUANT TO THE)
 ENHANCED OIL RECOVERY ACT, CHAVES COUNTY,)
 NEW MEXICO)
)

CASE NO. 12,023

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

RECEIVED

SEP 01 1998

August 6th, 1998

Oil Conservation Division

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, August 6, 1998, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

August 6th, 1998
Examiner Hearing
CASE NO. 12,023

	PAGE
EXHIBITS	3
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>MICHAEL G. HANAGAN</u> (Geologist)	
Direct Examination by Mr. Carr	5
Examination by Examiner Stogner	27
REPORTER'S CERTIFICATE	43

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	7	27
Exhibit 2	8	27
Exhibit 3	8	27
Exhibit 4	10	27
Exhibit 5	12	27
Exhibit 6	14	27
Exhibit 7	16	27
Exhibit 8	23	27

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
 Attorney at Law
 Legal Counsel to the Division
 2040 South Pacheco
 Santa Fe, New Mexico 87505

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
 Suite 1 - 110 N. Guadalupe
 P.O. Box 2208
 Santa Fe, New Mexico 87504-2208
 By: WILLIAM F. CARR

ALSO PRESENT:

MARK W. ASHLEY
 NMOCD Petroleum Geologist
 2040 South Pacheco
 Santa Fe, New Mexico 87505

* * *

1 WHEREUPON, the following proceedings were had at
2 8:55 a.m.:

3

4

5

6 EXAMINER STOGNER: At this time I'll call Case
7 Number 12,023.

8 MR. CARROLL: Application of Hanagan Petroleum
9 Corporation for amendment of Division Order Number R-8611
10 to authorize a 40-acre fivespot injection pattern in its
11 Twin Lakes San Andres Unit waterflood project area and to
12 qualify this project for the recovered oil tax rate
13 pursuant to the Enhanced Oil Recovery Act, Chaves County,
14 New Mexico.

15 EXAMINER STOGNER: Call for appearances.

16 MR. CARR: May it please the Examiner, my name is
17 William F. Carr with the Santa Fe law firm Campbell, Carr,
18 Berge and Sheridan.

19 We represent Hanagan Petroleum Corporation in
20 this matter, and I have one witness.

21 EXAMINER STOGNER: Any other appearances?

22 Will the witness please stand to be sworn?

23 (Thereupon, the witness was sworn.)

24 EXAMINER STOGNER: Mr. Carr?

25 MR. CARR: May it please the Examiner.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MICHAEL G. HANAGAN,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. CARR:

Q. Would you state your name for the record, please?

A. Michael G. Hanagan.

Q. Mr. Hanagan, by whom are you employed?

A. Hanagan Petroleum Corporation.

Q. And what is your position with Hanagan Petroleum Corporation?

A. I'm president and owner of the company.

Q. Have you previously testified before this Division and had your credentials accepted and made a matter of record?

A. Yes, I have.

Q. And were you qualified as a geologist at that time?

A. Yes, I was.

Q. Are you familiar with the Application filed on behalf of Hanagan Petroleum Corporation?

A. Yes, I am.

Q. Are you familiar with the proposed expansion of the Twin Lake San Andres Unit waterflood project?

A. Yes, sir.

1 Q. Have you made a technical study of this unit and
2 this secondary recovery program?

3 A. Yes, I have.

4 Q. Are you prepared to share the results of that
5 study with Examiner Stogner?

6 A. Yes, sir.

7 MR. CARR: May it please the Examiner, are Mr.
8 Hanagan's qualifications acceptable?

9 EXAMINER STOGNER: They are.

10 Q. (By Mr. Carr) Would you briefly summarize what
11 Hanagan Petroleum Corporation seeks with this Application?

12 A. We seek to amend Division Order R-8611, so as to
13 authorize a 40-acre fivespot injection pattern within the
14 Twin Lakes San Andres waterflood project. Order R-8611
15 approved the Twin Lakes San Andres Unit waterflood project
16 and was dated March 11th, 1988.

17 Additionally, we'd seek to qualify this secondary
18 recovery project for the recovered oil tax rate, to the New
19 Mexico Enhanced Oil Recovery Act.

20 Q. When was the Twin Lakes San Andres Unit
21 originally formed?

22 A. It was statutorily unitized in 1987 by Division
23 Order R-8557, which was dated December 2nd, 1987.

24 Q. And when did waterflood operations commence in
25 the unit area?

1 A. First injection of water was in April of 1988.
2 There's been one expansion to the project since then by
3 Division Order WFX-582, which was dated May 24th, 1989.

4 Q. At that time the operator of the unit was Pelto
5 Oil Corporation?

6 A. Yes, sir, Pelto was originally the operator in
7 the waterflood project, and we're the succes- -- Hanagan
8 Petroleum is presently operator and successor to Pelto.

9 Q. Let's refer to what has been marked for
10 identification as Hanagan Petroleum Corporation Exhibit
11 Number 1. Would you identify that and review it for the
12 Examiner?

13 A. Yeah, Exhibit 1 is a map showing the unit,
14 outline of the unit and the surrounding area. The blue
15 line would be the boundary of the unit, and the area in
16 yellow, inside that blue line is the unit area itself.

17 All of the acreage surrounding the unit is all
18 fee acres, fee mineral ownership, and none of it is present
19 land or lease except for those areas shown up in the green
20 and red. There's two offset operators to the north up
21 there. Both of those are HBP by San Andres wells out of
22 the same zone as production.

23 Currently within the unit we have 125 well, of
24 which 59 are injection wells, 66 are producing wells. The
25 injection wells are shown by diamonds with a little arrow

1 through them, with the current producers designated by the
2 double circle.

3 Cumulative injection into the project since
4 March, 1988, has been 25.5 million barrels, and we're
5 currently injecting at around 5000 barrels a day.

6 Cumulative oil projection through June of this
7 year has been just over 4.8 million barrels, with just
8 under 800,000 of that coming since the secondary -- since
9 inception of waterflooding.

10 Q. Let's go to Exhibit Number 2 and review for the
11 Examiner the current injection pattern in this unit.

12 A. Exhibit 2 shows our current injection pattern at
13 Twin Lakes Unit, designated by the lines connecting --
14 squaring up each unit. Presently we're on an 80-acre
15 fivespot injection pattern that's oriented with the
16 injection oriented northeast to southwest.

17 Our studies indicate that this existing pattern
18 is not efficiently sweeping the patterns, since it's
19 incorrectly oriented and doesn't have sufficient well-
20 spacing density.

21 Q. All right, let's now go to Exhibit Number 3, and
22 I'd ask you to review the proposed injection pattern.

23 A. Okay, Exhibit 3 is our proposed injection
24 pattern, which basically converts the existing pattern over
25 into a 40-acre fivespot, oriented north-south through the

1 highest producing parts of the field, past producing parts
2 of the field.

3 The red circles would be new wells that would be
4 required to be drilled, of which I believe there's 42. And
5 the blue squares are presently producing wells that would
6 need to be converted to injectors.

7 This pattern --

8 Q. How many wells are you actually going to be
9 converting?

10 A. Forty wells?

11 Q. And additional drilling?

12 A. Should be 42 new wells drilled.

13 Q. And what impact is this going to have? How are
14 you actually going to be changing the injection in the
15 reservoir?

16 A. Well, the injection patterns will be changed
17 where the fluid injection is oriented north-south, to be
18 parallel with the fluid -- the preferred permeability
19 direction.

20 As the present pattern exists, water injection is
21 being directed directly into producing wells, causing
22 premature watering out of those wells. This would reorient
23 the sweep.

24 Q. What is the current status of the project, and
25 when do you hope to actually commence operations in the

1 project area?

2 A. We're hoping to commence actual drilling
3 conversion operations in September or as soon as we receive
4 authorization from the OCD. We'll begin submitting the
5 C-101s for the new wells next week, and we've just finished
6 the process of bidding out services for the project and it
7 should be ready to go by September.

8 Q. And when do you anticipate initial water
9 injection in the proposed project area?

10 A. Well, we plan to have -- to be doing conversions
11 at the same time we're drilling, so there will be some
12 wells converted in September, and so we'll be ready to
13 commence water injection by late September. It's my
14 understanding that we can't commence the injection until
15 the project's been qualified for the EOR tax credit, so we
16 would not begin injecting into the new wells until that was
17 received.

18 Q. Mr. Hanagan, let's move to Exhibit Number 4, and
19 I'd like you to explain to Mr. Stogner your reasons for
20 expanding the project at this time.

21 A. Okay, Exhibit 4 shows the historical production
22 curve for Twin Lakes field. It's compressed so the slopes
23 are fairly steep. But the production up through the end of
24 June, 1998, is shown in black. On the right side is a
25 forecast of what we expect to gain from this new program.

1 Peak production from the field occurred in
2 November of 1982, I believe it was, at about -- almost 2800
3 barrels a day. There was 4.04 million barrels recovered
4 from a primary production. Decline rate during primary
5 production was around 30 to 35 percent a year.

6 The first injection of water shown in that
7 trough, in 4 of 1988. Peak waterflood production occurred
8 in October of 1991 at 450 barrels a day, and we've
9 recovered about 800,000 barrels under the current
10 waterflood. Decline rates's been more on the order of
11 around 10 percent, versus the 30 to 35 percent under this
12 pattern.

13 The green line that's shown just below the
14 100,000-barrel-a-year mark reflects a production level of
15 around 6000 barrels a month, and that's proven to
16 historically be the economic boundary for this field. And
17 as you can see, it's -- for two or three years, it was
18 crossed under that.

19 We've actually brought the production back up in
20 the field, but it still hovers near that break-even point.
21 And without the proposed program, we believe we'll only
22 recover about another 350,000 to 400,000 barrels. With the
23 proposed program, we forecast that we'll pick up between
24 3.25 and 3.5 million barrels.

25 Q. When we look at this exhibit, your forecast shows

1 a peak oil production of approximately what? 1300?

2 A. 1300 barrels a day.

3 Q. And when should that occur?

4 A. About a year after we commence the project, the
5 conversion and drilling program.

6 Q. And your cumulative recovery from this project is
7 3.3 million barrels?

8 A. Yes, sir.

9 Q. Anything else with Exhibit Number 4?

10 A. No.

11 Q. Let's go to Exhibit Number 5. I'd ask you to
12 identify that first and then review it for the Examiner.

13 A. Exhibit 5 is a type log from the Twin Lakes San
14 Andres Unit Well Number 80. It was previously -- This is
15 the same well that was the type log in the -- under Order
16 Number R-8557 and R-8611, so it's the same type log.

17 It's showing the unitized interval, which is from
18 the stratigraphic equivalent between 2708 and 2798 feet in
19 this well, which basically consists of the P1 and P2
20 intervals of the San Andres.

21 Q. Could you generally describe for Mr. Stogner the
22 characteristics of the San Andres formation in the area?

23 A. Within the field the P1 is by far and away the
24 most productive interval, of the unitized interval. And
25 basically in the lower portions of the P1 are the main

1 producing zones.

2 The P1 consists of permeable dolomite having
3 intercrystalline sucrosic porosity that's -- with
4 permeability reduced by an anhydrite occlusion to varying
5 degrees. It's normally 60 to 65 feet, the P1 is, across
6 the whole unit area, and we have net pays from two to 25
7 feet within that. The P1 is overlain by 500 feet of dense
8 anhydrite and anhydritic dolomites occurs about 600 feet
9 from the top of the San Andres.

10 The P2 zone is separated from the P1 by about 15
11 to 25 feet of anhydrite, and the P2 zone is lithologically
12 very similar to the P1. It usually shows higher porosity
13 on the logs but seems to have experienced a higher degree
14 of anhydrite occlusion, which has reduced the permeability
15 and the productivity of the zone.

16 Q. Was the continuity of the San Andres formation in
17 the unit area established in the original waterflood
18 hearing?

19 A. Yes, detailed geologic and engineering testimony
20 was given at the September 9th, 1987, hearing for Case
21 Number 9211, which was the case for -- which Order R-8611
22 was based on.

23 MR. CARR: May it please the Examiner, we would
24 request administrative notice be taken of the record,
25 including the exhibits that were offered to the Division in

1 Case Number 9211.

2 EXAMINER STOGNER: The record in Case 9211 -- And
3 that was for just the waterflood --

4 MR. CARR: Yes, sir. Yes.

5 EXAMINER STOGNER: -- or was it a cumulative --
6 or was it a double-type of a case in which we also heard
7 the unitization?

8 MR. CARR: That was actually the waterflood
9 project portion of the -- and that's where the technical
10 evidence will be found.

11 EXAMINER STOGNER: Administrative notice will be
12 taken of the record in Case Number 9211.

13 Thank you, Mr. Carr.

14 Q. (By Mr. Carr) Mr. Hanagan, let's now go to
15 Exhibit Number 6. Please identify this for Mr. Stogner.

16 A. Number -- Exhibit Number 6 is actually a blow-up
17 of the area of review for our C-108s for the proposed
18 injection wells. This map is also contained within the
19 C-108 application. The pink circles designate wells
20 which -- that we're going to need to convert in this
21 program. And each of those wells has a half-mile-radius
22 circle around it.

23 As you can see, by far the vast majority of the
24 area of review stays within the unit boundaries, which was
25 already -- you know, has been subject to the -- Case Number

1 9211.

2 The only areas that conflict the areas of review
3 that have any producing wells affecting any offset
4 operators on the very north end on Sections 25 and Sections
5 30. Both of these -- There's actually five wells in there,
6 owned by Willow Pipeline and Sandco, Inc. Notice has been
7 given to both of those operators.

8 Once again, this area that they're -- where these
9 areas of review go outside the unit boundary and affect
10 those wells, those were also included when the Number 2, 4
11 and 6 wells were -- and 1 well, was submitted for approval.
12 So these have already been subject to review.

13 Q. Let's go to Exhibit Number 7. Would you
14 identify --

15 EXAMINER STOGNER: Excuse me, Mr. Carr --

16 MR. CARR: Yes.

17 EXAMINER STOGNER: -- before we leave this map.
18 Okay, the pink ones are for the new converts, right?

19 THE WITNESS: Yes, sir.

20 EXAMINER STOGNER: And what are the yellow ones?

21 THE WITNESS: The yellow ones are wells within
22 the area of review of each of these circles. Those are the
23 only wells that have either been drilled or have had
24 borehole conditions that have changed since the September
25 9th, 1987, hearing. So -- And that comes within the C-107.

1 Those -- There are schematics submitted for them.

2 EXAMINER STOGNER: Sorry, Mr. Carr.

3 Q. (By Mr. Carr) Let's go now to Exhibit Number 7,
4 which is a copy of Form C-108. This has previously been
5 filed with the Division, originally filed seeking
6 administrative approval; is that right?

7 A. Yes, sir.

8 Q. And you met the notice requirements through the
9 administrative application, but since you were amending or
10 seeking amendment of an R order, the matter came for
11 hearing; is that correct?

12 A. Yes, sir.

13 Q. Would you identify for Mr. Stogner where the well
14 data sheets are located in this exhibit? Explain what
15 wells are covered.

16 A. This is our C-108 for 38 -- or 34, the conversion
17 of 34 wells, approximately.

18 Well data sheets for each of the proposed
19 conversions start about the fifth page and consist of a
20 well data sheet and a well schematic for each of the
21 proposed conversion wells, with all of the information
22 required under item 3, I believe it is, of the C-108-III a
23 and b sections.

24 Our casing program, cement, cement tops, we're
25 going to be using an internally plastic-coated 2 3/8

1 tubing, plastic-coated packers set within 50 -- about 50
2 foot above the zone.

3 Q. Does Exhibit Number 7, the C-108, include well
4 data sheets on all wells within the area of review for each
5 of the injection wells which penetrate the injection zone,
6 containing all information required by the Division?

7 A. No, this C-108 just includes well data sheets and
8 wellbore schematics for each of the proposed injection
9 wells to be converted. And then at the very back of it,
10 the last six, eight pages or so are -- There's actually a
11 table that shows those wells that were marked in yellow on
12 Exhibit Number 6, the wells that have either been drilled
13 or had changed wellbore conditions since the September 9th,
14 1987, hearing.

15 Those were the only sheets within the area of
16 review that are attached, as all the other sheets were
17 already submitted and accepted in the September 9th
18 hearing.

19 Q. And you have submitted only these additional
20 wellbore schematics based on the -- your conversations with
21 Ben Stone of the Oil Conservation Division and his
22 instruction that there was data on file with the Division
23 on those other wells; is that right?

24 A. Yeah, he informed me that what had been
25 previously submitted didn't need to be submitted again, and

1 just to submit it on the injections, on the conversions,
2 and any changes that have occurred since that time.

3 Q. Now, with the data that was previously submitted
4 in Case Number 9211, and with the information contained in
5 Exhibit 7, your C-108, has the data required by that Form
6 C-108 been submitted to the Division for all wells that
7 penetrate the injection interval which are located within
8 any of the areas of review for any injection well in the
9 project area?

10 A. Yes.

11 Q. Have you reviewed the data available on the wells
12 within the areas of review for each of the proposed
13 injection wells and satisfied yourself that there's no
14 remedial work required on any of these wells to make them
15 safe to operate in close proximity to this waterflood?

16 A. Yes, I have. The only possible exception is in
17 the northeast quarter of Section 25, the two Sandco wells,
18 which, if you'll refer to Exhibit Number 6, is the Number 2
19 and 6 wells, located just out of the unit boundary.

20 Those two wells haven't produced since 1986.
21 They were originally included within the September 9th
22 hearing. In fact, the Number 2 was approved to be
23 converted to an injection well if the previous operator
24 could come to an agreement with Sandco, which apparently
25 was never reached.

1 Anyway, in October-November of 1997, the OCD
2 mailed out by certified mail a show-cause why these wells
3 haven't been plugged, to Sandco. The letter was returned
4 as undeliverable, and there's been no other subsequent
5 action within the files, at least at the Artesia OCD
6 Office.

7 We physically have -- My operations managers
8 physically inspected those wellsites. There is production
9 equipment on -- still on location, in an apparently
10 workable condition. The tanks don't have holes in them,
11 the pumpjacks are there, attached to rods.

12 The back side -- The annulus between tubing and
13 casing was open, and there's no detectable blow or flow
14 coming from them. So, you know, apparently there is no
15 flow coming out of the wells, and they appear to be in
16 workable order.

17 Q. These wells existed prior to the original
18 waterflood approval?

19 A. Uh-huh.

20 Q. And they were addressed in the prior hearing?

21 A. Yes, sir.

22 Q. And as far as you can ascertain from the record,
23 there's been no change in the mechanical status of those
24 wells that would at this time change or modify the prior
25 approval that they can and -- they do not, in fact, pose a

1 problem being operated in proximity to the waterflood; is
2 that correct?

3 A. That's correct.

4 Q. What is the source of the water that you propose
5 to inject into this expanded waterflood project?

6 A. We'll be utilizing the same water sources which
7 are currently in use at Twin Lakes, which is a combination,
8 and have been approved by the Order R-8611. This source
9 water is a mixture of Ogallala water from water rights that
10 we have that have been appropriated to the project, and
11 produced -- filtered produced water.

12 Q. And has analysis and information concerning the
13 compatibility of the injection water previously been
14 submitted to the Division?

15 A. Yes, it was submitted at the September 9th
16 hearing, and we currently have no compatibility problems.

17 Q. And again, that's in the record of Case 9211?

18 A. Yes, sir.

19 Q. What volumes are you proposing to inject?

20 A. We'll be increasing injection from around 5000
21 barrels a day to 10,000 and possibly even up to 15,000
22 barrels a day.

23 Q. What will be the maximum daily injection rate?

24 A. Maximum injection rate would be 750 barrels a
25 day. We anticipate most of it being under 500.

1 Q. Do you anticipate the injection rates for the
2 unit to exceed that 15,000-barrel number you provided for
3 any significant period of time?

4 A. No, not really. At the most, we would -- Our
5 water rights appropriation are for 23,000 barrels a day,
6 and at the most we can't foresee ever using more than
7 21,000 for a short period of time.

8 Q. Will your system be a closed system?

9 A. Yes, sir, a closed system.

10 Q. And are you going to be injecting by gravity or
11 under pressure?

12 A. It will be under pressure, not to exceed the 0.2
13 pounds per foot from the surface to the top perforation.

14 Q. And was any injection pressure approved in the
15 original waterflood order?

16 A. Yes, sir, the .02 pounds per foot was approved.

17 Q. Was information provided in that previous hearing
18 concerning freshwater zones in the area?

19 A. Yes, sir, that information was submitted and
20 accepted at the September 9th hearing for 9211.

21 Q. Is that information still valid today?

22 A. As far as we can determine. We've done a search,
23 July 2nd, did a search of the State Engineer's records.

24 The only change within that area has been that
25 the -- a large area has been included into the expansion of

1 the Roswell water basin. It was about half -- half of
2 Chaves County was expanded into it. And the records
3 actually show no water wells within two miles of the unit.

4 Physical search of the area shows there is one
5 water well just on the northwest edge of the unit. That
6 water well was drilled in the late 1970s. It's currently
7 inactive. It was drilled in the late 1970s by the original
8 operator out there, Stevens Oil, for a drilling water
9 source. It hasn't been used since the early 1980s, and the
10 rancher hasn't -- When I talked to the rancher, he said it
11 was too salty for his cattle, so that's why he never has
12 used it since.

13 There's got to be limited freshwater sources out
14 there, because the ranch takes water from our pipeline of
15 the Ogallala water at times, so there's very few water
16 sources out there.

17 Q. And this well is inactive?

18 A. Yes, sir.

19 Q. Were you unable to get a sample from it because
20 of its inactive status?

21 A. Yes, sir, there was -- It has an electric pump in
22 it that doesn't work.

23 Q. Will the expansion of this project, in your
24 opinion, pose a threat to any underground source of
25 drinking water?

1 A. No, it will not.

2 Q. Have you examined the available geologic and
3 engineering data on the area, and have you found as a
4 result of that examination any evidence of open faults or
5 hydraulic connections between the injection zone and any
6 underground source of drinking water?

7 A. No, sir, I find no indication of any connection.

8 Q. Would you identify what has been marked as
9 Hanagan Exhibit Number 8?

10 A. Exhibit Number 8 is our Application for enhanced
11 oil recovery project qualification for the recovered oil
12 tax rate at the Twin Lakes San Andres Unit. The
13 Application provides the information necessary to meet the
14 requirements of items D 1-4 of Division Order R-9708, which
15 was dated August 27th, 1992.

16 This proposed expansion should qualify for the
17 recovered oil tax rate, since the proposed project involves
18 the expansion of an existing EOR project, as defined by
19 that order.

20 Q. What are the estimated capital costs to be
21 incurred in this project expansion?

22 A. Total cost for a project expansion should be
23 around \$7.7 million.

24 Q. And those costs are related to what?

25 A. That reflects drilling 42 new wells and

1 converting 40 wells, and a small amount of capital for
2 facility expansion.

3 Q. How much additional production do you hope to
4 obtain from this expansion?

5 A. We should gain -- recover an additional 3.3
6 million barrels of oil, with very little to no additional
7 gas.

8 Q. And what is the estimated value of this
9 additional production?

10 A. At \$15 a barrel, the gross value would be \$49.5
11 million.

12 Q. Do Exhibits C and D to this Application, marked
13 our hearing Exhibit 8, set out production history and the
14 production forecasts for oil, gas and water from the
15 project area, as are required for an application of this
16 nature?

17 A. Yes, they do.

18 Q. Can you identify and review Hanagan Petroleum
19 Corporation -- Well, Exhibit Number 9 would be our notice
20 affidavit --

21 A. Yes, sir.

22 Q. -- is that not correct?

23 MR. CARR: Mr. Stogner, we provided notice to the
24 three affected parties with the administrative application,
25 and we provided notice in the paper as required.

1 We also have provided notice to those
2 individuals, but the notice letter that we sent did not
3 advise them of hearing date. We had talked with them -- We
4 only have one, in fact, that we can even get to accept the
5 mail. But to be certain that we don't have a notice
6 problem, we renotified everyone several weeks ago, but we
7 had not made the 20-day deadline.

8 And for that reason we're going to have to
9 request that the Application, at the end of the hearing, be
10 continued for two weeks, at which time I can provide the
11 notice affidavit, and we'll be certain that our third
12 letter to them notifying them of this Application and
13 sending the Application is in full compliance with OCD
14 requirements. All right? Sorry that --

15 EXAMINER STOGNER: Thank you, Mr. Carr.

16 Q. (By Mr. Carr) To whom did we provide notice, Mr.
17 Hanagan?

18 A. We provided notice to all the offset operators
19 within a half mile of the unit, which was just two, Willow
20 Pipeline Company and Sandco Oil and Gas. And we also
21 provided notice to the surface owner of the land, which is
22 David Gabel of Hereford, Texas.

23 The notice from Sandco was returned as
24 undeliverable, and the notice to David Gabel was unclaimed
25 on three attempts.

1 Q. And Willow is the operator of the wells that are
2 the subject of a possible show-cause hearing; is that
3 right?

4 A. Sandco is.

5 Q. All right.

6 A. Willow is -- actually operates two or three wells
7 within the area of review that's -- that they're still
8 there.

9 Q. As you go about the actual physical expansion of
10 this project, is it possible that you will need authority
11 to add an occasional additional injection well as you go
12 forward?

13 A. Yeah, it's possible that we could need that up to
14 five or six more wells than we've applied for on the --
15 under our Application.

16 Q. And would those be in any one particular area, or
17 potentially throughout the project area?

18 A. No, they're pretty much throughout the project,
19 just kind of on the edges.

20 Q. If you get to that circumstance where you need to
21 add an additional well in the project area, do you request
22 that you be permitted to do that administratively, without
23 returning for an additional hearing?

24 A. Yes, we do.

25 Q. In your opinion, will approval of this

1 Application and the expansion of this waterflood project in
2 the Twin Lakes San Andres unit be in the best interest of
3 conservation, the prevention of waste, and the protection
4 of correlative rights?

5 A. Yes, sir, it should.

6 Q. Were Hanagan Petroleum Corporation Exhibits 1
7 through 8 prepared by you or compiled under your direction
8 and supervision?

9 A. Yes, they were.

10 MR. CARR: At this time, Mr. Examiner, we would
11 move the admission into evidence of Hanagan Petroleum
12 Corporation Exhibits 1 through 8.

13 EXAMINER STOGNER: Exhibit Number 1 will be
14 admitted into evidence.

15 MR. CARR: Through 8.

16 EXAMINER STOGNER: 1 through 8.

17 MR. CARR: Yes, sir, thank you.

18 EXAMINATION

19 BY EXAMINER STOGNER:

20 Q. Let's refer back to the Exhibits 2 and 3 at this
21 time --

22 A. Okay.

23 Q. -- and also the -- your large map, showing the
24 area of review.

25 A. Okay.

1 Q. I want to cover that injection well up in Section
2 5. That's outside of the unit area, and on your present
3 injection pattern you include that, but you don't in your
4 new one. Is that still an injection well, or what's the
5 status or what's the story on that one?

6 A. That well was included in the expansion of the
7 project, the only expansion WFX-582, and it was included in
8 the expansion at that time. It's presently an injection
9 well which we're not injecting actively.

10 It's not included in the future pattern. We
11 don't actually expect to inject into it, as it would inject
12 straight back down into the producer that would be put in
13 that pattern.

14 Q. When did it quit injecting, or when did injection
15 cease?

16 A. Well, we still actually put injection into it at
17 times to maintain its active status, but it's -- It doesn't
18 have any noticeable effect on the unit, but it maintains an
19 active status, just -- we just do that just to keep it in
20 the active status.

21 Q. Now, when was that WFX-587 authorized?

22 A. 1989, I believe. Dated May 24th, 1989.

23 Q. Now, obviously whenever that was authorized, all
24 those wells up to the north end were within the area of
25 your review.

1 A. Yes, sir.

2 Q. And were those wells producing? And I believe --
3 Who did you say that belonged to? Sand who?

4 A. Sandco only actually owns two of the wells, and
5 the other five wells shown within that area of review are
6 Willow Pipeline. At the time it was Harlow Corporation.

7 What that order -- the subsequent order, the
8 WFX-582 order actually did was, under the original
9 application there was several wells, four or five wells --
10 I can't remember the exact number -- that required that the
11 order -- What is it? 8611 required either surrounding
12 wellbores to be -- something be done to bring them into
13 compliance. There was different things on about five or
14 six wells that needed to be done before those wells could
15 be converted.

16 And then they added two more wells within that,
17 so that's why it came under a new -- it was an
18 administrative order. But the one in Section -- The Number
19 2 well up there in Section 5 was one of those. So it --
20 That order was actually a cleanup to bring the project to
21 full -- to their full scale.

22 Q. So what was done to that Number 5 well? And
23 which Number 5 well? The one in Section --

24 A. The Number 2 in Section 5, I'm sorry.

25 Q. Oh, the Number 2 in Section 5, okay. What --

1 A. That injection well. As I -- You know, that was
2 long before I was operator. As I understand it, that well
3 was owned by Harlow. Harlow never -- who is now Willow
4 Pipeline, did not enter into the unit, and that well was --
5 a deal was worked out with Harlow to finally include that
6 well into the -- even though it's not within the unit
7 boundaries.

8 Q. Okay, now which Well Number 5 are you talking
9 about? I'm getting a little confused.

10 A. I guess I'm confusing you. I keep saying 5,
11 apparently. It's -- I'm referring to our Twin Lakes San
12 Andres Unit Well Number 2.

13 Q. And that's the one in the south half of the
14 northwest quarter of 30?

15 A. Yes, sir.

16 Q. Okay, now that was an injection well?

17 A. Oh, yeah, and I keep saying Section 5. That's
18 where I'm getting to.

19 Q. Okay. So that well required some sort of work to
20 be done to it during the --

21 A. Yeah, it was producing well that was previously
22 operated by Harlow Corporation that under that WFX order
23 was -- approved it to be converted to an injection well
24 with that -- and that work has been performed, and it is
25 currently an injection well.

1 Q. Okay. Was there any other wells that needed
2 repair work done prior to the injection approval on that
3 Number 2 well?

4 A. Yes, sir, I think within that order -- That was
5 predominantly what that WFX order addressed, the WFX-582 or
6 whatever, addressed, was wells that did have to have
7 certain things done before they could be converted to
8 injection wells.

9 Q. And do you remember which wells those were?

10 A. No, sir, I really don't. A lot of work was done,
11 and all of it was accepted and approved.

12 Q. And that will be on the record of that WFX order?

13 A. Yes, sir.

14 Q. And those wells would be mentioned in that
15 original Order R-8611?

16 A. Yes, sir. There's some reference back to them,
17 and I'm not sure if that's all of them, but the WFX order
18 goes into the specifics of what needed to be done and what
19 was done.

20 Q. Now, you had mentioned that a couple of these
21 wells were the subject of a force-plugging case or a force-
22 plugging move?

23 A. Yes, it was a letter from OCD Artesia, to show
24 cause why they haven't been plugged. Those wells would be
25 in Section 29.

1 Q. And they're marked Number 2 and 6?

2 A. Number 2 and 6, and those are the Sandco wells.
3 On Exhibit 1, that would be the area in the green up at the
4 top.

5 MR. CARROLL: What was the date of that letter,
6 do you know?

7 THE WITNESS: November -- It was November of
8 1997. I have it written down, the actual date.

9 MR. CARROLL: Okay, it was late last year?

10 THE WITNESS: Yes, sir,

11 MR. CARROLL: And the operator was Sandco?

12 THE WITNESS: November 18th, 1997. Sandco Oil
13 and Gas, Inc. They have an address -- The last address
14 shown is in Mesilla Park. Both our notice was returned as
15 undeliverable and the OCD's notice was returned as
16 undeliverable.

17 EXAMINER STOGNER: Mr. Carr, so there won't be
18 any confusion, I've been debating here with myself
19 silently. For the record, I would like to have some
20 information in this particular case file on those wells
21 within the half-mile area of review. We're only talking a
22 few, and it would bring the record complete for additional
23 review. That way we wouldn't be jumping back and forth.

24 If you would, Mr. Hanagan, provide for those
25 wells that were reworked a small, comprehensive, detailed

1 information about what was done and a schematic on each of
2 those wells, so let's make sure that the record is clear
3 that those wells have been reviewed thoroughly and that
4 there won't be any chance.

5 I think it's a measure of preventive maintenance,
6 you may say. And we're only talking a few wells, so -- And
7 since we're going to have to continue this matter anyway,
8 to September 3rd, I think we've got adequate time.

9 MR. CARR: We really would like to, if we could,
10 Mr. Stogner, provide these in two weeks, instead of waiting
11 until September the 3rd, because we think we can wrap this
12 up in that kind of a time frame, if that would meet with
13 your --

14 EXAMINER STOGNER: Oh, of course, the earlier the
15 better. But I'd just like to have something in this record
16 on those wells.

17 THE WITNESS: Those are the wells that were in
18 WFX-582 --

19 EXAMINER STOGNER: Well, if you look at your
20 map --

21 THE WITNESS: -- and the wells to the north up
22 there?

23 EXAMINER STOGNER: You look at your map --

24 THE WITNESS: Yes, sir.

25 EXAMINER STOGNER: -- that's Exhibit Number 6,

1 and any of those wells that are within that half-mile area
2 of review -- and it appears 1, 2, 6, 5 and 2 --

3 THE WITNESS: Okay, those ones outside the unit
4 within the area.

5 EXAMINER STOGNER: Exactly.

6 THE WITNESS: Okay.

7 EXAMINER STOGNER: Then you have one well in the
8 northwest quarter of Section 30 that's unidentified, but
9 that will be on your area of review, so that will be taken
10 care of.

11 THE WITNESS: Yeah, that's another San Andres
12 well.

13 Q. (By Examiner Stogner) Okay. Now, while we're on
14 this Exhibit Number 6, within this unit or within this area
15 of review internally -- I say internally, within the
16 unit -- are there any deep gas wells or wells that are
17 producing or went beyond the Bone Springs formation?

18 A. Within the unit boundary, I believe the 54 is the
19 only well --

20 Q. I'm sorry, the San Andres formation.

21 A. Yeah, over on the west side of the exhibit you
22 can see there's some larger symbols that show -- the
23 triangle with the -- I mean, a diamond with the larger
24 black dot south -- on the west half of Section 1, there's
25 the 9C. This is on Exhibit 6.

1 The 9C and the 54 are the only ones that were --

2 went into the Devonian. All of those wells on that side
3 went to the Devonian; there was Devonian production.

4 One of them did make a little bit of gas out of
5 the Penn, that 4C well that's just outside the unit.

6 All of those have been properly plugged. I
7 believe the 54 there is one of the -- I know one of those
8 wells on that side is one of the wells that they had to
9 come back in under WFX-582, because it was previously -- it
10 had been converted to a Devonian disposal well, and they
11 had it -- they had some requirements for it to be fixed.
12 But those were the only deeper wells.

13 There were actually no gas wells within the unit,
14 deeper gas wells within the unit.

15 Q. So all the other well markings on here are San
16 Andres or shallower?

17 A. Yes, sir.

18 Q. You had mentioned in changing the pattern as
19 you're proposing, I believe you used something to the term
20 of the reorientation of the sweep?

21 A. Yes, sir.

22 Q. Could you go into a little more detail about the
23 geology of that? What's -- how -- Is the sweep actually
24 going to change to conform with the fracture or the
25 actual -- not the fractures but say the least path of

1 resistance and the formation?

2 A. Yes, sir. I mean, what seems to be going on --
3 We've done quite a bit of study over the last year and a
4 half of this field. The fluid-flow direction, as we
5 determined by production, injection information, production
6 information, some attempts at actual dye injections --
7 everything suggests that the primary fluid -- preferred
8 direction of fluid flow, the preferred permeability
9 orientation, is actually from south to north, but -- is a
10 north-south direction.

11 This flood was originally patterned using West
12 Texas analogies, all of which show a preferential
13 fracturing or fluid-flow direction of northeast-southwest.
14 And so we're just immediately out of -- directly out of
15 phase with our fluid-flow direction, which is resulting in
16 our present injectors just pushing fluid straight into
17 those producers.

18 And now, you know, this would hopefully bank oil
19 into -- It will orient north-south, and so the in-between
20 deals should -- wells where we put the new wells will be
21 experiencing the push from the side, pushing oil inward
22 into them, versus just water pushing straight.

23 Q. Are you proposing any new type of completion
24 whenever you convert these wells to water injection? Are
25 you going to use the same perms? Are you going to do any

1 stimulation of any kind, or preparation?

2 A. There will be some stimulations needed. We'll go
3 in, convert them and see how they respond. But you know,
4 I'm almost certain that we'll have to do some stimulations.

5 We're considering and we're ready to start some
6 pilot tests on using some microbio -- bugs to go in and
7 enhance sweep by eating up the scale down in those. And it
8 may actually reduce our acidizing cost too. But we do
9 anticipate on a case-by-case basis.

10 Q. Now, are those costs for the stimulation, are
11 they included in your last exhibit or next to the last
12 exhibit?

13 A. Yes, sir.

14 Q. Let's see, what was that price? Capital cost of
15 \$7.7 million?

16 A. Yes, sir.

17 Q. Are you going to use the same perfs,
18 perforations?

19 A. Yes, sir, in some cases we may need to go back
20 and re-perf, but we're going to go into the same intervals.
21 We're not going to go in and squeeze them.

22 Q. You'll just include new ones, as opposed to --

23 A. Yeah.

24 Q. -- just squeezing any --

25 A. Yes, sir. The biggest benefit of the whole

1 project is, the reorientation should help a fair amount, or
2 hopefully significantly, but just the infill drillings, the
3 project could be warranted just on infill drilling alone.

4 Q. Okay, let's talk about the supply, the water
5 supply. You say -- and you kept referring that you have
6 water rights in the Ogallala for this project. Are those
7 water wells out here, or are they somewhere else and it's
8 piped in? Where's the water --

9 A. They're 27 miles northeast, on the top of the
10 Caprock. I believe it's 1032, is where the water wells
11 are. Right around the -- It's actually the old water
12 rights that -- I don't know if you remember the Texaco
13 contamination case at Bagley or Moore. It was some of
14 those contaminated waters out of the Ogallala, is where
15 these waters come from.

16 Q. So is this Ogallala water fresh, or are they some
17 of the old -- some of the past, quote, contaminations that
18 you're referring to?

19 A. It's both.

20 Q. When you refer to this contaminated Ogallala
21 water, what kind of contamination are we talking about?
22 Hydrocarbons, salts?

23 A. Apparently it was more salt. It caused a
24 chloride plume in the Ogallala over in that area.

25 Q. Okay. Now, do you have a water analysis of

1 either the fresh or the contaminated waters?

2 A. Yes, sir, we have several. In fact, they're
3 submitted to the State Engineer's Office on a quarterly
4 basis.

5 Q. And when you say the water rights, that's who you
6 have them from, is the State Engineer's Office?

7 A. Yes, sir.

8 Q. Now, is this water that's just being utilized for
9 this project, or are you transmitting it out to other
10 projects?

11 A. It was actually approved and allocated for
12 secondary oil recovery projects. This is the only one
13 which is presently being utilized, where it's being
14 utilized. I think the total allocation is somewhere around
15 23,000 -- 22,900 barrels a day, I believe it is.

16 Q. Was this allocation done prior to Order R-8611,
17 or in conjunction with it, or after?

18 A. I believe it was done prior to -- I know all of
19 it was settled by the time 8611 -- it might even have been
20 what drug out -- That case lasted for a couple of years.

21 Q. Now, you talk about certain percentage of some
22 additional water. Would this be in reinjection water
23 within the area --

24 A. Yes, sir, that --

25 Q. -- or that unit?

1 A. -- that's -- It would be produced water that
2 comes back out. We're currently doing that. Like of our
3 25 million barrels that we've injected, a big number of
4 that is actually -- probably in excess of half of that is
5 actually just reinjection. So we get a little bit through
6 a filter system and reinject.

7 Q. And as far as the conversion of these existing
8 wells, just reviewing shortly your -- the wellbore
9 schematic, that's going to be 2-3/8-inch plastic-lined?

10 A. Yes, sir.

11 EXAMINER STOGNER: Let's see, Mr. Carr, you were
12 going to supply with me some additional notification; is
13 that correct?

14 MR. CARR: Yes, sir. And the wellbore sketches
15 and supporting information on those wells north of the
16 unit.

17 MR. ASHLEY: I've got a question for you.

18 In Section 1 of 9-28 --

19 THE WITNESS: Yes, sir.

20 MR. ASHLEY: -- I noticed on the original
21 injection pattern that's included as far as the injection.
22 It seems to be left out of the current modified injection
23 pattern.

24 THE WITNESS: Yeah, most of that area over there
25 is -- geologically, it's at the peak of the structure.

1 It's a closed structural high at that point that seems to
2 have been a -- the permeability is greatly reduced in it.
3 In fact, it's seen no response to waterflood. It still had
4 a fairly significant recovery from the primary drilling.
5 About a quarter of the production came out of that western
6 edge area over there, but it's not due to waterflooding.

7 And at some time we may try a horizontal well
8 going through there, but so far there's been none of those
9 wells -- producing wells over there, see any response to
10 injection. All of it's still primary chloride fluids. And
11 so we don't plan to expand the waterflood into that
12 portion.

13 MR. ASHLEY: So will the injectors over there be
14 taken off line?

15 THE WITNESS: We'll still keep them go- -- They
16 don't take much water as it is. I mean, you know, we still
17 make -- I guess there's no real reason to have them going,
18 so we could take them off, but it's -- Someday, maybe
19 something's banking up somewhere in there.

20 EXAMINER STOGNER: Any other questions of Mr.
21 Hanagan?

22 MR. CARR: That concludes our presentation in
23 this case, and we will be prepared to submit the additional
24 data and the notice affidavit on August the 20th, so we
25 would request the case be continued to that date.

1 EXAMINER STOGNER: This case will be continued to
2 not the September 3rd but the August 20th docket for any
3 additional information. And in the meantime, if you can
4 get the additional information prior to that --

5 MR. CARR: Yes, sir, we will.

6 EXAMINER STOGNER: -- that will be fine.

7 If there's nothing further in this matter -- I'll
8 tell you what, we're going to call about a 10- to 15-minute
9 recess at this time.

10 (Thereupon, these proceedings were concluded at
11 9:48 a.m.)

12 * * *

13
14
15
16
17 I do hereby certify that the foregoing is
18 a complete record of the proceedings in
19 the Examiner hearing of Case No. 12023,
20 heard by me on 10 August 1998.
21 Steven T. Brenner, Examiner
22 Oil Conservation Division
23
24
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL August 26th, 1998.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 1998