

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
 THE OIL CONSERVATION DIVISION FOR THE)
 PURPOSE OF CONSIDERING:)
)
 APPLICATION OF BONNEVILLE FUELS)
 CORPORATION FOR POOL CONTRACTION,)
 POOL CREATION AND SPECIAL POOL RULES,)
 SAN JUAN COUNTY, NEW MEXICO)
)

CASE NO. 12,027

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

RECEIVED

BEFORE: DAVID R. CATANACH, Hearing Examiner

SEP 18 1998

August 20th, 1998

Oil Conservation Division

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, August 20th, 1998, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

August 20th, 1998
 Examiner Hearing
 CASE NO. 12,027

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>PHILIP G. WOOD</u> (Landman)	
Direct Examination by Mr. Owen	5
Examination by Examiner Catanach	13
Further Examination by Mr. Owen	17
<u>BOB KOZAREK</u> (Geologist)	
Direct Examination by Mr. Owen	18
Examination by Examiner Catanach	29
Further Examination by Mr. Owen	33
<u>ALLEN MERRILL</u> (Engineer)	
Direct Examination by Mr. Owen	34
Examination by Examiner Catanach	44
REPORTER'S CERTIFICATE	51

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	8	13
Exhibit 2	9	13
Exhibit 3	11	13
Exhibit 4	12	13
Exhibit 5	19	29
Exhibit 6	21	29
Exhibit 7	22	29
Exhibit 8	24	29
Exhibit 9	35	44
Exhibit 10	38	44
Exhibit 11	40	44
Exhibit 12	41	44

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: PAUL R. OWEN

ALSO PRESENT:

MARK W. ASHLEY
NMOCDC Petroleum Geologist
2040 South Pacheco
Santa Fe, New Mexico 87505

* * *

1 WHEREUPON, the following proceedings were had at
2 9:17 a.m.:

3 EXAMINER CATANACH: All right, at this time we'll
4 call Case 12,027.

5 MR. CARROLL: Application of Bonneville Fuels
6 Corporation for pool contraction, pool creation and special
7 pool rules, San Juan County, New Mexico.

8 EXAMINER CATANACH: Call for appearances in this
9 case.

10 MR. CARR: Paul Owen of the Santa Fe law firm of
11 Campbell, Carr, Berge and Sheridan, for the Applicant,
12 Bonneville Fuels Corporation. I have three witnesses in
13 this case, Mr. Examiner.

14 EXAMINER CATANACH: Call for additional
15 appearances.

16 Will the three witnesses please stand to be sworn
17 in?

18 (Thereupon, the witnesses were sworn.)

19 MR. OWEN: I call Mr. Philip Wood.

20 PHILIP G. WOOD,

21 the witness herein, after having been first duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. OWEN:

25 Q. Mr. Wood, please tell us your full name for the

1 record.

2 A. My name is Philip Garrison Wood.

3 Q. Where do you live?

4 A. I live in Littleton, Colorado.

5 Q. And what do you do there? Who do you work for?

6 A. I'm employed by -- as land manager for Bonneville
7 Fuels Corporation.

8 Q. And how long have you worked for Bonneville?

9 A. I've worked for Bonneville fuels for four months.

10 Q. How long have you been a landman?

11 A. I've been a landman for 18 years.

12 Q. Have you previously testified before the OCD and
13 had your credentials as a landman made a matter of record?

14 A. I have.

15 Q. Are you familiar with the Application filed in
16 this case by Bonneville Fuels Corporation?

17 A. I am.

18 Q. Are you familiar with the status of the lands in
19 the subject area?

20 A. I am.

21 MR. OWEN: Mr. Examiner, are the witness's
22 qualifications acceptable?

23 EXAMINER CATANACH: They are.

24 Q. (By Mr. Owen) Mr. Wood, why don't you tell us
25 what Bonneville seeks with this Application?

1 A. Bonneville's Application is really twofold. One
2 is to contract the existing Kutz-Gallup Pool by removing
3 lands in Section 11, 14 and 13, combining those lands with
4 other current land-pooled lands to form a new pool which we
5 are suggesting be called the Kutz-Gallup South Pool, and to
6 provide special pool orders for that new pool.

7 Q. What portions of Sections 11, 14 and 13 are you
8 seeking to delete from the existing Kutz-Gallup Pool?

9 A. We're recommending that we delete the southwest
10 quarter of Section 11, the northwest quarter and the
11 southwest northeast of Section 14, and the west half
12 southwest quarter of Section 13.

13 Q. Okay. And in turn, what acreage are you seeking
14 to include in the new Kutz-Gallup South Pool?

15 A. We're recommending that the new pool consist of
16 lands covering the south half of Section 11, south half of
17 Section 13, all of Section 14, and the northeast quarter of
18 Section 15.

19 Q. Are you also seeking special pool rules for the
20 new pool?

21 A. We are. Pool rules that we're suggesting and
22 recommending would be 80-acre spacing, with 330-foot
23 setbacks from the outer boundary of the spacing unit.

24 Q. What are the rules that govern the development of
25 the existing Kutz-Gallup Pool?

1 A. The existing Kutz-Gallup Pool was established in
2 1960. It was established around statewide rules, 40-acre
3 spacing, 80 barrels a day allowable, 330-foot setbacks from
4 the outer boundary of the spacing unit.

5 Q. Are there any special pool rules that you're
6 aware of for the Kutz-Gallup Pool?

7 A. Not that I'm aware of, no.

8 MR. OWEN: Mr. Examiner, the order establishing
9 the Kutz-Gallup Pool is Order Number R-1825, dated November
10 1st, 1960.

11 Q. (By Mr. Owen) Has there been Gallup production
12 from this pool since the inception of the Kutz-Gallup Pool?

13 A. To be honest, I'm not sure when production was
14 first established.

15 Q. Is it fair to say that we're moving to the later
16 life of the formation?

17 A. It's -- In Bonneville's opinion, we certainly
18 are; that is correct.

19 Q. Okay. Why don't we take a look at Exhibit Number
20 1, the map of the current pool. Why don't you review this
21 exhibit for us?

22 A. Okay, Exhibit 1 is -- Identified in red is the
23 boundary of the existing Kutz-Gallup Pool, and the wells
24 shown on the map are the deeper penetrations, certainly not
25 all the penetrations in the area. It wouldn't include the

1 Fruitland Coal or the Pictured Cliffs.

2 Q. Now, I notice two wells in Section 14 there.
3 What are the two wells that are indicated in Section 14?

4 A. The wells in Section 14 are the Fullerton Federal
5 11, which is one of Bonneville's producing wells, as well
6 as, I believe, the Fullerton Federal 8 --

7 Q. Okay --

8 A. -- which has been plugged and abandoned.

9 Q. The Fullerton Federal 8 is the one without a well
10 name below it; is that right?

11 A. Correct, that is correct.

12 Q. And that one has been plugged and abandoned?

13 A. I believe so, yes, sir.

14 Q. What about the well in Section 13 there?

15 A. That's the Fullerton Federal 9, which is also
16 operated and owned by Bonneville Fuels.

17 Q. Now, the Fullerton Federal 11 and the Fullerton
18 Federal 9, are those the two wells that you're using as a
19 basis for this Application?

20 A. They are.

21 Q. Okay. Let's go ahead and move to Bonneville
22 Exhibit Number 2. Why don't you review that exhibit for
23 the Examiner, please?

24 A. Bonneville Exhibit Number 2 shows -- is
25 representative of two things: One, the red line is to show

1 our proposed new pool boundary, as well as to show working
2 interest ownership in the Gallup formation, in the
3 immediate vicinity of the new pool.

4 Q. Now, Section 11, I notice on this map, is
5 entirely contained in yellow, but the red line cuts across
6 the --

7 A. Right --

8 Q. -- half line there.

9 A. -- we did have some additional lease information,
10 based upon some leases that we have interest in. We went
11 ahead and put that on, just to give the Commission an idea
12 who some of the owners are in the immediate area.

13 Q. Does this map reflect all hydrocarbon wells
14 drilled in the area?

15 A. No, it only reflects the deeper penetrations that
16 have been drilled in the area, the Dakota and Gallup
17 formations.

18 Q. Okay. Now, are the Bonneville wells identified
19 on this map?

20 A. They are, the Fullerton Federal 11 in Section 14,
21 the Fullerton Federal 9 in Section 13.

22 Q. Who operates the other acreage in the proposed
23 new pool?

24 A. Additional owners, working-interest owners, would
25 be Burlington Resources Oil and Gas, Louis Dreyfus Gas

1 Holdings, Conoco and Marathon Oil Company, in addition to
2 Bonneville.

3 Q. Now, these are actually the operators of the
4 acreage, as well as being --

5 A. They are owners of, in most cases, operating
6 rights and/or record title --

7 Q. Okay.

8 A. -- since these are federal leases in additional
9 formations, but for sure in the Gallup formation.

10 Q. Okay. Have you had any contacts with these
11 operators regarding the new pool?

12 A. The only contacts we've had were via the notices
13 that were sent out in relation to this hearing.

14 Q. Okay. Let's go ahead and take a look at
15 Bonneville Exhibit Number 3. Why don't you identify that
16 for us and review it for the Examiner?

17 A. Bonneville Exhibit Number 3 is merely to show
18 what the existing Kutz-Gallup Pool would -- the lands
19 that -- the revised pool boundary, after the lands that
20 we're recommending to be culled out were culled out.

21 Q. What does the light blue dashed line indicate?

22 A. The light blue dashed line -- which I apologize,
23 it's supposed to be a mile outside and it ended up being a
24 half mile. Our draftsman put it down. But it was meant to
25 just sort of give a visual acreage that is associated or in

1 near proximity to the pool.

2 Q. Okay. What efforts did you make to give notice
3 of this hearing? To whom did you provide notice of this
4 hearing?

5 A. We provided notice to operators of all wells,
6 Dakota-Gallup wells, within a mile radius of the existing
7 pool, as well as our new proposed pool, as well as we did a
8 state, county and Bureau of Land Management check for
9 owners of rights in the Kutz -- or in the Gallup and Dakota
10 formations, and sent them notice as well.

11 Q. So did you send notice to the operators in the
12 new pool and the proposed pool, of the Gallup and Dakota
13 formations, and all the working interest owners in the
14 proposed new pool?

15 A. That is correct.

16 Q. Did you also provide notice to all operators
17 located within one mile of the --

18 A. Yes, of both boundaries, the current existing
19 boundary, as well as our new proposed boundary.

20 Q. Is Bonneville Exhibit Number 4 an affidavit
21 confirming that notice of this hearing was sent to those
22 persons whom we've just discussed?

23 A. It is.

24 Q. Okay. Were Bonneville Exhibits Numbers 1 through
25 4 prepared by you or compiled under your direction?

1 A. They were.

2 MR. OWEN: Mr. Examiner, I tender Exhibits 1
3 through 4.

4 EXAMINER CATANACH: Exhibits 1 through 4 will be
5 admitted as evidence.

6 MR. OWEN: That's all I have of this witness.

7 EXAMINATION

8 BY EXAMINER CATANACH:

9 Q. Just go over the sections that you're going to
10 delete from the Kutz, or you want to delete again. I have
11 the southwest quarter of Section 11; is that right?

12 A. That's correct.

13 Q. Northwest quarter and southwest of the northeast
14 of -- What section was that?

15 A. Fourteen.

16 Q. Fourteen. Okay, and the west half, southeast of
17 13; is that right?

18 A. West half, southwest of 13.

19 Q. West half, southwest. Okay, and that's it?

20 A. That is correct.

21 Q. And your new pool would consist of the south half
22 of 11, south half of 13, all of 14, and the northeast of
23 15?

24 A. That is correct.

25 Q. Okay. And you've notified all operators within

1 the current and proposed pool boundaries?

2 A. Correct.

3 Q. And all operators within a mile of both?

4 A. Correct.

5 Q. And all leasehold interest owners?

6 A. As best we could determine, yes, sir. As far as
7 they had rights in that formation.

8 Q. Are you satisfied that you got a complete listing
9 of those?

10 A. Well, as some of the title -- This is an old
11 field. Some of the title is a little rough, but we did the
12 best we could with the information we had available.

13 Q. I notice in your Exhibit 4 there were at least a
14 few that were not -- you were not able to locate some of
15 these owners?

16 A. That's correct. Several of them had no --
17 Several of the conveyances were fairly old. We were --
18 Many of them lacked zip codes, things of that sort. We did
19 the best we could to track them down, but -- but you're
20 correct.

21 MR. OWEN: Mr. Examiner, I notice that at least
22 two of the return envelopes were addressed to Atlantic
23 Richfield Company, at two different addresses, and we do
24 have a return receipt card from a third letter that was
25 addressed to Atlantic Richfield Company in Midland, and

1 that was received and signed for by --

2 EXAMINER CATANACH: Okay, finally got one to
3 ARCO?

4 THE WITNESS: Right, as well as Vastar in
5 Houston.

6 EXAMINER CATANACH: How about Marathon?

7 MR. OWEN: I don't notice a return receipt card
8 for Marathon, Mr. Examiner.

9 EXAMINER CATANACH: Seems to me they'd be pretty
10 easy to find.

11 Q. (By Examiner Catanach) How about Consolidated?

12 A. Consolidated merged with Hugoton Energy.

13 Q. Did you notice them?

14 A. We noticed the -- I'm looking at the list now. I
15 just know that from past experience. These came right out
16 of the record. If the record wasn't changed or so noted,
17 then perhaps not.

18 MR. CARROLL: Well, we just noticed there's three
19 addresses for Marathon.

20 THE WITNESS: We used all addresses that were of
21 record.

22 EXAMINER CATANACH: Okay, they did get delivery
23 in the Houston office.

24 THE WITNESS: Okay. If there were multiple
25 addresses, we used them all.

1 MR. OWEN: Mr. Examiner, I do note that you are
2 correct, Marathon did receive and signed for notice letter
3 in their Houston office.

4 MR. CARROLL: Two P.O. boxes in Houston they
5 signed.

6 MR. OWEN: Right.

7 THE WITNESS: Once again, if there were multiple
8 listings, we used whatever listings were available.

9 Q. (By Examiner Catanach) Okay, did you find that
10 -- Okay, I guess Consolidated was not notified, then?

11 A. Well, notice was sent to the last address of
12 record.

13 MR. CARROLL: Is Consolidated an interest owner
14 in the proposed pool?

15 THE WITNESS: They are not an interest owner in
16 the immediate -- No, not in the proposed pool. They were
17 picked up on record checks outside the existing boundary.

18 MR. CARROLL: As an operator of a well within one
19 mile?

20 THE WITNESS: No, as just an interest owner in
21 the Gallup formation.

22 MR. OWEN: Mr. Examiner, if I remember correctly,
23 the rule requires notice to all operators within the pool,
24 within one mile of the pool, for both proposed and
25 existing. All operators did receive notice. It's my

1 understanding that Consolidated is an interest owner, not
2 an operator, and I think that notice has been provided in
3 accordance with NMOCD rules.

4 MR. CARROLL: Well, the rule requires all
5 operators of wells and each unleased mineral owner, so this
6 list of interest owners includes all operators of wells and
7 each unleased mineral interest owner?

8 FURTHER EXAMINATION

9 BY MR. OWEN:

10 Q. Mr. Wood is there any unleased -- I'm not sure.
11 Are there any --

12 A. No.

13 Q. -- unleased tracts within the area?

14 A. No unleased tracts.

15 Q. Okay.

16 A. It's an old pool. We chose to do a little
17 overkill as far as notice, rather than -- We figured more
18 was better.

19 Q. Do you know off the top of your head where
20 Consolidated interests is?

21 A. I believe Consolidated -- although I don't have
22 the documents to support it; they weren't of record when we
23 checked -- I believe Consolidated merged into Hugoton
24 Energy, which according to last reports has since merged
25 into Chesapeake.

1 Q. Okay. Do you know where their interests were in
2 the area here?

3 A. Not off the top of my head, no.

4 EXAMINER CATANACH: Okay. We have no further
5 questions of this witness.

6 MR. OWEN: Okay. Call Mr. Bob Kozarek.

7 BOB KOZAREK,

8 the witness herein, after having been first duly sworn upon
9 his oath, was examined and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. OWEN:

12 Q. Would you please tell us your name for the
13 record?

14 A. Bob Kozarek.

15 Q. And where do you live?

16 A. Denver, Colorado.

17 Q. Who do you work for?

18 A. Bonneville Fuels as senior geologist.

19 Q. How long have you been with Bonneville?

20 A. Three years, approximately.

21 Q. How long have you been a geologist?

22 A. Twenty years.

23 Q. Have you been a petroleum geologist that whole
24 time?

25 A. Correct.

1 Q. Have you previously testified before the OCD and
2 had your credentials as a petroleum geologist accepted and
3 made a matter of record?

4 A. Yes, I have.

5 Q. Are you familiar with the Application filed in
6 this case by Bonneville?

7 A. Yes, I am.

8 Q. Have you made a geologic study of the area which
9 is the subject of the Application?

10 A. Yes, I have.

11 Q. Are you prepared to share the results of that
12 study with the Examiner?

13 A. Yes, I am.

14 MR. OWEN: Mr. Examiner, are the witness's
15 qualifications acceptable?

16 EXAMINER CATANACH: Yes, they are.

17 Q. (By Mr. Owen) All right, let's take a look at
18 Bonneville Exhibit Number 5, the structure map. Can you
19 please review that map for the Examiner?

20 A. This is a structure map on top of the lower
21 Gallup. It's a marker bed within the Gallup. It shows
22 basically just northdip into the San Juan Basin with some
23 small anticlinal-synclinal noses that plunge northward into
24 the Basin. These noses may have something to do with
25 enhancement of the reservoir quality, but they really don't

1 have anything to do with the hydrocarbon entrapment.

2 We see across the study area -- Well, I should
3 point out to you, I don't have the unit, our new proposed
4 unit, out in here, but it would consist of the south half
5 of Section 11, the south half of Section 13, all of Section
6 14, and the northeast quarter of Section 15.

7 If we look from -- to the northwest, which is --
8 most of those oil wells up there are the oil wells that
9 have produced out of the older Kutz-Gallup Pool, going from
10 there to our wells in Sections 13 and 14 and then on down
11 further southeast yet to the Angel Peak Gallup Pool, we see
12 that in general we're moving from northwest to southeast,
13 we're moving in an updip direction.

14 And as we do so, we notice a change in the GORs
15 of these Gallup wells from Kutz-Gallup Pool, which has GORs
16 of approximately 3000 to 1 on the average, to Angel Peak-
17 Gallup Pool, which has GORs of about 70,000 to 1. And our
18 area, the proposed pool, in between those two areas which
19 has intermediate GORs of about 40,000 to 1.

20 Q. Is the production in the proposed new pool
21 distinctly different from that in the existing Kutz-Gallup
22 Pool?

23 A. The quality of production appears to be
24 different. We notice some reservoir-quality differences
25 that the engineering witness will testify to later, but

1 primarily what we see are differences in the GOR. We feel
2 it's caused by the structure and some stratigraphic
3 reasons, which we'll go through in the additional geologic
4 exhibits.

5 Q. Why don't we go ahead and do that? Let's turn to
6 Bonneville Exhibit Number 6. Would you review that for the
7 Examiner, please?

8 A. Yes, this is an isopach, net isopach, of the
9 lower Gallup lower pay sand, and I've broken the -- based
10 on some of the older pool studies that were in the *State of*
11 *New Mexico Field Guidebook*, they had an upper and a -- they
12 had a lower Gallup upper and lower pay sand, and I've used
13 the same designation. This is the isopach of the lower pay
14 sand.

15 And you can see from this isopach in the older
16 Kutz-Gallup Pool that most of the wells that are productive
17 in the Gallup are productive from this lower pay sand.

18 Also notice that for almost its -- for the most
19 part, this lower pay sand does not cover -- go across the
20 acreage that we're wanting to include in the Kutz-Gallup
21 South new proposed pool designation, that being the south
22 half of Section 11, south half of 13, all of 14 and
23 northeast of 15.

24 So we feel like this pay sand is unlikely to
25 project across this pool -- proposed pool area.

1 Q. Do you expect the wells in the new pool to be,
2 then, producing from a different zone and have production
3 different from the wells in the existing Kutz-Gallup Pool?

4 A. Correct.

5 I'd also like to point out, as was previously
6 testified to, that these are only the Gallup and deeper
7 penetrations. There are numerous Pictured Cliffs,
8 Fruitland Coal and a few Fruitland sand gas wells in here,
9 in addition to these deeper wells.

10 Q. Now, you mentioned the upper pay sand. Is that
11 what's -- Is that reflected on your next exhibit, Exhibit
12 Number 7?

13 A. Correct, Exhibit Number 7 is a net isopach of the
14 lower Gallup upper pay sand. We see a northwest-southeast-
15 trending sand that appears to be a marine sand. This sand
16 is likely to be the only one present across the new
17 proposed pool.

18 And once again, point out that there's a distinct
19 difference between the GORs from this sand, from the
20 northwest in the older Kutz-Gallup Pool, with approximately
21 3000-to-1 GOR, to Angel Peak-Gallup, which has
22 approximately 70,000-to-1, to our new proposed pool, which
23 is approximately 40,000 GOR.

24 Q. Okay. Now, comparing Exhibit Number 7 to Exhibit
25 Number 6, are you having commingled production from some of

1 the wells in the existing Kutz-Gallup Pool, in both --

2 A. There are --

3 Q. -- upper and lower pay sands?

4 A. There are several wells. I believe there were
5 two in Section 4, and there may have been one in 9 -- I
6 can't quite recall that right now -- that were -- oh,
7 there's also one in Section 2, that were productive out of
8 both the upper and lower pay sand, within the lower Gallup.

9 Q. But because the lower pay sand is not present in
10 the new proposed pool, you don't expect any production from
11 that zone --

12 A. That's correct.

13 Q. -- is that right?

14 A. I guess I should -- I'd like to also point out,
15 there's one rather difficult well in the Angel Peak field
16 area in Section 19 of 27 North, 10 West, the well that's in
17 the northeast quarter. I've got a designation there of
18 NDE, which means not deep enough, and a question mark
19 behind that.

20 That well had a -- The only log that I could
21 procure on that was a well was very difficult -- or a log,
22 excuse me, a log that was very difficult to interpret, and
23 from the -- based on the correlation I could make and where
24 the perms were, it looks like it didn't penetrate this
25 zone, but I'm not sure of that.

1 So I just wanted to point that out, that it was a
2 little bit of a problematic well.

3 Q. Okay. Why don't we take a look at your cross-
4 section?

5 A. Okay, fine. If we keep out Exhibit Number 7, it
6 shows the line of cross-section, A-A', a west-to-east
7 cross-section that goes through the new proposed Kutz-
8 Gallup South Pool.

9 And the first thing that we can -- If you compare
10 Exhibits 6 and 7, you'll see that this line of section goes
11 south of the zero edge of the lower Gallup lower pay sand.
12 So we won't see any lower Gallup lower pay sand on this
13 cross-section.

14 But this is a stratigraphic cross-section hung on
15 top of the lower Gallup, and we can see on the western edge
16 just a hint of the lower Gallup upper Pay sand. We come
17 into the Bonneville Fuels Fullerton Number 2J, and we can
18 see we have some development of that sand.

19 The Fullerton Federal Number 11, in the southwest
20 northwest of Section 14, has the sand present and
21 productive in it.

22 The Fullerton Federal Number 8 also has the sand.
23 It was productive, since been plugged.

24 The Fullerton Federal Number 9, the sand is
25 present and productive.

1 And the Fullerton -- or the -- it should be -- It
2 says Federal Federal; it should be Fullerton Federal Number
3 10, has the sand present in it but is basically tight, has
4 zero net.

5 We can also -- I can show you that where the
6 lower sand would have come in had it been here -- if we
7 look at the Fullerton Federal Number 11, for instance, it
8 would have been at a depth of about 5940. That's the zone
9 where that lower sand comes in. And you can see that
10 there's really no indication of it.

11 I guess if you go to the well on the far west,
12 the Frontier Number 1-D Bolack, you can see that it's
13 trying to develop there at about 5950 --

14 Q. Now, the two wells that --

15 A. -- development --

16 Q. The two wells that you're going to include in the
17 new proposed pool are the Federal Fullerton Number 11 and
18 the Number 9; is that right?

19 A. Correct. The 8 would be within the area
20 designated also. And that well is important to us, and we
21 can see that this well was completed in 1961, and they
22 perf'd 5824 to -38.

23 They had attempted a Dakota completion. The
24 Dakota was not capable of commercial production. They came
25 up and completed the lower Gallup upper pay sand, and --

1 from those perfs I had mentioned and completed it flowing
2 -- IP'd flowing at 12 barrels and 325 MCF of gas per day.

3 The cumulative production on that well is
4 approximately 4000 barrels of oil and 153 million cubic
5 feet of gas. That comes out to just under a 40,000-to-1
6 GOR.

7 It's significant in that it's the only well that
8 we have within this immediate study area that's a Gallup-
9 only completion.

10 Q. Now, both the Number 9 and the 11 are
11 recompletions in the Gallup; is that right?

12 A. The Number 11 is a recomplete, and we have the
13 perfs on there.

14 It was originally completed in the Dakota in 1962
15 for 1.7 million. It's made about 12,000 barrels of oil and
16 1.5 BCF of gas from the Dakota.

17 We recompleted it in the Gallup in December of
18 1996. Perfs are shown on the cross-section. It IP'd at 9
19 barrels of oil and 340 MCF of gas per day.

20 That's a commingled well in the commingled
21 Dakota-Gallup production, knowing that the Dakota is pretty
22 long in the tooth here and well along -- pretty near
23 depletion. The cumulative Dakota-Gallup production is 890
24 barrels of oil and 79 million cubic feet of gas.

25 The Fullerton Federal Number 9 was a well that

1 was drilled in 1961. They plugged and abandoned it at that
2 time. We went in and, off the same drillpad, redrilled
3 that well. And right now again, I don't recall if it was a
4 redrill or a re-entry; I'm not sure.

5 And we completed that in the Dakota and the
6 Gallup -- the perms are shown on the cross-section -- and
7 have a cumulative production from the Dakota-Gallup of
8 about 500 barrels of oil and 8 million cubic feet of gas
9 since July of last year, July, 1997.

10 Q. Now, we're going to call an engineering witness
11 that can talk about the trend of the GORs, but based on
12 your geological study, what conclusions have you reached
13 about this area?

14 A. There appears to be reason to call for some
15 separation of reservoir. It's not anything that you can
16 see clearcut, like a structure, a four-way closure or a
17 fault that separates these two pools that we already have
18 and the one that we are proposing today to designate as a
19 new pool, but there's a gradation of the GORs which we feel
20 is due to the structural gain that you have as you go from
21 northwest in the Kutz-Gallup to the southeast in Angel
22 Peak.

23 We also see that there are two sands that are
24 present and productive within the area. In our new pool
25 designation, we are only anticipating that the lower Gallup

1 upper pay sand would be present. The main sand that's at
2 Kutz-Gallup field, the lower pay sand, would be not present
3 in the area.

4 And we see a difference in the quality of
5 production in the wells that we have completed so far in
6 the Gallup, in the new pool in Sections 13 and 14, in that
7 those wells appear to have poor reservoir quality in
8 general.

9 Q. Now, you talk about there not being a dramatic
10 geologic structure or separation here. Is there a geologic
11 separation between the Angel Peak Pool and the existing
12 Kutz-Gallup Pool?

13 A. There's two pool designations.

14 Q. But is there a -- is there a --

15 A. -- geologic reason?

16 Q. -- geologic separation, yeah?

17 A. It looks like it's one continuous reservoir from
18 Kutz-Gallup all the way down to Angel Peak-Gallup, and yet
19 there are two different pool designations for that area,
20 for those two pools.

21 Q. And does it appear that those two different pool
22 designations are proper because the geologic structure
23 lends itself to different types of production between the
24 two pools?

25 A. There's certainly a change in the structure,

1 and -- that I think is verified by the change, dramatic
2 change, in GORs.

3 Q. Okay. Were Exhibits Numbers 5 through 8 prepared
4 by you or under your direction?

5 A. Yes, they were.

6 MR. OWEN: Mr. Examiner, I move the admission of
7 Bonneville Exhibits 5 through 8.

8 EXAMINER CATANACH: Exhibits 5 through 8 will be
9 admitted as evidence.

10 MR. OWEN: And that's all I have for this
11 witness.

12 EXAMINATION

13 BY EXAMINER CATANACH:

14 Q. What sand is being produced at Angel Peak? Is it
15 the upper?

16 A. It looks like the lower Gallup upper pay sand.

17 I haven't included all that, but the -- in this
18 study, the wells that are closest to -- or included in this
19 study, do produce out of the upper pay sand. The geologic
20 *Field Guidebook* for the -- this field, indicates that it's
21 entirely out of the upper pay sand. So --

22 Q. Okay.

23 A. -- I used that knowledge and information in
24 conjunction with what I had included in this study to --
25 And I would assume that all of it is out of the upper pay.

1 Q. The lower pay sand that you have mapped in
2 portions of 15 and 22, has that ever been produced by
3 anyone?

4 A. Oh, that pod down there? No, not to my
5 knowledge.

6 That's -- Yeah, that's interesting in and of
7 itself. I don't know how to account for that, exactly,
8 that development of that sand through there. If it's a
9 splay that comes off that other -- It looks like the --
10 that lower pay is a little bit different animal than the
11 upper.

12 It's shown to be sitting on top of an
13 unconformity, which would make you believe it's like a
14 valley-fill sequence, and following an erosional valley
15 with this splay off it, I don't know how to connect it.
16 You can see all those zeroes in there. I wouldn't know how
17 to get it connected to a sand source there. But it is --
18 indeed, some sand there.

19 You can see, I have two of my wells with question
20 marks, because they're either poor well quality -- log
21 quality, or just a questionable correlation. But there's
22 something happening down in that area with those -- that
23 you couldn't deny.

24 Q. As far as you know, there were only a very few
25 wells in the main Kutz Pool that produced from this lower

1 sand?

2 A. I -- The upper -- upper sand --

3 Q. Lower.

4 A. -- or the lower?

5 Q. Lower.

6 A. Most of them produced out of the lower sand.

7 Q. Most of them did produce out of the lower sand?

8 A. Yes. And a few of them produced out of the upper
9 sand. Does that --

10 Q. I thought it was the other way around. I thought
11 -- Wasn't the upper sand the main producing sand of the
12 Kutz?

13 A. I think it's the lower sand, is the main, and
14 the --

15 Q. Okay.

16 A. -- and the upper one is the secondary sand. The
17 upper pay sand is the main pay sand at Angel Peak.

18 I had -- My records show there were four wells
19 that produced out of the upper pay sands in Kutz-Gallup.

20 And not all of those wells that are on there do
21 produce out of the Gallup. They may have Gallup present in
22 porous, meaning it was -- met my porosity criteria cutoff,
23 but this net isopach is porosity greater than 6 percent.

24 MR. OWEN: Mr. Examiner, perhaps there's a little
25 bit of confusion. All of the wells are producing out of

1 the lower Gallup, and then we're talking about the --

2 THE WITNESS: Right.

3 MR. OWEN: -- lower pay sand and the upper pay
4 sand.

5 THE WITNESS: Oh, yeah. Yeah, we've --

6 MR. OWEN: Okay.

7 THE WITNESS: -- got that distinction.

8 MR. ASHLEY: The proposed pool is producing out
9 of the upper pay sand?

10 THE WITNESS: Correct. And the three wells are
11 -- It has or is now producing, yes. There has been no
12 lower pay sand.

13 Q. (By Examiner Catanach) What's Angel Peak spaced
14 on? Do you know?

15 A. I don't know offhand.

16 MR. OWEN: I believe our engineering witness can
17 testify to that.

18 Q. (By Examiner Catanach) We're just wondering if
19 it might be more appropriate to extend the boundary of the
20 Angel Peak to take in these wells. Have you guys looked at
21 that, or --

22 A. There's -- We're on a little lower GOR, and we
23 feel like the reservoir quality is not quite the same as
24 what it is at Angel Peak, and our engineer will testify to
25 that.

1 We feel like the permeability is significantly
2 less than what the average reported permeability is at
3 Angel Peak. So we feel like we have distinctions between
4 both pools.

5 Q. Do you think you're kind of in a transition area
6 with your wells?

7 A. Correct, that's what -- that's exactly we feel
8 with this.

9 EXAMINER CATANACH: Okay, I have nothing further.
10 This witness may be excused.

11 MR. OWEN: I just have one quick question.

12 FURTHER EXAMINATION

13 BY MR. OWEN:

14 Q. The wells that are producing out of the upper pay
15 sand in the existing pool, is that just a secondary
16 producer, producing zone in those --

17 A. In the --

18 Q. -- wells?

19 A. In the Kutz-Gallup --

20 Q. Yes.

21 A. -- Pool? They're commingled.

22 MR. OWEN: They're commingled? Okay.

23 That's all I have of this witness.

24 EXAMINER CATANACH: Okay.

25 MR. OWEN: And I call Mr. Allen Merrill.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ALLEN MERRILL,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. OWEN:

Q. Please tell us your name for the record.

A. Allen Merrill.

Q. And where do you live?

A. I live in Denver, Colorado.

Q. Who do you work for?

A. Bonneville Fuels Corporation.

Q. What do you do for Bonneville?

A. I'm a petroleum engineer.

Q. How long have you been with Bonneville?

A. Approximately two years.

Q. What did you do before that?

A. I worked for Garrity Oil and Gas Corporation in Denver for approximately three years.

Q. What did you do for them?

A. I was a production/operations engineer.

Q. Where did you go to school?

A. University of Wyoming in Laramie.

Q. What was your degree in?

A. I've got a bachelor's of petroleum engineering and a master's in petroleum engineering.

1 Q. What have you -- Other than the jobs you just
2 mentioned, what other positions have you had in petroleum
3 engineering?

4 A. I've worked as an oil and gas research engineer
5 for Western Research Institute for approximately two years,
6 from 1990 to 1992.

7 Q. Okay. Are you familiar with the Application
8 filed in this case on behalf of Bonneville?

9 A. Yes, I am.

10 Q. Are you familiar -- Well, have you made an
11 engineering study of the subject area?

12 A. Yes, I have.

13 Q. Are you prepared to share the results of that
14 study with the Examiner?

15 A. Yes, I am.

16 MR. OWEN: Mr. Examiner, I'd tender Mr. Merrill
17 as an expert in petroleum engineering.

18 EXAMINER CATANACH: Mr. Merrill is so qualified.

19 Q. (By Mr. Owen) Mr. Merrill, have you prepared
20 exhibits for presentation in this hearing?

21 A. Yes, I have.

22 Q. Let's take a look at your first exhibit. The
23 exhibit sticker is on the back, Bonneville Exhibit Number
24 9. Please review the -- that exhibit for the Examiner.

25 A. Okay, I've compiled a list of all the wells that

1 are -- that produced out of the Gallup and Kutz-Gallup
2 Pool, and I've listed the GORS, cumulative oil and gas
3 production and the current well status.

4 And I've also listed the two closest wells in the
5 Angel Peak-Gallup Pool to our new proposed pool.

6 And one thing that I've noticed about this is
7 that there's a striking difference between the Kutz-Gallup
8 Pool and our new wells, the Fullerton 9 and the Fullerton
9 11, in terms of the GOR, where with the Fullerton 11 we
10 have a GOR of approximately 89,000, the Fullerton 9 has a
11 GOR of approximately 16,000.

12 Also, there's a historical well in Section 14,
13 next to our Fullerton 11, which had a GOR of 39,000. And
14 this well produced from the Gallup only.

15 And I feel that this is one distinguishing
16 feature of our new proposed pool from the old Kutz-Gallup
17 Pool.

18 Q. Now, the two wells, the 9 and the 11, have a
19 small asterisk to the left; is that right?

20 A. Yes.

21 Q. Are the -- You've got two Angel Peak Pools
22 referenced at the bottom.

23 A. Uh-huh.

24 Q. What is the significance of those two wells, as
25 compared to the Number 9 and the Number 11 Fullerton wells?

1 A. Well, I just wanted to show that they were more
2 comparable to our new proposed pool, they had a higher
3 GOR -- you had a higher GOR going to the southeast and --
4 when you're in that upper pay sand only, versus when you're
5 in the lower pay sand and the upper pay sand both in the
6 Kutz-Gallup Pool.

7 Q. Are the Number 9 and the Number 11 roughly
8 similar to the produced -- Is the production from the
9 Number 9 and the Number 11 roughly similar to the
10 production in the Angel Peak, or is it different from that
11 production as well?

12 A. It's -- I would say it's fairly similar. The
13 reservoir quality appears to be lower in the area of our
14 proposed pool than at Angel Peak Pool. Generally, on
15 average, the permeability is higher, and the reservoir
16 thickness is better in a large portion of Angel Peak Pool.

17 Q. Do you know what the spacing requirements are in
18 the Angel Peak Pool?

19 A. From memory, I would say 320 acres for gas, and
20 it's either 40 acres or 80 acres for oil, I don't remember
21 which, and I believe there's a 30,000 GOR cutoff between
22 the two.

23 Q. Okay. Now, the wells that are in the existing
24 Kutz-Gallup Pool that are referenced here, some of those
25 wells are -- have commingled production, "commingled"

1 meaning they're producing from both the lower pay sand and
2 the upper pay sand within the lower Gallup; is that right?

3 A. In the Kutz-Gallup Pool?

4 Q. In the Kutz-Gallup Pool.

5 A. Yes, that's correct. Most of them are producing
6 from both upper pay and the lower pay with their present
7 wellbore.

8 Q. How does the GOR from those commingled wells
9 compare to the GOR in the Number 9 and the Number 11
10 Fullerton wells?

11 A. As a general rule, it's much lower.

12 Q. Okay.

13 A. It generally ranges from zero to 5000 standard
14 cubic feet per barrel.

15 Q. Okay. And then moving even further to the
16 southeast, how does that GOR compare to the Angel Peak
17 producers?

18 A. The two -- Compared to the two Angel Peak
19 producers I have listed there, it's somewhat comparable.
20 Throughout Angel Peak field as a whole, the GORs vary
21 widely.

22 Q. Okay. Let's take a look at your Exhibit Number
23 10. Can you please review that for the Examiner?

24 A. When we originally completed the Gallup --

25 Q. What is this exhibit first? Can you identify it,

1 please?

2 A. Yes, this exhibit is a plot of a pressure buildup
3 test on the Fullerton Federal 11, located in Section 14.

4 Q. Okay.

5 A. And when we originally completed the Gallup, we
6 ran a pressure buildup test after frac'ing the well and
7 determined that the permeability of the matrix is
8 approximately 1 to 2 millidarcies, and I wanted to present
9 this exhibit to demonstrate that the reservoir -- we
10 believe the reservoir quality in the area of our proposed
11 pool to be lower than both the Kutz-Gallup Pool and the
12 Angel Peak Pool.

13 Q. Let's take that one piece at a time. How does
14 the permeability in the proposed new pool compare to the
15 permeability in the existing Kutz-Gallup Pool?

16 A. It's generally lower.

17 Q. How much lower?

18 A. I would say one or two orders of magnitude. From
19 published data in Kutz-Gallup, the average is 50
20 millidarcies, and Angel Peak the average would be 75
21 millidarcies.

22 Q. The Angel Peak, it would be --

23 A. 75 millidarcies.

24 Q. 75 millidarcies?

25 A. Average.

1 Q. And what is it in the -- What is the average in
2 the proposed new pool?

3 A. About 1 to 2 millidarcies.

4 Q. Okay. How much acreage do you expect the wells
5 in the new pool, the proposed new pool, to drain?

6 A. Well, to go on to the next exhibit, Number 11 --

7 Q. Okay.

8 A. -- what we did is, after approximately one year
9 we took another pressure survey and -- to determine how far
10 the pressure dropped after a certain amount of production,
11 and we made a -- what's called a P/Z versus cumulative
12 production plot to determine the reserves that were in
13 place, original gas in place. And as shown on the Exhibit
14 11, there was 675 million cubic feet in place, estimate.

15 And you back-calculate that using a reservoir
16 height of 15 feet, porosity of 11 percent, you can
17 calculate a drainage area of 115 acres for our Fullerton 11
18 well.

19 So I would propose that 40-acre spacing is not
20 adequate for this area. Somewhere between and maybe less
21 than 160.

22 Q. If you're restricted to the current 40-acre
23 spacing requirements, what will be the effect, given the
24 permeability in this area?

25 A. Well, one problem we have is, we're currently

1 restricted to 160 MCF, and we have wells capable of
2 producing more than that, and we're curtailing production.
3 It would limit additional drilling. It would -- If you
4 limited it to 40 acres, that would be the primary drawback
5 of restricting the 40 acres of restricted production --

6 Q. Would that result in --

7 A. -- and --

8 Q. -- the waste of some gas in the reservoir?

9 A. Yes, because it would restrict development of the
10 field --

11 Q. Okay.

12 A. -- and you wouldn't...

13 Q. All right. Do you think that this is -- this
14 area is capable of draining 160 acres?

15 A. Do I believe it's --

16 Q. -- capable of draining as much as 160?

17 A. From the evidence I've seen, I would say not
18 necessarily, the reservoir.

19 Q. Okay. Now, have you also prepared a chart
20 relating to the Federal -- Fullerton Federal Number 9?

21 A. Yes, we re-entered a dryhole and completed it in
22 the Gallup, and after frac'ing the Gallup we have a
23 pressure buildup test presented as Exhibit Number 12. And
24 I calculated permeabilities to be between .5 and 1
25 millidarcy in this well, which would further back up our

1 data in the Fullerton 11, demonstrating that the
2 permeability in this area of the reservoir is of much lower
3 quality.

4 Q. Okay. As a general rule, as you move from the
5 existing Kutz-Gallup Pool through the proposed new pool
6 down to the Angel Peak Pool, as a general rule is there a
7 higher GOR as you move to the southeast?

8 A. It tends to vary throughout the field. As you
9 notice from Mr. Kozarek's structure map, there was a lot of
10 noses and faulting and fracturing in there, and I've
11 found -- well, we -- I thought that would be the case. We
12 drilled the Fullerton Number 9 and found a lower GOR
13 between our 11 and the Angel Peak.

14 So I would say as a general trend that's what you
15 might expect, but we did not find that to be the case.

16 Q. Is there a different -- Is the production in the
17 proposed new pool different from that in the existing Kutz-
18 Gallup Pool?

19 A. Yes, I would -- It's generally characterized by
20 lower GOR, lower permeability.

21 Q. With the production from the existing pool?

22 A. From Kutz Gallup Pool into the proposed pool?

23 Q. Right.

24 A. Yes.

25 Q. How is the production different from the existing

1 pool and the proposed new pool?

2 A. Primarily higher GOR.

3 Q. There's a higher GOR in the proposed new pool?

4 A. Right.

5 Q. Okay. And how is the production from the
6 proposed new pool different from that in the Angel Peak?

7 A. Primarily reservoir quality, thickness and/or
8 permeability.

9 Q. There's lower permeability in the existing -- in
10 the proposed new pool?

11 A. Yes. Yeah, you're really on the fringes of Angel
12 Peak and --

13 Q. Okay.

14 A. -- you don't have the thick reservoir in our new
15 proposed pool that Angel Peak has.

16 Q. Will wells in the proposed new pool adequately
17 drain more than 40 acres?

18 A. I believe so, yes.

19 Q. Will approval of Bonneville's request for
20 contraction of the Kutz-Gallup Pool, creation of the new
21 proposed Kutz-Gallup South Pool and the adoption of special
22 pool rules for this new pool, including provisions for 80-
23 acre spacing, be in the best interests of conservation, the
24 prevention of waste, and the protection of correlative
25 rights?

1 A. Yes.

2 Q. Were Bonneville's Exhibits 9 through 12 prepared
3 by you or under your direction?

4 A. Yes.

5 MR. OWEN: That's all I have for this witness at
6 this time.

7 EXAMINER CATANACH: Admit your exhibits.

8 MR. OWEN: I tender Exhibits 9 through 12.

9 EXAMINER CATANACH: Okay, Exhibits 9 through 12
10 will be admitted as evidence.

11 EXAMINATION

12 BY EXAMINER CATANACH:

13 Q. Mr. Merrill, what is the -- what's going to be
14 the further development of this pool? Are you going to
15 drill more wells?

16 A. Yeah, we have plans to -- if the spacing's
17 increased, we have plans to drill a well in the south half
18 of 11. And we may -- After we obtain results with that, we
19 may have further drilling in the south half of 11 or 15.

20 Q. What is the actual current producing rate of the
21 Number 9 and Number 11 wells?

22 A. The Number 9 is approximately 5 barrels of oil, 5
23 barrels of water, about 100 MCF per day of gas.

24 The Fullerton 11 is restricted to 190 MCF per
25 day, 160 from the Gallup and 30 MCF from the Dakota.

1 Q. Is that well producing any oil?

2 A. The 11?

3 Q. (Nods)

4 A. Yeah, it produces anywhere from zero to 8
5 barrels of oil per day, and right now it's producing very
6 little oil.

7 Q. The Number 11 well was originally a Dakota
8 completion?

9 A. That's correct.

10 Q. And you recompleted to the Gallup?

11 A. That's correct.

12 Q. So did you have a pretty good handle on Dakota
13 production prior to the commingling?

14 A. Yes, we did.

15 Q. It was --

16 A. It approximately 50 MCF a day and one-third of a
17 barrel per day.

18 Q. And a pretty steady decline?

19 A. Pretty steady decline, yes.

20 Q. So you're pretty confident that that's split
21 pretty well between those two zones?

22 A. Yeah.

23 Q. And is the 9 -- The 9 is commingled also?

24 A. The 9 is commingled also.

25 Q. And was that also first a Dakota completion?

1 A. Yes.

2 Q. Recompleted to the Gallup?

3 A. Right.

4 Q. What was Dakota production prior to commingling
5 on that well?

6 A. It was -- I can give you rough numbers. I'd say
7 around 200 MCF per day and about 10 barrels of oil per day.

8 Q. Do you know what the current split on that
9 production is in the 9?

10 A. I would primarily -- I would say that it's
11 probably about half and half. Most of the water coming out
12 of the Dakota, all the water coming out of the Dakota.

13 Q. Your cumulative gas-oil ratio for the 9 and the
14 11, is that just Dakota -- I mean, is that just Gallup, or
15 is that commingled?

16 A. That's just Gallup. These numbers out of the
17 table were taken out of *Dwight's*, and we allocated before
18 -- between the Dakota and Gallup before we reported to the
19 State. And the State -- *Dwight's* gets their production
20 numbers from the State, so I believe those were Gallup-only
21 numbers.

22 Q. What type of reservoir drive do you think is at
23 work in this sand?

24 A. I would say just a depletion drive, solution gas
25 drive.

1 Q. Solution gas drive, you don't --

2 A. Solution gas drive, if it's a well. If -- it's
3 just a -- If it's more of a gas reservoir, it's just a
4 volumetric completion, so...

5 Q. You don't think there's a gas cap present in that
6 sand?

7 A. I can't say that for certain, and I don't know if
8 it's that important, given the reservoir quality we have in
9 this area.

10 Q. Mr. Merrill, your Exhibit Number 11, that was
11 just done with Gallup production, right?

12 A. That is correct.

13 Q. So you're saying the original gas in place in
14 that upper Gallup sand is 675 million?

15 A. That's correct.

16 Q. Okay. Did you do a similar curve for the Number
17 9 well on this?

18 A. I only have one pressure point on the 9, so I did
19 not do it for that.

20 Q. What is the -- The Number 11, is it capable of
21 more than 190 MCF per day?

22 A. It's probably capable of about 550 MCF per day,
23 450 to 550.

24 Q. So you're restricted by what? Is it a 2000 GOR
25 on the Kutz?

1 A. Yeah, the -- for 40 acres, you have an 80-barrel
2 oil allowable, and you're allowed two times that at 160,
3 so... Yeah.

4 Q. Your wells are currently classified as being in
5 the Kutz, right?

6 A. Kutz-Gallup Pool, yes.

7 Q. And your drainage area, according to the
8 calculations you did on the Number 11 well, approximately
9 115 acres?

10 A. Yes, I took 675 million and divided it by the
11 height of the reservoir of 15 feet, divided by a porosity
12 of 11 percent and a gas-volume factor of probably -- I used
13 a gas-volume factor of 81.58 standard cubic feet per
14 reservoir foot, cubic foot.

15 Q. Did you use a recovery factor in that
16 calculation?

17 A. No, I did not.

18 Q. And the permeability you used in that calculation
19 was what?

20 A. For the reservoir volume? I did not -- It
21 doesn't require a permeability.

22 Q. Can you submit, maybe after the hearing here,
23 your calculations on the drainage area?

24 A. Yes, I can submit them right now if you'd like.

25 Q. Looking at the producing characteristics of the

1 Number 9, is it -- can you say at this point, just looking
2 at the production, whether or not that's going to drain an
3 area similar to the Number 11?

4 A. I think it's going to drain less.

5 Q. But you can't make an estimate on that at this
6 point?

7 A. No, it appears to be very low drainage -- very
8 small drainage area, though.

9 Q. Would -- Are you requesting temporary or
10 permanent rules, or have you even thought about that?

11 A. I haven't really thought about that.

12 Q. Usually, we do temporary rules and have you come
13 back in 18 months or two years and report, once you've
14 gathered some additional data to support the continuation.

15 A. Right.

16 Q. Do you think that would be -- In that period of
17 time, do you think additional information could be gathered
18 to --

19 A. Yeah, it's expensive to gather it. I mean, to
20 get another pressure point on the Gallup only requires
21 setting a bridge plug in between the Gallup and Dakota.

22 Q. Well, do you think some of the data from your --
23 the wells that you may drill may be beneficial?

24 A. Yeah, they -- It's possible, yes.

25 EXAMINER CATANACH: I think that's all the

1 questions I have of this witness, Mr. Owen. Do you have
2 anything further?

3 MR. OWEN: No, that's all that I have in this
4 case, Mr. Examiner.

5 EXAMINER CATANACH: All right, here being nothing
6 further, Case Number 12,027 will be taken under advisement.

7 Let's take a 10-, 15-minute break here.

8 (Thereupon, these proceedings were concluded at
9 10:30 a.m.)

10 * * *

11
12
13
14 I do hereby certify that the foregoing is
15 a correct and true copy of the proceedings in
the Examination of Case No. 12027,
heard by me on August 20, 1998.

16 David R. Catanach, Examiner
17 Off Conservation Division
18
19
20
21
22
23
24
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) SS.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL August 31st, 1998.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 1998