

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)

CASE NO. 12,044

APPLICATION OF BURLINGTON RESOURCES)
OIL AND GAS COMPANY FOR AN UNORTHODOX)
GAS WELL LOCATION, SAN JUAN COUNTY,)
NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MARK W. ASHLEY, Hearing Examiner

September 17th, 1998

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MARK W. ASHLEY, Hearing Examiner, on Thursday, September 17th, 1998, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

OIL CONSERVATION DIV.
98 OCT -5 AM 9:57

I N D E X

September 17th, 1998
Examiner Hearing
CASE NO. 12,044

	PAGE
EXHIBITS	3
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>ALAN ALEXANDER</u> (Landman)	
Direct Examination by Mr. Kellahin	6
Examination by Examiner Ashley	15
Examination by Mr. Carroll	16
<u>VAN L. GOEBEL</u> (Landman)	
Direct Examination by Mr. Kellahin	17
Examination by Examiner Ashley	28
Examination by Examiner Catanach	29
<u>DAVID CLARK</u> (Geologist)	
Direct Examination by Mr. Kellahin	30
REPORTER'S CERTIFICATE	42

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	7	41
Exhibit 2	9, 18	41
Exhibit 3	10	41
Exhibit 4	14, 31	41
Exhibit 5	34	41
Exhibit 6	37	41
Exhibit 7	36	41
Exhibit 8	20	41
Exhibit 9	24	41

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
 Attorney at Law
 Legal Counsel to the Division
 2040 South Pacheco
 Santa Fe, New Mexico 87505

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
 117 N. Guadalupe
 P.O. Box 2265
 Santa Fe, New Mexico 87504-2265
 By: W. THOMAS KELLAHIN

ALSO PRESENT:

DAVID R. CATANACH
 NMOCD Hearing Examiner
 2040 South Pacheco
 Santa Fe, New Mexico 87505

* * *

1 WHEREUPON, the following proceedings were had at
2 1:38 p.m.:

3 EXAMINER ASHLEY: At this time the hearing will
4 be called back to order, and the Division brings Case
5 12,044.

6 MR. CARROLL: Application of Burlington Resources
7 Oil and Gas Company for an unorthodox gas well location,
8 San Juan County, New Mexico.

9 EXAMINER ASHLEY: Call for appearances.

10 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
11 the Santa Fe law firm of Kellahin and Kellahin, appearing
12 on behalf of the Applicant, and I have three witnesses to
13 be sworn.

14 EXAMINER ASHLEY: Any other appearances?

15 MR. CARROLL: Will the witnesses please stand and
16 be sworn?

17 (Thereupon, the witnesses were sworn.)

18 MR. KELLAHIN: Mr. Examiner, we're bringing this
19 Application for an unorthodox well location for hearing
20 today. This case involves an unorthodox location in the
21 Allison Unit. The location crowds an interior spacing unit
22 boundary within the unit area. It was originally filed
23 administratively with Mr. Stogner reviewing the matter.
24 And in retrospect, we have discovered that the
25 administrative application filed was rather cryptic and not

1 as detailed as it perhaps should have been.

2 Mr. Stogner, by a letter dated July 23rd, denied
3 the application and set forth some questions for us to
4 respond to. I asked Mr. Stogner if it was his desire to be
5 the Hearing Examiner to hear a more complete and full
6 presentation of the case. He told me that that was not
7 necessary, and so I put this case on the next available
8 docket, which is today's docket.

9 But we have the presentation completely prepared
10 for you, and we will make a presentation through our
11 various land witnesses and our geologist, in an effort to
12 do what we failed to do with Mr. Stogner, and that is to
13 give him a full and complete explanation of our efforts to
14 try to find a standard location and why we have sought your
15 approval to drill this unorthodox location.

16 This case, the location exception, is being
17 requested to accommodate a surface owner. The spacing
18 unit, as you will see, has a substantial portion of it
19 consisting of a fee tract. And the circumstances of it
20 being in a federal unit where we have the consolidation of
21 interest so that when you crowd a boundary, you're simply
22 crowding the parties that also share in the crowding well,
23 the correlative-rights issues simply disappear.

24 The opportunity here to put a well that accesses
25 the reservoir properly has some element of flexibility, and

1 so in this unique circumstance we could accommodate a
2 surface owner and his concerns, and that's what we're here
3 to document and describe for you. But this is a
4 topographic exception, as opposed to a geologic
5 justification.

6 My first witness is Mr. Alan Alexander.

7 ALAN ALEXANDER,

8 the witness herein, after having been first duly sworn upon
9 his oath, was examined and testified as follows:

10 DIRECT EXAMINATION

11 BY MR. KELLAHIN:

12 Q. Mr. Alexander, would you please identify
13 yourself?

14 A. Yes, I'm Alan Alexander. I'm currently employed
15 with Burlington Resources in their Farmington, New Mexico,
16 office as a senior land advisor.

17 Q. One of your areas of responsibility, Mr.
18 Alexander, is the Allison Unit, is it not?

19 A. Yes, sir, that's correct.

20 Q. You're knowledgeable about the unit
21 configuration, the participating areas and the various
22 aspects of the land matters involved in that unit?

23 A. That's correct.

24 Q. The actual details of negotiating with the
25 surface owner for surface damages and trying to accommodate

1 surface owners' concerns about well locations is an
2 activity that's not done directly by you; is that true?

3 A. That's true.

4 Q. In this instance, who conducted that activity?

5 A. Mr. Van Goebel conducted a majority of that
6 activity.

7 Q. In addition to the land aspects, within the
8 technical team for Burlington, the geologic issues about
9 where to locate wells like this for Dakota and Mesaverde
10 production is the responsibility of which geologist?

11 A. Mr. Dave Clark is working this particular team
12 and is responsible for the geologic concerns.

13 Q. I would like to show the Examiner how the exhibit
14 book is organized and then discuss with you what I've
15 represented to the Examiner was an issue that did not
16 affect correlative rights. And let's begin to do that,
17 sir, by first of all turning to what is the information
18 behind Exhibit Tab Number 1. What is this?

19 A. The information behind Exhibit Tab Number 1 is
20 our Application for the hearing for this nonstandard well.
21 It's the Allison Unit Number 39 well, and it is unorthodox
22 at a location 2640 feet from the north line and 15 feet
23 from the east line of Section 18, Township 32 North, Range
24 6 West.

25 Q. Were the items prepared in this exhibit book and

1 its compilation matters under your control and direction?

2 A. Yes, they are.

3 MR. KELLAHIN: We tender Mr. Alexander as an
4 expert witness, Mr. Examiner.

5 EXAMINER ASHLEY: Mr. Alexander is so qualified.

6 Q. (By Mr. Kellahin) The Application contains on
7 page 2 of the Application a response of the reasons
8 Burlington has sought an Examiner Hearing for an exception
9 in this case?

10 A. That is correct.

11 Q. And in the first page we detail some of the
12 chronology that caused us to come to hearing today; is that
13 not true?

14 A. Yes, sir, that's true.

15 Q. All right. Let's look behind the Application
16 and, to set the stage, let's show the Division the locator
17 plat. Do you see the locator plat?

18 A. Yes, sir.

19 Q. Behind the Application. What is the surveyed
20 footage for the well as you're requesting approval for?

21 A. It's in Section 18 of 32 North, 6 West, in the
22 Allison Unit, and it's located -- it's currently staked at
23 a footage distance of 2640 feet from the north line and 15
24 feet from the east line.

25 Q. It's also number-coded. Around that spacing unit

1 is the number 1 in a box?

2 A. Yes, sir.

3 Q. What does that indicate?

4 A. That indicates who the offset operator is for
5 notification purposes. Since this is in the Allison Unit,
6 Burlington is the operator totally surrounding the subject
7 section.

8 Q. Okay. Let's turn past that tab and look at the
9 information behind Exhibit Tab Number 2. The first item is
10 Mr. Stogner's letter of July 23rd, 1998?

11 A. Yes, sir.

12 Q. And then immediately behind his letter is the
13 original Burlington submittal, is it not?

14 A. That is correct.

15 Q. Following Burlington's cover letter there's the
16 first page of the application for permit to drill, and then
17 it's followed by a copy of the C-102?

18 A. Yes, sir, that's correct.

19 Q. All right. And then again there's another copy
20 of this notice application, and finally a couple of topo
21 maps, right?

22 A. Yes, sir.

23 Q. That was the entire information submitted to the
24 Division for administrative processing?

25 A. For administrative processing, that is the entire

1 packet that was submitted.

2 Q. All right. Let's go behind Exhibit Tab Number 3,
3 and let me ask you some questions about this correlative-
4 rights issue. This display represents what, sir?

5 A. This display is a land plat showing all of the
6 current development in the multiple formations within the
7 Allison Unit. The Allison Unit is outlined in the heavy
8 green line.

9 And you will note over to the right-hand portion
10 of that, about in the center of it, you will locate Section
11 18.

12 And you can also see one of the red square
13 symbols right on that section line that represents the 15
14 foot off of section line. That's the well that we would
15 like to discuss with you this morning. All of the red
16 symbols on this plat are wells that we're staking this.
17 That's our -- this year's drilling. They are not currently
18 existing wells. We're just attempting to show where we
19 staked the wells thus far.

20 Q. Let's take a moment to make sure we all
21 understand the color coding for the various combinations of
22 wellbore. It has some complexity to it. And for
23 illustration purposes, let's look at Section 18, look at
24 the east half of that section, and I see a green triangle?

25 A. Yes, sir.

1 Q. What does that indicate?

2 A. The green triangle with the gas symbol in the
3 middle of it represents Fruitland Coal wells, and it is an
4 existing wellbore.

5 Q. Okay. One of the items Mr. Stogner asked be
6 addressed is whether or not it was reasonable to have
7 Burlington use the pad for the coal gas well, the location
8 of which is indicated on this display, as a possible pad in
9 which to locate this Dakota-Mesaverde Well Number 39.

10 A. Yes, sir.

11 Q. Did Burlington explore that possibility?

12 A. Yes, we did. However, Mr. Stogner was not aware,
13 and it was our fault for not making him aware. We have --
14 You will see immediately below and to the left of the
15 Number 111 Fruitland Coal well, we have a well planned for
16 that vicinity -- it's the Number 39 M well -- and Mr.
17 Stogner was not aware of that.

18 Q. Let's look at the code for the 39 M. It is a red
19 square?

20 A. Yes, sir, a rectangle with a gas symbol -- a red
21 square with a gas symbol in the middle of it. It also has
22 a small M to the bottom right-hand side. That simply means
23 it's a Dakota penetration, it will be a Dakota completion,
24 and we will add the Mesaverde formation in a commingle
25 status.

1 Q. All right, so every time I look on this map,
2 regardless of the color, if it is a square that will be a
3 Dakota well?

4 A. Yes, sir.

5 Q. Let's look in the west half of 18. Up in the
6 northwest quarter is the 20 M well; do you see that?

7 A. Yes, sir.

8 Q. Do I understand that to be a Dakota well in which
9 you also have the Mesaverde?

10 A. That's correct, we will add the Mesaverde to that
11 Dakota well.

12 Q. And that would be a commingled wellbore?

13 A. That is correct.

14 Q. Down in the southwest of 18 there's two symbols.
15 One is the green triangle, and that's a gas well -- the
16 coal gas well?

17 A. Yes, sir.

18 Q. And then just to the west of that is now a blue
19 square, and so that's going to tell me it's a Dakota well,
20 right?

21 A. That is correct. You'll also see there is an M
22 below that, but the Mesaverde portion of that well -- it
23 was a dual completion, as I recall -- the Mesaverde portion
24 has been plugged and abandoned. So currently today I
25 believe it is just a Dakota well.

1 Q. So that's why it is not colored red?

2 A. It's an existing wellbore. Again, all of the
3 red-colored wells are not existing wells. They simply are
4 staked wells for this year's program.

5 Q. All right. So when we look at the east half,
6 then, that would be the spacing unit that's proposed for
7 the Number 39 well, right?

8 A. That is correct.

9 Q. It currently does not contain either a Dakota or
10 a Mesaverde wellbore?

11 A. Yes, sir, that's correct.

12 Q. The encroachment is to the east, and it crowds
13 Section 17?

14 A. Correct.

15 Q. Section 17 and 18, are they in the unit? They
16 are, obviously.

17 A. Yes, they are committed to the Allison unit.

18 Q. All right. Within the unit, is this a divided
19 unit where you have participating areas?

20 A. Well, it's an undivided exploratory area, but we
21 do develop separate participating areas, and in this case
22 we do have separate participating areas for each of those
23 formations.

24 Q. When we examine the concept of correlative rights
25 and wells encroaching on other spacing units, are we

1 encroaching upon a spacing unit by a well in a spacing unit
2 in which all interests are common?

3 A. That is correct.

4 Q. And that results because of what?

5 A. Well, the interests are common as to the
6 individual formations; they're not common as to -- The
7 Dakota interests are not the same as the Mesaverde, but
8 when you take the Mesaverde separately and the Dakota
9 separately, between those two sections the interests are
10 common.

11 Q. Let's look at that display. If you'll turn to
12 the next display, there's a green-colored display?

13 A. Yes, sir.

14 Q. This represents what?

15 A. This is the same base map for the Allison Unit,
16 but we're -- the green fill pattern shows the current
17 Mesaverde participating area, and you will notice that both
18 Sections 18 and 17 participate in that participating area
19 for the Mesaverde formation.

20 Q. As a result, then, of the mechanics of this unit
21 agreement, a well positioned as Burlington proposes is not
22 encroaching upon interest owners who would not be entitled
23 to share in production by the encroaching well?

24 A. That's correct.

25 Q. When we draw your attention to the next display,

1 let's look at that and see what happens in the Dakota
2 participating area. Are the equities protected here?

3 A. Yes. Again, especially, the -- Not all of
4 Section 17 is in the Dakota participating area, but the
5 area being encroached by this well, the Number 39 well, is
6 in fact included in the participating area. So again, we
7 do not have a correlative-rights situation for the well
8 being drilled at this particular footage.

9 MR. KELLAHIN: Mr. Examiner, that concludes my
10 examination of Mr. Alexander. He was going to address this
11 unit concept in the participating areas.

12 The next witness, Mr. Van Goebel, will address
13 the specifics of the topography and his negotiations with
14 the surface owner.

15 EXAMINER ASHLEY: Okay.

16 EXAMINATION

17 BY EXAMINER ASHLEY:

18 Q. Mr. Alexander, is Section 18 a standard section?

19 A. I believe -- Let me see if I brought anything
20 that would tell me that. Oh, yeah, we do have.

21 Yes -- I'm sorry, the question -- The answer to
22 that question is no, we do have lots on the west side of
23 that section. It starts at the northwest quarter of the
24 northwest quarter with lot 1 and proceeds down the west
25 line of that lot 1, 2, 3 and 4. And that was based upon a

1 deep-ended resurvey.

2 There's a peculiar problem sometimes with these
3 surveys in that the Mesaverde formation participating area
4 was initiated and has been developed on the original
5 survey, which it was a standard 320-acre section under the
6 original survey.

7 Since we initiate those participating areas in
8 that survey we continue to develop the participating area
9 under that survey. But if you look at a modern-day plat,
10 it has been resurveyed, and those lots show up in there.
11 But that's not the acreage that's used to calculate the
12 equities involved.

13 Q. Okay. Is that also the reason why at a location
14 of 2640 that is not on that quarter -- the quarter-section
15 line?

16 A. Yes, sir. On the modern-day -- When you go out
17 there in the field, and the way that section actually is
18 laid out, that's exactly why --

19 Q. Okay.

20 A. -- that that exists.

21 EXAMINER ASHLEY: Okay.

22 EXAMINATION

23 BY MR. CARROLL:

24 Q. Mr. Alexander, what does the 39 mean above those
25 red squares?

1 A. That's just simply the well number. It's the
2 Allison Unit Number 39 well.

3 Q. Well, how come both the wells in the east half of
4 18, then, are listed -- have a 39 on them?

5 A. Well, one of them has -- You may not be able to
6 see it, but one of them should have a 39M, which is the
7 infill well to that 39.

8 Q. Oh, okay.

9 A. It may be a little hard to see that on that plat.

10 MR. CARROLL: Oh, I see. Okay, that's all I
11 have.

12 EXAMINER ASHLEY: I have no further questions.

13 MR. KELLAHIN: Our next witness is Mr. Van
14 Goebel.

15 VAN L. GOEBEL,
16 the witness herein, after having been first duly sworn upon
17 his oath, was examined and testified as follows:

18 DIRECT EXAMINATION

19 BY MR. KELLAHIN:

20 Q. Would you please state your name and occupation?

21 A. My name is Van Goebel. I'm currently employed by
22 Burlington Resources in Farmington, New Mexico. I'm a
23 senior staff landman. I'm currently assigned to the
24 drilling department to deal with their private-sector
25 problems.

1 Q. What has been your involvement with this
2 particular well and its location?

3 A. This well is located within the Allison Unit, and
4 the particular area we're drilling is an island of private
5 property ownership, and in that area we're currently
6 drilling 26 wells, two of which are located in Colorado,
7 the remaining on the New Mexico side, which falls within
8 this area of private ownership.

9 And my responsibility is to deal with the private
10 surface ownerships, to attempt to stake our wells, drill
11 our wells with minimum difficulty with the private sector.

12 MR. KELLAHIN: We tender Mr. Goebel as an expert
13 landman.

14 EXAMINER ASHLEY: Mr. Goebel is so qualified.

15 Q. (By Mr. Kellahin) Mr. Goebel, let's turn back to
16 Exhibit Tab Number 2. Let's go to Number 2. If you'll
17 turn past Mr. Stogner's letter, Ms. Bradfield's letter, the
18 APD, we're going to come to a C-102. Do you have it?
19 There you go. All right.

20 The configurations of the leases in the east half
21 of 18, as you understand them to be, are they shown on this
22 display?

23 A. Yes, they are.

24 Q. When we talk about the fee portion, which is the
25 top three-fourths of the spacing unit, are we talking about

1 a single fee owner?

2 A. In this particular case, there could be multiple
3 fee owners. What this indicates is that this is fee
4 minerals --

5 Q. All right.

6 A. -- ownership.

7 Q. Have the ownership of the surface been separated
8 in this tract from the ownership of the minerals?

9 A. What we've run into in San Juan County is that
10 only about 7 percent of the county is made up of private
11 ownership. The remaining 93 percent is made up of federal,
12 Indian and State ownership of the surface. The minerals
13 have been severed from the surface, this occurring many
14 years ago.

15 So many of the surface -- or a majority of the
16 surface owners we deal with receive no economic benefit
17 from the well, they receive no royalty payments.

18 Q. Is that the circumstance that exists in the east
19 half of this section?

20 A. That is correct.

21 Q. When we look at the bottom 25 percent, there's a
22 code that says NM-04207?

23 A. Yes.

24 Q. What does that mean to you?

25 A. That indicates it's a federal lease.

1 Q. Okay. Let's turn now to the aerial photo that's
2 shown behind Exhibit Number 8. Would you identify the
3 source of this photo?

4 A. Yeah, this is an aerial photograph showing
5 Section 18. Our drillblock is the east half of Section 18.
6 The Number 39 well, which would be the parent well, is to
7 be drilled in the northeast quarter of Section 18.

8 In there we've indicated by the boxes the
9 drilling windows that we would have to work with.

10 Q. All right. When I see the arrow -- it says
11 "Staked Location" -- that is the location for the 39 well?

12 A. That's correct.

13 Q. Have you satisfied yourself that this photograph
14 is an accurate representation of what you would see if you
15 were on the ground?

16 A. Yes.

17 Q. Within the northeast quarter, then, of 18 are
18 four boxes.

19 A. Yes.

20 Q. What do those represent?

21 A. Those are the drilling windows which we would
22 work with to try and stake an orthodox well.

23 Q. Under either the Dakota or the Mesaverde rules,
24 there's a 790-foot setback?

25 A. Yes.

1 Q. And then there's an interior setback, and so
2 these would be the drilling windows in the northeast
3 quarter for either spacing unit?

4 A. Yes.

5 Q. Why have you not chosen the southeast quarter of
6 18?

7 A. In this particular situation, on this particular
8 property owner, the Lee family, we have staked this year
9 four wells on their private property. Two of them we're
10 currently drilling, and we have now staked the Number 39,
11 which we've requested unorthodox approval, and we have
12 staked the 39M.

13 The family in this particular area has cleared
14 juniper/piñon, and what you see is the clear area there in
15 the northeast quarter, they have turned into pasture where
16 they attempt to run a cattle operation.

17 Q. There is a dashed outline and then an arrow
18 indicating this is view area?

19 A. What they also have done in here is, once they
20 have made the improvements, they have their house located
21 there. The dotted lines indicate the view area from their
22 deck. If we were put the well locations in the windows for
23 orthodox spacing, then we would be putting these wells
24 right in front of their house.

25 Q. Do you see the word "trunk" spelled out on the

1 plat?

2 A. The "trunk H" or the "trunk" indicates gas
3 pipelines.

4 Q. Just to the south of the "H" is a gas well
5 symbol. What is that?

6 A. That is the Fruitland Coal well, the 111.

7 Q. Did you explore the feasibility of placing the 39
8 well on the same pad with the coal gas well?

9 A. We did. However, we also need to stake the 39M.
10 If we staked the 39 on the existing pad, then for proper
11 reservoir drainage, even though they're off-pattern, they
12 would be too close together.

13 Q. So the concept that you were charged to execute
14 in the field was to find locations in the east half of 18
15 for two wells?

16 A. Yes.

17 Q. And the two wells were to be combination
18 Mesaverde and Dakota wells?

19 A. Yes.

20 Q. Did you discuss with the owner of the fee in the
21 east half of 18 where to position the wells?

22 A. Yes, we --

23 Q. And who is that owner?

24 A. That's the Lee family.

25 Q. Was Mr. Lee invited to come to the hearing today?

1 A. He was invited, but due to his work -- he works
2 out of state -- he was not able to attend.

3 Q. Okay. The location of the staked well as
4 indicated was achieved in what fashion?

5 A. We worked with the private property owner, Mr.
6 Lee, and he met with us, and we worked with him and came to
7 a compromise on this location, an attempt to try and not
8 put it in front of his house and use up his pasture.

9 Q. Let's turn to another depiction of this issue.
10 If you'll turn behind the aerial photo, there's a
11 topographic map.

12 A. Yes.

13 Q. Again, you've displayed similar information on
14 this exhibit, you've shown the location of the house and
15 the view area?

16 A. Yes.

17 Q. How long have you been working with Mr. Lee to
18 try to find a surface location for the 39 well that was
19 acceptable to him?

20 A. We probably worked with him over a period of
21 several days, and then when we went out to stake the 39M he
22 also was in attendance with us and worked with us in trying
23 to find a location that would work for both Burlington and
24 Mr. Lee as a private surface owner.

25 Q. Does the proposed location position the well at a

1 place on his property that is acceptable to him?

2 A. Yes, it does.

3 Q. Let's turn to what you would see if you were on
4 the surface and taking photographs from different positions
5 of point of view. If you'll turn behind Exhibit Tab Number
6 9, there are three panoramic photographs.

7 A. Yes.

8 Q. If you'll start with the top photograph, identify
9 for us who took these pictures.

10 A. Okay, I and our surveyor, Neal Edwards, went out
11 and met with the Lee family.

12 Q. If you were standing where the photographer was
13 standing and looking in the direction that the camera is
14 pointing, do these photographs in each instance accurately
15 reflect what you would see?

16 A. Yes, these photographs were taken from the front
17 deck of the Lee family's home.

18 Q. When we look at the first top photograph, if
19 you're standing at the home on the porch, what direction
20 are we facing?

21 A. Okay, if you look at the top photograph, you can
22 see the tanks of the 111 Fruitland Coal well. That would
23 be to the southeast.

24 Q. If you're trying to find the approximate location
25 of the 39 well, where would we take our eye to track out to

1 see where that well might be located?

2 A. You would look beyond where the tanks are,
3 probably a little to the left of those tanks, and they
4 would be back in the trees, and the trees would act as a
5 blind.

6 Q. The advantage to Mr. and Mrs. Lee is, that well
7 location is on the other side of certain trees that will
8 block that activity from his view?

9 A. Yes.

10 Q. The center photograph, again, is the position of
11 the photographer the same but the orientation slightly
12 different?

13 A. Yes, and this would be looking directly east from
14 their front deck.

15 Q. All right, and then the final photograph?

16 A. And the final one would be looking to the
17 northeast. So where you see their cattle in the bottom
18 photograph and you see the pond in the center there, those
19 pretty much would be where the windows are and where we
20 would be drilling the new well.

21 Q. All right. The standard locations for this
22 northeast quarter of Section 18 would be depicted in his
23 area of review out in his pastureland, would it not?

24 A. Yes.

25 Q. And he was opposed to having you do that?

1 A. Yes. What our engineering staff and our
2 geological staff allows us to do is, if they can recover
3 the reserves at a nonstandard location and were able to
4 work with the private surface owner, they give us the
5 leeway to try and work with them in order to position the
6 well so it has minimum interference with the private
7 property owner's use of his land.

8 Q. Did you go back to the technical people at
9 Burlington, the geologist, that has to make the ultimate
10 decision about the appropriateness of the unorthodox
11 location, advise him of the surface problems?

12 A. Yes.

13 Q. And did he express to you that the combination of
14 the surface owner would not compromise his opportunity in
15 either the Mesaverde or the Dakota reservoir?

16 A. Yes, he had a comfort factor that by positioning
17 this well in the nonstandard location, that we would still
18 be able to capture reserves.

19 Q. Following the photograph is a series of letters
20 that are stapled together. What do these represent, Mr.
21 Goebel?

22 A. These are letters from the Lee family, from the
23 husband and wife. Also there are letters in there from
24 some of his neighbors.

25 Q. Did you solicit these letters?

1 A. Yes, I advised them that the nonstandard location
2 was not going to be approved, or --

3 Q. You're referring to Mr. Stogner's denial of the
4 location?

5 A. That's correct.

6 Q. And you went back and told them that you had
7 tried to get approval and that he had denied your initial
8 request?

9 A. Yes, and that we would be going to hearing.

10 Q. And in response to that, they elected to put
11 their thoughts and comments in writing?

12 A. That's correct.

13 Q. And you've simply delivered them today to the
14 Division?

15 A. Yes.

16 Q. Do the circumstances of being in a federal unit
17 like this, where the equity has been consolidated, provide
18 a unique opportunity for you on unusual occasions to
19 accommodate a surface owner, particularly where he has no
20 interest in the minerals?

21 A. On the federal units we're able to have more
22 leeway in doing that, in that under the unit agreements and
23 the commitment of the acreage to the unit, the correlative
24 rights are protected, and under the unit agreement
25 participatings are formed which address the working owners'

1 interest in the wells, so that they all receive their
2 proportionate benefit from production and the reserves.

3 Q. Based upon the unusual circumstances that you're
4 faced with, Mr. Goebel, do you recommend approval of this
5 well location?

6 A. I would recommend approval of this location,
7 based on our activity in the unit and being in a federal
8 unit where we have an operating agreement in place, we have
9 the opportunity to maybe work with the surface owners,
10 maybe more so than we do in other areas.

11 Q. You mentioned earlier, and I have not recalled
12 the exact number, exactly how many wells are you going to
13 try to position and place upon property owned by the lease?

14 A. At this time, under our program this year, we
15 have four wells that we have staked. Two of them we will
16 be currently drilling, and these, the 39 and the 39M, would
17 be the remaining two.

18 Q. And thus far you've been able to reach a solution
19 that's satisfactory with Burlington and with the Lees?

20 A. Yes, we have.

21 MR. KELLAHIN: That concludes my examination of
22 Mr. Goebel.

23 EXAMINATION

24 BY EXAMINER ASHLEY:

25 Q. Mr. Goebel, you said that right now the Lees are

1 the ones that live in this house --

2 A. Yes.

3 Q. -- that own this house? And they are in
4 agreement with where you guys want to drill -- with where
5 Burlington wants to drill this well?

6 A. Yes. We have -- they -- On their particular
7 property, these are not what we're drilling now, are not
8 the only wells. We have like the coal well, we have other
9 Mesaverde wells on their property. So we have numerous
10 wells, probably about -- I'm guessing, but I'd say maybe
11 seven, eight wells on their property at this time.

12 So in order to try and not take up any more of
13 their property or interfere with their cattle operation, we
14 try and work with them to position these so they have
15 minimum impact on their use of the land.

16 Q. Okay. And this well is not going to be a
17 directional drill?

18 A. No, it not.

19 EXAMINATION

20 BY EXAMINER CATANACH:

21 Q. Mr. Goebel, did you guys drill the coal well
22 that's on that property?

23 A. Yes, we did.

24 Q. Did you have the same type of problem as when you
25 drilled that well?

1 A. When they drilled that well with the spacing
2 allowed for the coal well, you can see that it's on the
3 edge of their view area, so it was less offensive to them
4 than what we would be doing here with our Mesaverde-Dakota
5 wells.

6 Q. Is that also a nonstandard location?

7 A. I understand that for the coal that that is a
8 standard.

9 EXAMINER CATANACH: Standard location.

10 EXAMINER ASHLEY: I have no further questions.

11 MR. KELLAHIN: Mr. Examiner, David Clark is our
12 next witness. He's a petroleum geologist.

13 DAVID CLARK,
14 the witness herein, after having been first duly sworn upon
15 his oath, was examined and testified as follows:

16 DIRECT EXAMINATION

17 BY MR. KELLAHIN:

18 Q. Mr. Clark, would you please state your name and
19 occupation?

20 A. My name is David Clark. My employer is
21 Burlington Resources in Farmington, New Mexico. I'm a
22 senior staff geologist.

23 Q. When and where did you obtain your degree, Mr.
24 Clark?

25 A. I graduated with a bachelor's degree, with a

1 major in geology, from Colorado College in 1979.

2 Q. Have you been responsible for placing Dakota and
3 Mesaverde wells within the Allison Unit?

4 A. Yes, I have.

5 Q. And the 39 well is one of your project wells?

6 A. Yes, it is.

7 Q. Having Mr. Goebel explain to you his difficulties
8 and limitations of utilizing the standard drilling windows
9 in the northeast quarter of 18, have you examined the
10 geology to see what the consequences are to you in the
11 reservoir of putting the well where it's proposed to be
12 located?

13 A. Yes, I have.

14 Q. Let's turn to some of that examination. Does
15 that examination include both the Mesaverde and Dakota?

16 A. Yes.

17 Q. And we're about to see your work product?

18 A. Yes.

19 MR. KELLAHIN: We tender Mr. Clark as an expert
20 petroleum geologist.

21 EXAMINER ASHLEY: Mr. Clark is so qualified.

22 Q. (By Mr. Kellahin) Let me ask you to turn to
23 Exhibit Tab 4. Let's look at the first display you have
24 prepared and have you tell us what it is that we're looking
25 at.

1 A. You're looking at a contour map of Mesaverde
2 cumulative production as of December, 1997. The Allison 39
3 is shown as the red circle. The spacing unit for that well
4 is the east half of 18, the red rectangle. The Allison
5 Unit outline straddles the New Mexico-Colorado border as
6 detailed in black.

7 The small numbers beneath the well symbol is the
8 cumulative production. The only wells that are plotted on
9 this are Mesaverde producers. The well name is above the
10 posting.

11 This is a general reference map only. It shows
12 that we're in the middle of the Blanco-Mesaverde Pool. I
13 don't have any specific conclusions to draw from this map.

14 Q. Describe for us how to understand the color
15 coding.

16 A. The better wells are the yellow, green, light
17 green, grading down to the poorer wells which color-coded
18 in the blue.

19 Q. And the blue would represent acreage that has not
20 yet been exploited in the Mesaverde or, if there are wells,
21 those wells are -- have accumulated small levels of gas
22 production?

23 A. That's correct.

24 Q. Let's go to the next display and talk about the
25 general concept for further gas production in the

1 Mesaverde. If we look at this display, identify for us the
2 significance of the elliptical-shaped circles.

3 A. This is a map of drainage area, ultimate drainage
4 area, for the Mesaverde producers on the map. The density
5 of natural fractures controls the productivity in the
6 Mesaverde.

7 Burlington is conducting an extensive evaluation
8 of the Mesaverde. This map is derived from original gas-
9 in-place numbers, as well as a review of all producing
10 wells, to generate estimated ultimate recoveries. Those
11 two evaluations can lead one to the drainage area for each
12 well.

13 The elliptical shape is based on core data, well-
14 interference-test data, that shows directional permeability
15 variations of approximately ten to one, and the drainage
16 area ellipses reflect that, and we've got a three-times-
17 longer axis in the north northeast direction than the
18 other, which would be west northwest.

19 As you can -- So that's a description of this
20 map.

21 Q. When we look at the east half of 18 and the
22 opportunity to produce Mesaverde gas, a well located at any
23 position, orthodox or standard, has a similar opportunity?

24 A. That is correct.

25 Q. In this instance, the standard location is not

1 essential to you because there is no perceived difference
2 between the standard location and the unorthodox location?

3 A. That is correct.

4 Q. You are not compromising in the Mesaverde an
5 opportunity to be effective in that reservoir by moving to
6 the unorthodox location?

7 A. That is correct.

8 Q. So in this circumstance, in the Mesaverde, you
9 could accommodate a surface owner, if that was all the
10 surface people could manage for you?

11 A. That's correct.

12 Q. We could put it at the unorthodox location and
13 not compromise your access to the reservoir?

14 A. Yes.

15 Q. All right. Let's see what happens on the type
16 log. So that the Examiner knows exactly what you're doing,
17 if you'll turn behind the next tab, Exhibit 5, let's look
18 at a type log for an Allison Unit Mesaverde well. Identify
19 for us what you're meaning by the elliptical circles on the
20 prior exhibit. What's the target area?

21 A. The type log here is the Allison 1R, which is
22 located in Section 17, the southwest northwest quarter.
23 This is the neutron density log through the Mesaverde
24 section, from the upper Cliff House down through the Point
25 Lookout pay zones.

1 Burlington typically would complete from -- We
2 would perforate a large interval in probably a two-stage
3 frac covering the upper Cliff House through a portion of
4 the Menefee.

5 As far as the log goes, the Mesaverde section in
6 this interval, there are thin sands developed in the Cliff
7 House. An example would be 5400 foot, 5410 feet.

8 There are Menefee sands. A good example of one
9 of those is approximately 5515 to 5525.

10 There's a nice-looking Point Lookout section of
11 short-face sand benches. There's one at approximately 5660
12 feet that's relatively thick.

13 The highlighted red section is the logs displayed
14 on a regular sand matrix, so the gas effect crossover is
15 highlighted in red, and that's most prevalent in the Point
16 Lookout. So it looks to be an attractive Point Lookout
17 sand section.

18 Q. One of the options to you is to use the surface
19 location that's been approved by the surface owner and
20 directionally drill the well to a standard bottomhole
21 location. Have you asked your engineering department to
22 explore the cost of that type of activity, and if so, what
23 would it cost?

24 A. Yes, we did. We have taken a look at that upon
25 Mr. Stogner's recommendation.

1 The cost for a vertical wellbore for a commingled
2 completion is \$515,000. The additional cost to drill a
3 directional test with a lateral surface displacement of
4 1450 feet -- and that would be at total depth, that would
5 be the minimum we would consider acceptable to access the
6 area that we'd like -- the additional cost in doing that
7 would be \$190,000.

8 If you add the \$190,000 on to the cost for a
9 vertical wellbore, the well would not meet Burlington's
10 hurdle criteria for a drilling project for -- at this
11 current time.

12 So the additional cost to drill a directional
13 would make the drilling of this well uneconomic, and our
14 management would not approve that well.

15 Q. Do you gain a better position in the reservoir,
16 should you spend the extra \$190,000? Would it improve your
17 position in the reservoir or not?

18 A. As we've so far just addressed the Mesaverde, the
19 drainage ellipse map on Exhibit 4 says no, you would not
20 access any additional reserves, you would not improve your
21 location by doing a directional drill.

22 Q. Let's see if that also applies to the Dakota. If
23 you'll turn behind Exhibit Tab 7, let's look at the type
24 log for the Dakota and identify the two target intervals
25 that you have maps to illustrate.

1 A. I've mapped two intervals.

2 The large section, again, is for the Allison 1R
3 in the southwest northwest of Section 17. The map covers
4 the interval from the top of the Greenhorn down through TD
5 of the well. The top of the Dakota pick is approximately
6 7912.

7 The first of the two sands that I map, at 7935,
8 is the upper Cubero. That's the first sand.

9 The second sand, at 7975, is the lower Cubero.

10 The primary Dakota sand objective for this test
11 is the lower Cubero.

12 The upper Cubero will be thin, and the reserves
13 associated with that minor at the proposed location,
14 similar to what's shown in this type log.

15 Q. All right, let's go back, then, and look at the
16 displays behind Exhibit Tab Number 6 and have you discuss
17 for us the upper Cubero member of the Dakota.

18 A. This map, again, is the 39 wells, the red dot,
19 spacing unit in the east half of 18 is the red rectangle.
20 What I've mapped is the number of feet of upper Cubero with
21 resistivity value greater than 100 ohms. It's essentially
22 what we view as a net-pay map.

23 As I mentioned while viewing the type log, that
24 upper Cubero is thin. That resistivity threshold gives a
25 value of zero at the Number 1R. No matter where we locate

1 in an orthodox location in the east half of Section 18, the
2 reserves will be relatively minor due to us having between
3 zero and probably seven or eight of thickness in that upper
4 Cubero.

5 Q. All right, let's look at the display of the lower
6 Cubero, if you'll turn to the next display.

7 A. Okay, the lower Cubero is our primary target for
8 this well.

9 On the north northeast side of the Allison Unit
10 there is a thick trend of reservoir sand developed in the
11 lower Cubero. This map is an isopach map of the number of
12 feet with gamma ray less than 60. It's a net-sand map,
13 versus a net-pay map. That sand thickness appears to match
14 production characteristics.

15 The 1R has one of the thickest lower Cubero sands
16 encountered. That's the well in the southwest northwest,
17 17. As that sand continues to the northwest, it's nearly a
18 mile away, at the Number 24 well in the southwest quarter
19 of 7, where we have another thick sand penetration in this
20 lower Cubero. So we would like to place another well to
21 access reserves in the lower Cubero.

22 Q. The placement of the Dakota to access the lower
23 Cubero, is that compromised by moving to this unorthodox
24 location?

25 A. I don't think so. Based on the data that we

1 have, I'm predicting approximately 40 feet of sand
2 thickness at our proposed location in the lower Cubero, and
3 I don't think we can expect significant improvement upon
4 that in any other location in the east half of 18.

5 Q. Let's turn to the next display. You have an
6 Allison Unit Dakota cum production display.

7 A. This map, again, is in part for just general
8 reference. I don't have any specific conclusions to be
9 drawn from it. It shows that the Dakota production within
10 the Allison Unit can be pretty prolific.

11 There are wells -- Again, the hot colors, the
12 red, the yellow, the green, are higher cums to date, are
13 cums as of December, 1997. The blue are poor recoveries.
14 But you've got four wells within the unit that have already
15 produced greater than 5 BCF out of the Dakota.

16 Q. Have you examined to see if there is a structural
17 consequence to the unorthodox location, as opposed to the
18 standard locations in the spacing unit?

19 A. Yes, I have, and the next map -- The next map
20 illustrates that.

21 Q. And what are we seeing now?

22 A. This is a structural map drawn on the Greenhorn.
23 Again, it's the top horizon indicated on my type log. It's
24 a horizon that stratigraphically is very consistent across
25 the Basin. If you're looking for a horizon to map on with

1 around -- vertically around the Dakota that's not subject
2 to stratigraphic variations, the Greenhorn is a good one to
3 select.

4 The Allison Unit is located on the southwest
5 flank of the Ignacio anticline trend, which shows up as the
6 hot red colors, colors up in Colorado. We're on the flank
7 of that anticline, and as you drop down from the red color
8 at the top of the map, through the yellow, the green, you
9 drop into a structural low on the -- just on the southwest
10 side of the Allison Unit.

11 I don't -- It's our opinion that -- my opinion
12 from the upper Cubero and lower Cubero sand trends that
13 structure does not play a part in controlling the
14 productivity of those two particular sands. The structural
15 map through the east half of 18 shows no -- gives no
16 indication that any specific location structurally would be
17 better than any other.

18 MR. KELLAHIN: Thank you, Mr. Clark. That
19 concludes my examination of Mr. Clark.

20 At this point, Mr. Examiner, we would move the
21 introduction of Burlington's exhibit book. It's Exhibits 1
22 through 8.

23 EXAMINER ASHLEY: You have an Exhibit 9 in there
24 too.

25 MR. KELLAHIN: Yes, sir, I do. 1 through 9.

1 EXAMINER ASHLEY: Exhibits 1 through 9 will be
2 admitted as evidence.

3 No further questions.

4 (Off the record)

5 EXAMINER ASHLEY: At this time, Case 12,044 will
6 be taken under advisement.

7 (Thereupon, these proceedings were concluded at
8 2:30 p.m.)

9 * * *

10
11
12
13 I do hereby certify that the foregoing is
14 a complete record of the proceedings in
the Examiner hearing of Case No. 12044,
15 heard by me on Sept. 17 1998.

16 Mark Ashley, Examiner
Oil Conservation Division
17
18
19
20
21
22
23
24
25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) SS.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL September 22nd, 1993.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1998