

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)

APPLICATION OF BURLINGTON RESOURCES) CASE NOS. 12,046
OIL AND GAS COMPANY FOR STATUTORY)
UNITIZATION, LEA COUNTY, NEW MEXICO)

APPLICATION OF BURLINGTON RESOURCES) and 12,047
OIL AND GAS COMPANY FOR APPROVAL OF A)
WATERFLOOD PROJECT AND TO QUALIFY THAT)
PROJECT FOR THE RECOVERED OIL TAX RATE)
PURSUANT TO THE ENHANCED OIL RECOVERY)
ACT, LEA COUNTY, NEW MEXICO) (Consolidated)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

September 17th, 1998

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, September 17th, 1998, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

OIL CONSERVATION DIV.
98 OCT -5 AM 9:57

I N D E X

September 17th, 1998
 Examiner Hearing
 CASE NO. 12,046

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>RICK GALLEGOS</u> (Landman)	
Direct Examination by Mr. Kellahin	7
Examination by Examiner Catanach	18
<u>KEITH WINFREE</u> (Geologist)	
Direct Examination by Mr. Kellahin	22
Examination by Examiner Catanach	35
Examination by Examiner Ashley	42
Further Examination by Examiner Catanach	42
<u>DOUG SEAMS</u> (Engineer)	
Direct Examination by Mr. Kellahin	43
Examination by Examiner Catanach	66
REPORTER'S CERTIFICATE	82

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	8	18
Exhibit 2	9	18
Exhibit 3	9	18
Exhibit 4	10	18
Exhibit 5	11	18
Exhibit 6	11	18
Exhibit 7	12	18
Exhibit 8	15	18
Exhibit 9	15	18
Exhibit 10	17	18
Exhibit 11	24	35
Exhibit 12	26	35
Exhibit 13	27	35
Exhibit 14	30	35
Exhibit 15	30	35
Exhibit 16	32	35
Exhibit 17	33	35
Exhibit 18	44, 45	65
Exhibit 19	47	65
Exhibit 20	48	65
Exhibit 21	49	65
Exhibit 22	49	65
Exhibit 23	50	65
Exhibit 24	51	65
Exhibit 25	53	65
Exhibit 26	54	65
Exhibit 27	55	65
Exhibit 28	56	65
Exhibit 29	56	65
Exhibit 30	58	65
Exhibit 31	58	65

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

ALSO PRESENT:

MARK W. ASHLEY
NMOCD Petroleum Geologist
2040 South Pacheco
Santa Fe, New Mexico 87505

* * *

1 WHEREUPON, the following proceedings were had at
2 10:30 a.m.:

3
4
5 EXAMINER CATANACH: Okay, at this time we'll call
6 Case 12,046.

7 MR. CARROLL: Application of Burlington Resources
8 Oil and Gas Company for statutory unitization, Lea County,
9 New Mexico.

10 EXAMINER CATANACH: Call for appearances in this
11 case.

12 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
13 the Santa Fe law firm of Kellahin and Kellahin, appearing
14 on behalf of the Applicant.

15 We would ask that you consolidate Case 12,046
16 with Case 12,047.

17 EXAMINER CATANACH: At this time we'll call Case
18 12,047.

19 MR. CARROLL: Application of Burlington Resources
20 Oil and Gas Company for approval of a waterflood project
21 and to qualify that project for the recovered oil tax rate
22 Pursuant to the Enhanced Oil Recovery Act, Lea County, New
23 Mexico.

24 EXAMINER CATANACH: I'll call for additional
25 appearances in either of these cases.

1 Okay, will the witnesses please stand and be
2 sworn in?

3 MR. KELLAHIN: Yes, sir, I have three witnesses.

4 (Thereupon, the witnesses were sworn.)

5 MR. KELLAHIN: Mr. Examiner, at the time the
6 statutory unitization case was filed, there was still an
7 outstanding working interest owner that had a substantial
8 interest in Santa Fe Energy. This week they have executed
9 a ratification, and we now have a hundred percent joinder
10 by the working interest owners.

11 This is a small waterflood project. It is a
12 portion of the Delaware. It consists of portions of two
13 federal leases.

14 We need to make you a presentation on statutory
15 unitization because there are two overriding royalty owners
16 who Mr. Gallegos has contacted and repeatedly requested to
17 sign ratifications and has not yet received those. And so
18 we need to satisfy the requirements for committing
19 involuntarily those overrides.

20 The principal case, however, is a waterflood
21 project, and we have the geologist and the engineer to
22 present to you the components of the waterflood project and
23 to qualify our injection wells as having appropriate
24 mechanical integrity for the flood.

25 With your permission, then, we'll start our

1 presentation with Mr. Rick Gallegos.

2 RICK GALLEGOS,

3 the witness herein, after having been first duly sworn upon
4 his oath, was examined and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. KELLAHIN:

7 Q. Mr. Gallegos, for the record, sir, would you
8 please state your name and occupation?

9 A. Rick Gallegos, and I'm a senior landman with
10 Burlington Resources.

11 Q. On prior occasions, Mr. Gallegos, have you
12 testified before the Division?

13 A. Yes, I have.

14 Q. Has it been your responsibility as a landman for
15 Burlington to become knowledgeable about the interest
16 ownership within this project area?

17 A. Yes.

18 Q. As a result of that knowledge and information,
19 have you contacted all the various interest owners
20 concerning participation in this unit?

21 A. Yes, I have.

22 Q. In addition, has it been your responsibility to
23 seek preliminary approval from the Bureau of Land
24 Management for your project area?

25 A. Yes, I have.

1 Q. Are you knowledgeable about the various
2 contracts, including the unit agreement and the unit
3 operating agreement?

4 A. Yes.

5 MR. KELLAHIN: We tender Mr. Gallegos as an
6 expert witness.

7 MR. KELLAHIN: He is so qualified.

8 Q. (By Mr. Kellahin) Mr. Gallegos, let's start with
9 some preliminary background information for the Division,
10 and let's start back with the original concept and the
11 initial working interest owner meeting that occurred in
12 January of this year. And to help set the stage for that
13 discussion, let me direct your attention to Exhibit Number
14 1. What does this represent?

15 A. Exhibit Number 1 was the initial outline that we
16 had proposed for the waterflood project area.

17 After discussions with all the working interest
18 partners, we had an initial meeting in January, and then we
19 had a follow-up meeting in March. and at the March meeting
20 a consensus was reached to divide the project into two
21 different units, dividing it right there at the township
22 line, basically splitting the field in half. And part of
23 the reasoning for that was that the eastern portion of the
24 field had -- it had an increase in production due to some
25 water disposal wells in the area, and our reservoir

1 engineer, Doug Seams, will elaborate on that when he comes
2 up.

3 MR. KELLAHIN: Mr. Examiner, Exhibit 1 is the
4 original concept.

5 Exhibit 2 represents the configuration of the
6 project as we're asking your approval for.

7 And then Exhibit 3 is Mr. Gallegos' summary of
8 activities, so that you won't have to take notes on the
9 chronology; he's provided you a summary.

10 Q. (By Mr. Kellahin) All right, when we take the
11 original project area, were all the working interest owners
12 -- were all the working interest owners within the entire
13 concept area in attendance at the initial meeting?

14 A. Not all of them were, but all of them were aware
15 of it, and all of them had received notice.

16 Q. Okay. By the second working interest owner
17 meeting in March of 1998, had all the working interest
18 owners within the concept area been apprised of the
19 potential project?

20 A. Yes.

21 Q. And so as a result of that meeting, then, there
22 was an agreement to divide the project, and Burlington
23 elected to go forward with the project that's on the
24 eastern portion?

25 A. That is correct.

1 Q. Let's turn to Exhibit Number 2. With the
2 deletion of the two 40-acre tracts that are shown on the
3 Examiner's copy as crossed out in red, with the deletion of
4 those two 40-acre tracts, does that configuration represent
5 the tract configuration you're seeking approval for?

6 A. Yes, it does.

7 Q. Okay.

8 A. And the two 40-acre tracts were deleted as a
9 result of our meeting with the Bureau of Land Management.
10 Subsequent to that meeting, they had -- the BLM had
11 recommended that we delete the two tracts, and we agreed
12 with them, and since deleted them.

13 Q. The next sequence in the chronology, Mr.
14 Gallegos, is a letter you circulated on March 17th, 1998?

15 A. Yes, and in that letter we advised all of the
16 working interest owners in the original concept area that
17 we would be dividing it into two units.

18 Q. Okay. Let's set aside your chronology for a
19 moment. We will come back to other events on the
20 chronology.

21 If you'll turn now to Exhibit 4, what does
22 Exhibit 4 illustrate?

23 A. It illustrates all the tracts that are in the
24 waterflood project area that we are seeking approval of,
25 and it's got it broken down by ownership, by the various

1 tracts.

2 Q. Okay, so when we look at the subsequent contract
3 documents and we see this number- and letter-coding --

4 A. -- it will also be referenced in Exhibit B to the
5 unit agreement and unit operating agreement.

6 Q. Okay. We can come back to that one in a moment.
7 Let's turn to the preliminary approval letter from the BLM.
8 That's Exhibit 5. Identify for the record what we're
9 seeing.

10 A. What you're looking at there is a unit by the --
11 or, I'm sorry, a letter by the Bureau of Land Management
12 that gives us preliminary designation of the unit, their
13 approval, and in that approval was the deletion of the two
14 tracts.

15 Q. If you'll turn to Exhibit 6, would you identify
16 what this exhibit is?

17 A. Yes, that is the unit agreement for the Corbin-
18 Delaware Unit for our waterflood project.

19 Q. Is this a standard-form unit agreement the form
20 of which has been approved by the Bureau of Land
21 Management?

22 A. Yes, it is.

23 Q. If you'll turn to the back of that exhibit, let's
24 start looking at the exhibit attachments, starting with
25 Exhibit A to the unit agreement. What are we seeing here?

1 A. What you're seeing there is the outline of the
2 area to be included in the waterflood project, and a --
3 once again, a breakdown by the tracts, and then a
4 breakdown, too, by the two federal leases that are involved
5 in that unit.

6 Q. It's a unit area that consists of all federal
7 acreage, and that's divided into two separate federal
8 leases?

9 A. That is correct.

10 Q. When we turn to Exhibit B, have you satisfied
11 yourself that you have accurately tabulated the ownership
12 and identity of those owners by tract on this exhibit?

13 A. Yes, I have. The Exhibit B was taken from a
14 title opinion I had done by the law firm of Turner and
15 Davis.

16 Q. While we keep Exhibit B before us, let's turn to
17 the certificate of notification for hearing. It's Exhibit
18 7. Do you find that, Mr. Gallegos?

19 A. Yes.

20 Q. If you'll turn to the third page of that
21 certification, there's a tabulation of interest owners. Do
22 you see that? The third page?

23 A. Yes, I sure do.

24 Q. All right. Let's go down the page and have you
25 identify for us as of today what the current status is of

1 the voluntary commitment by this list of interest owners to
2 the unit.

3 A. Santa Fe Energy has committed to the unit,
4 they've furnished me with a ratification and joinder.

5 Q. At that point, do you now have a hundred percent
6 of the working interest owners --

7 A. Yes, I do --

8 Q. -- committed?

9 A. -- I have a hundred percent of the working
10 interest ownership ratified, it has ratified the unit.

11 Q. What is represented by the balance of the names
12 and addresses?

13 A. The balance of the names and addresses are all
14 overriding royalty interest owners. And there's two of
15 those that we have not received commitment from, Altura
16 Energy, Limited, and Leigh Wilber. The remainder of the
17 overriding owners, we have received their ratification and
18 joinders.

19 Q. Summarize the status of your discussions with
20 Altura.

21 A. I have -- I also followed up with phone
22 discussions with Altura on several occasions, and it's a
23 matter for them -- It's such a small deal to them that they
24 have not taken the time to look at it or to route it
25 through their management to get approval.

1 Q. What is their percentage interest in terms of an
2 overriding royalty in the unit?

3 A. Approximately .17 percent, so...

4 Q. And the other party is whom?

5 A. Leigh Wilber, and I have also spoke with Mrs.
6 Wilber. I think this is a case where they're just not
7 familiar with what they're signing. They're not the
8 original -- This override was handed down to them, so
9 they're not real comfortable in signing the document. They
10 really know nothing about it. I tried to explain it to
11 them. And they had indicated that they would probably try
12 to go to an attorney and have him look at it and get it
13 signed for us eventually.

14 Q. What percentage interest is associated with their
15 interest?

16 A. Once again, Leigh Wilber has approximately .17
17 percent.

18 Q. Okay. And at this point, then, you have what
19 total percentage of royalty and overrides committed to your
20 project --

21 A. Approximately --

22 Q. -- on a voluntary basis?

23 A. -- 96.73 percent of the royalty and overrides
24 have committed to the unit.

25 Q. Okay. When we move back to the unit agreement

1 and look at Exhibit B, then Altura will be indicated on
2 this display, and your documents will also show the
3 override to Leigh Wilber?

4 A. That is correct. Leigh Wilber will have an
5 override under Tracts 1A, -B and -C, and Altura will have
6 an overriding royalty interest under Tracts 1A, 1B, 2A and
7 2B.

8 Q. And finally, appended to the operating agreement
9 is an Exhibit C. What does this show?

10 A. The Exhibit C shows a breakdown of the interest
11 by tracts.

12 Q. Turn your attention now to the unit operating
13 agreement, Exhibit 8. Do you have an opinion as to whether
14 this is a standard form operating agreement that has been
15 edited to be suitable for unit operations?

16 A. Yes, it is a standard form unit operating
17 agreement, we have modified slightly.

18 Q. And all the working interest owners have signed
19 and committed their interest under the operating agreement?

20 A. Yes, they have.

21 Q. Turn with me to Exhibit 9, Mr. Gallegos. Would
22 you identify and describe this display?

23 A. Exhibit 9 was the original letter, both an
24 original letter and a follow-up to the overriding royalty
25 interest owners, seeking their commitment to the unit

1 agreement and unit operating agreement.

2 Q. Under this proposal you identified for them the
3 proposed unitized interval?

4 A. Yes, I did.

5 Q. And you estimated for them what your technical
6 people had advised you was the potential additional oil
7 that might be recovered if this project is approved and is
8 successful?

9 A. That is correct.

10 Q. When we go back to your chronology, then, we
11 follow the course of events where you have submitted to the
12 working interest owners the agreement. Was there a
13 submittal to the working interest owners of the various
14 engineering reports that --

15 A. Yes, there --

16 Q. -- formed the basis for the unit?

17 A. Yes, there was. That was submitted on June 8th.
18 The agreements were submitted on May 22nd, and then we
19 followed up with an engineering report on June 8th.

20 Q. When we follow through the correspondence, then,
21 after the July 13th letter, what happened after that?

22 A. After the July 13th letter, we were able to get
23 82.5 percent of the working interest owners committed, and
24 roughly about 85 percent of the working interest owners,
25 and then subsequently we got 100 percent of the working

1 interest and 97.63 percent of the overrides and royalty
2 owners.

3 Q. As a petroleum landman, do you now believe you
4 have effective and efficient control over unit operations,
5 to make this project effectively controlled by the unit
6 operator?

7 A. Yes.

8 Q. Let me ask you to turn to Exhibit 10. Exhibit 10
9 refers to the notice to the offset operators within a half-
10 mile radius of the injection wells. This notice list was
11 compiled based upon a C-108 submittal from your company?

12 A. Correct.

13 Q. All right. To the best of your knowledge, have
14 you received any objections from any of the offset
15 operators who --

16 A. I have not received --

17 Q. -- are entitled to notice?

18 A. -- any.

19 Q. Okay. At this point in the approval process, Mr.
20 Gallegos, the remaining activity to be completed is an
21 order from the Division allowing the inclusion of these two
22 overriding royalty interest owners, plus the Division's
23 approval of the waterflood project?

24 A. That is correct.

25 Q. Once you have those approvals, then you can go

1 back to the BLM and get final unit approval?

2 A. That's correct.

3 Q. Do you have a time frame for what you believe to
4 be your company's actual initiation of the waterflood
5 project?

6 A. It will probably be, I would estimate, January of
7 next year, of 1999.

8 Q. Thus far, have you received any objection from
9 any of the parties that you have contacted concerning their
10 participation in the project area?

11 A. No, I have not.

12 MR. KELLAHIN: That concludes my examination of
13 Mr. Gallegos, Mr. Catanach.

14 We move the introduction of Exhibits 1 through
15 10.

16 EXAMINER CATANACH: Exhibits 1 through 10 will be
17 admitted as evidence.

18 EXAMINATION

19 BY EXAMINER CATANACH:

20 Q. Mr. Gallegos, do you eventually anticipate
21 obtaining the approval of the Wilber interest? Is it
22 Wilber?

23 A. Yeah, it was Leigh Wilber and Altura Energy, were
24 the two outstanding interests. And yes, I do. I spoke
25 with Mrs. Wilber's husband earlier this week on Monday, and

1 he said it was just a matter of unfamiliarity with it, and
2 they were going to try to talk to some of their relatives
3 and possibly take it to an attorney and that they would
4 like to go ahead and get it ratified and to us.

5 I also anticipate getting Altura Energy's also.
6 Theirs was more of a time constraint. It was so small to
7 them, in the scheme of what they do, that they just haven't
8 had to take any time to deal with it, more than anything.

9 EXAMINER CATANACH: Mr. Kellahin, I don't recall
10 an instance where we have just statutorily unitized royalty
11 interest owners. Do you have any recollection --

12 MR. KELLAHIN: I don't recall an instance either.
13 It's appropriate, though, as you would do in a compulsory
14 pooling case, to have a mechanism to commit their interest
15 so that they can share with their appropriate percentage.
16 In the absence of that, then we are in the legal dilemma of
17 having to figure out how to pay them their share on a
18 leasehold basis, and it just doesn't work.

19 EXAMINER CATANACH: I don't have a problem
20 issuing an order. I guess my question is, have you looked
21 at the Statutory Unitization Act and satisfied yourself
22 that we have in your unit agreement or in your unit
23 operating agreement everything that's necessary to issue a
24 statutory unit order?

25 MR. KELLAHIN: Yes, sir.

1 EXAMINER CATANACH: There is?

2 MR. KELLAHIN: Yes, sir.

3 EXAMINER CATANACH: Including allocation -- how
4 allocation of production is to be handled?

5 MR. KELLAHIN: We have an engineering witness
6 that's going to talk to you about tract participation, the
7 equities established, and that his ultimate conclusion is
8 that we are fair, reasonably and equitably allocating unit
9 production on an appropriate basis. So we're going to hit
10 all the pegs for you with some other witnesses.

11 EXAMINER CATANACH: Okay, as long as we have that
12 in the record.

13 MR. KELLAHIN: Yes, sir.

14 Q. (By Examiner Catanach) Mr. Gallegos, you have
15 actually -- Have all the working interest owners actually
16 signed this agreement?

17 A. Yes, they signed a ratification and joinder,
18 which effectively commits their interest to both the unit
19 and the unit operating agreement.

20 Q. And is it just Burlington and Santa Fe, are the
21 only two working interests?

22 A. No, there's Burlington Resources; Santa Fe; RKC,
23 Inc.; and Central Resources. So there's four working
24 interest owners.

25 Q. Okay. Can you tell me why the two 40-acre tracts

1 were excluded by -- or sought to be excluded by BLM?

2 A. Yeah, I can get into it. Our geologist will
3 expand on it. But basically, it was because the sand
4 was -- basically covered less than 50 percent of the
5 tracts, so they had recommended that we exclude them from
6 the unit. And our geologist will elaborate on that.

7 Q. Okay. It also appears to me that the acreage in
8 Section 7 has yet to be drilled; is that correct?

9 A. Let me check. There are -- I believe there is a
10 well on 7. And this is -- Our reservoir engineer was going
11 to address this portion of it.

12 Q. Okay. Who made the decision to exclude the west
13 half of this pool?

14 A. It was made -- Basically, it was a consensus of
15 the parties at the second working interest owner meetings,
16 and the two big parties in the entire field are Santa Fe
17 Resources and Burlington Resources.

18 And Santa Fe Resources was in support of it also.
19 They, I think, will pursue, or they have indicated that
20 they will pursue unitizing this western portion of the
21 field, and they will operate that. They are the big owner
22 there, and we're the big owner in the east half.

23 Q. But Burlington does have an interest in what
24 would be the western --

25 A. Yes, we do.

1 Q. You have no indication of when they might pursue
2 that?

3 A. They were -- At the time, they were going to
4 pursue it continually with ours, but they have kind of
5 fallen behind, and my guess, it will probably be next
6 spring, and that would be -- That's just an estimate. They
7 have indicated that they are going to pursue it, though.

8 EXAMINER CATANACH: That's all the questions I
9 have of this witness, Mr. Kellahin.

10 KEITH WINFREE,
11 the witness herein, after having been first duly sworn upon
12 his oath, was examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. KELLAHIN:

15 Q. All right, you're the real Mr. Winfree, huh?

16 A. That's correct.

17 Q. Please state your name and occupation.

18 A. My name is Keith Winfree. I'm a senior staff
19 geologist with Burlington Resources.

20 Q. Mr. Winfree, on prior occasions have you
21 testified before the Division?

22 A. Yes.

23 Q. As part of your duties as a petroleum geologist,
24 have you made an investigation of the geology surrounding
25 this project?

1 A. Yes.

2 Q. This project was originally studied by Platt
3 Sparks and Associates, was it not?

4 A. That is correct.

5 Q. As part of their original project study, did they
6 include a detailed study of the geology?

7 A. Yes.

8 Q. And it was your task to review the geologic
9 information they had used, to review their conclusions, and
10 to see whether or not you were in agreement with them; is
11 that not true?

12 A. That's correct.

13 Q. Based upon that effort, do you now have
14 conclusions and opinions concerning the project area?

15 A. That's correct.

16 MR. KELLAHIN: We tender Mr. Winfree as an expert
17 petroleum geologist.

18 EXAMINER CATANACH: He is so qualified.

19 Q. (By Mr. Kellahin) Let's talk about some of those
20 opinions. Have you satisfied yourself that it is
21 geologically logical to configure the tracts within this
22 unit as proposed?

23 A. Yes.

24 Q. There is a logic to the boundary of the unit and
25 an organization of the tracts in such a way that you can

1 effectively and efficiently expose a certain portion of the
2 Delaware to a waterflood?

3 A. Yes.

4 Q. Within the geology of the unit, have you
5 satisfied yourself that the various maps that were used are
6 accurate and reasonable --

7 A. Yes.

8 Q. -- and that based upon that mapping that Platt
9 and Sparks has constructed a hydrocarbon pore volume map
10 that appropriately allocates reservoir volume to each of
11 the tracts?

12 A. Yes.

13 Q. In addition, are you satisfied that the other
14 geologic parameters that are involved in this Application
15 are fair and reasonable?

16 A. Yes.

17 Q. Let's turn first of all to the interval that's
18 contained within the unitized section. If you'll take this
19 type log for me, Exhibit 11, identify and describe for us
20 what portion of the Delaware is subject to the unit.

21 A. As you can see on this type log, we've indicated
22 the unitized interval. This is a density neutron porosity
23 log. It is the Meridian Oil, Incorporated, West Corbin
24 Federal Number 22. It's within the unit, the proposed
25 unit.

1 The top of the unitized interval in this well is
2 at 5002 feet, which corresponds to the top of the lower YZ
3 sandstone, which you can see on the log is a porosity zone,
4 and we've colored the porosity greater than 8 percent in
5 yellow.

6 The unitized interval also includes the upper
7 member of the "A" sand, which is the second yellow zone
8 beginning at 5026. It includes the lower member of the "A"
9 sand, which begins at 5050 feet. And then it also includes
10 the "B" sand, which begins at 5084 feet. The base of the
11 unitized interval is the base of the "B" sand at 5100 feet.

12 Q. As part of the presentation, we'll show the
13 Division a structure map in a moment, and then you're going
14 to have four -- You're going to show them a structure map,
15 and then you're also going to show them four individualized
16 isopachs that subdivide the Delaware into the various
17 members that were studied?

18 A. That's correct, isopachs of hydrocarbon pore
19 volume.

20 Q. All right. What we will look at is a hydrocarbon
21 pore volume map, which is the final conclusion map for each
22 of those members?

23 A. That's correct.

24 Q. Before we get to that, let's illustrate for the
25 Division Exhibit 12 so they can see the well density where

1 those wells are located within each 40-acre tract. Would
2 you do that by describing Exhibit 12 for us?

3 A. Certainly. The Exhibit 12 is a simple map which
4 shows the individual 40-acre spacing units within the
5 proposed unit, and they're colored in yellow. The wells
6 that have produced from these sands already are indicated
7 with the letters "prod".

8 And then the -- to the left of each circle
9 indicating the location of the well, there are a series of
10 abbreviations which relate to the sands.

11 If we just take one, for example, the well -- the
12 furthest northwest producing well produces from the UYZ,
13 which is the upper YZ. That's outside the unitized
14 interval. It also produces from the lower YZ, which is
15 within the unitized interval. And it produces from the
16 AUM, which stands for the upper member of the A. The ALM,
17 which you can see in some of the other wells, is the lower
18 member of the "A", and then the "B" is indicated just by
19 the letter "B".

20 So what the map shows is that all of these zones
21 are productive somewhere within the unit, and they're not
22 present in every well. Every well has not produced from
23 all four units.

24 Q. Have you satisfied yourself that with this
25 configuration and with the current well density that we

1 have fully exploited the opportunity for primary recovery
2 and that it now is timely to initiate a waterflood for
3 secondary recovery?

4 A. Yes.

5 Q. Do you see any reasonable potential benefit to
6 delaying the waterflood until all 40-acre spots have been
7 drilled with Delaware wells?

8 A. No.

9 Q. Is there a structural and geologic basis for the
10 proposed location and number of injection wells in relation
11 to the producers?

12 A. Yes.

13 Q. Let's look at that first relationship. If you'll
14 turn to Exhibit 13 -- Mr. Examiner, those are pretty small
15 copies, and we've got some enlarged copies to aid your
16 ability to see the details.

17 All right, the first display, Mr. Winfree, is
18 Exhibit Number 13, and it is a structure map. If you'll go
19 to the display board. Now, this is just one of a great
20 many number of structure maps you could have selected out
21 of the Platt-Sparks study; is that not true?

22 A. That's correct.

23 Q. Would this be characteristic, though, of the
24 structure so it would serve purposes to illustrate the
25 structural concept and relationship of the wells?

1 A. Yes, they're all very similar.

2 Q. All right, give us a short summary with focus on
3 why the three wells that had been selected for conversion
4 to injection -- in fact, one of them is currently a
5 disposal well, is it not?

6 A. That's correct.

7 Q. All right. Display for us the reasoning for
8 using these three wells for injection.

9 A. Okay. First let me just introduce the map so
10 that we'll all be able to see what I'm talking about.
11 There's one section, one square mile, give you an idea of
12 the scale.

13 The structure contours in this particular
14 structure map are on the top of the Delaware "A" upper
15 member. I chose that because that's where the bulk of the
16 reserves are, so this is the most important of all the
17 structure maps to look at.

18 We have a contour interval of 20 feet, and the
19 highest contour up here is minus 1040. The lowest contour
20 on the map is minus 1320, so we have that sort of a range.

21 The obvious geologic conclusion is that we have a
22 dipping surface that generally dips off to the south, into
23 the Basin. It has these small structural noses on it, but
24 overall we have an updip area in the northern end of the
25 unit, a downdip area in the southern end of the unit.

1 The injection wells are all positioned in the
2 downdip end of the unit, and the reason for that, which
3 I'll show you with the hydrocarbon pore volume maps, is,
4 the sands extend below the oil-water contact in this
5 direction, and up here the sands reach a stratigraphic
6 pinchout. So having downdip injectors is the most
7 efficient way to get at all of these zones.

8 The oil-water contact for this particular
9 reservoir, the upper member of the A, is approximately
10 minus 1180.

11 Q. Let's go to the first hydrocarbon pore volume
12 map, and let's start with the highest interval within the
13 unitized section. This is the lower YZ sand?

14 A. That's correct.

15 Q. Describe for us how this is mapped and what
16 conclusion you've reached.

17 A. Okay, the process that was used to generate all
18 of these hydrocarbon pore features for these maps was to
19 start with the structure, the oil-water contact, to map the
20 gross sand interval with porosity greater than 8 percent,
21 then to map the water saturation, map the thickness of the
22 zone above the oil-water contact, and then to sum all of
23 those through a volumetric calculation into hydrocarbon
24 pore-feet.

25 This map here appears -- or -- Let me back up.

1 Again, we have the same scale here, and I have a contour
2 interval of .1 pore-feet. The zero line on this map is
3 constrained on the downdip end by an oil-water contact, and
4 on all other sides by a pinchout, which is mapped by
5 mapping gross sand. So it's a very -- It's a small
6 accumulation, restricted just in this part of the unit.

7 Q. This conclusionary map for the hydrocarbon pore
8 volume was used as part of the calculations, then, to come
9 up with the parameters to be negotiated for participation?

10 A. That's correct.

11 Q. All right. Let's go down to the next level, and
12 which one's that going to be?

13 A. The upper member of the "A".

14 Q. Again, identify and describe this display.

15 A. We have the same scale, and in this one we have a
16 .5 pore-foot contour, slightly different.

17 The zero line up here is determined by the updip
18 pinchout of the sand, and this is structural contour
19 following along here for the downdip oil-water contact. So
20 we have quite a thickness of hydrocarbon pore footage
21 through this part of the unit, and then it extends up to
22 about right there, and then we have the downdip area where
23 it's wet, but that's where the injectors will be.

24 Q. Let's use this as a means to walk around the
25 boundary. Let's look at the zero line in the southern

1 portion of Section 7, which is at the top end of the unit.

2 A. Okay.

3 Q. We have included three 40-acre tracts in the
4 south half of the south half of 7. They're in the unit,
5 right?

6 A. Yes.

7 Q. Do each of these three tracts satisfy the BLM's
8 criteria for having at least a calculated 50 percent of
9 those tracts above the zero line?

10 A. That's correct.

11 Q. All right. So in order to have the ability to
12 allocate reservoir share, it's necessary to include those
13 tracts and give them their percentage value of pore volume
14 in the unit?

15 A. That's correct.

16 Q. I also see that there's wells been drilled in
17 those tracts, some of those tracts.

18 A. That's correct.

19 Q. Are you satisfied that there is no need to drill
20 further Delaware wells in those tracts at this time?

21 A. Yes, I am.

22 Q. And you have sufficient control to give you some
23 certainty about the location of the zero line?

24 A. Yes. These are deeper, so we do have data, even
25 though there's no Delaware producing wells there.

1 Q. When we go to the southeastern corner of the
2 unit, we've got some tracts that have a portion of the pore
3 volume that is very minimal, and yet those tracts are
4 included. Those tracts also include some injection wells.
5 What's the rationale for the inclusion of the tracts in the
6 unit?

7 A. Well, the actual -- There's three reasons.
8 That's the proper location for the injectors, is one. All
9 of the tracts have some hydrocarbon pore volume in them.
10 And when you look at the tract map, you can see that these
11 pieces down here are part of larger tracts that have large
12 amounts of hydrocarbon pore volume in them.

13 So in other words, the tracts are larger than the
14 40-acre spacing units.

15 Q. And if the Examiner wants to see how that is
16 configured, he can go back to Mr. Gallegos' Exhibit Number
17 4, and he can see how the ownership is divided within the
18 unit based upon those tracts?

19 A. (Nods)

20 Q. All right. Let's go to the next layer down, and
21 we're going to get the what? "A"? Lower member?

22 A. That's correct.

23 Q. All right, sir, if you'll continue and identify
24 and describe that display.

25 A. Same scale. In this case, the contour interval

1 is .1 pore-feet, although for clarity on the map some of
2 the contours are left out, so I'll just make it real clear.
3 This is a zero pore-feet, .2 pore-feet, .5 pore-feet, .6,
4 .7 and .8.

5 And this looks very similar to the upper member
6 of the "A", very similar geologic situation, as you'd
7 expect since they're so close together on the log. Updip
8 sand pinchout, downdip oil-water contact.

9 Q. All right, and let's go to the last display.
10 This is going to be the "B" member of the interval, and
11 it's Exhibit Number 16 [sic]. Would you identify and
12 describe that display.

13 A. This map is the same scale. The contour interval
14 is .5 feet. The "B" sand is more discontinuous than the
15 "A", and so we have downdip oil-water contact -- excuse me,
16 downdip zero lines on the hydrocarbon pore volume, which
17 relate to the oil-water contact. We have updip sand
18 pinchout lines, relating to the updip zero hydrocarbon pore
19 volume.

20 Q. From a geologic point of view, let's talk about
21 the mechanics of how you're going to flood the intervals.
22 Are all the producing wellbores in the unit going to be
23 open to each of these four members? If they have it
24 present?

25 A. Yeah, if they have hydrocarbon pore volume

1 present, they will be completed in that interval.

2 Q. All right. For flood purposes on the injectors,
3 in what members will you have perforations open in the
4 injectors to help assist the oil production out of the
5 producers?

6 A. If you look at all three of the injectors
7 together, then all of the zones will be open and will be
8 supporting injection.

9 Q. The initial intent of the project is to utilize
10 existing wellbores as producers and/or injectors?

11 A. That's correct.

12 Q. And you'll continue to use an approved disposal
13 well as an injector?

14 A. Yes.

15 Q. Show us which one is the disposal well.

16 A. I may not know --

17 Q. I think it's the one in the northwest of the
18 southeast of Section 18.

19 A. The West Corbin Number 1?

20 Q. I think so. All right. Now, this data, if I
21 understand correctly, was taken and compiled and used for
22 determining the equity formula for each of the tracts?

23 A. That's correct.

24 Q. Okay. What is your geologic opinion about the
25 feasibility of this project within this area?

1 A. I think it's extremely feasible. I think we've
2 got production data that would suggest that's...

3 Q. Geologically, within the various members, then,
4 there appears to be enough reservoir continuity within that
5 mapped area to give you the ability to put water in one
6 well and produce oil, with that assistance, out of another
7 well?

8 A. That's correct.

9 MR. KELLAHIN: That concludes my questions for
10 Mr. Winfree.

11 We move the introduction of his Exhibits 11
12 through 17.

13 EXAMINER CATANACH: Exhibits 11 through 17 will
14 be admitted as evidence.

15 EXAMINATION

16 BY EXAMINER CATANACH:

17 Q. Mr. Winfree, did you come up with the hydrocarbon
18 pore volume maps?

19 A. No, I did not. It was done by Platt and Sparks.
20 The geologist's name is on here, Mike Clemenson. But I've
21 reviewed all this data.

22 Q. This was done on information that your company
23 supplied to Platt and Sparks?

24 A. That's correct.

25 Q. And have you -- Do you agree with the conclusions

1 that were reached by that company?

2 A. Yes.

3 Q. The actual allocation of hydrocarbon pore volume
4 feet, is that totaled up in a later exhibit?

5 A. No, we don't have a single composite hydrocarbon
6 pore volume map.

7 Q. Okay.

8 A. But that was included -- You know, the total of
9 all four zones was a parameter for equity determination.
10 The reservoir engineer will go into some detail on that.

11 Q. Okay. That was just one of the factors --

12 A. Yes --

13 Q. -- or was that -- Okay. He'll go into that --

14 A. He'll go into --

15 Q. -- more detail?

16 A. -- detail on that, yes, sir.

17 Q. The northern boundaries of the proposed unit were
18 determined by a sand pinchout; is that correct?

19 A. That's correct.

20 Q. And how was that determined

21 A. From subsurface mapping. The actual map prepared
22 by Platt and Sparks was a -- It was titled a gross sand
23 map, and it was an isopach of gross interval of sand
24 greater than 8-percent porosity, with the understanding
25 with less than 8-percent porosity has no permeability.

1 Q. Did that map include all of the four producing
2 horizons, the gross sand map?

3 A. There was one done for each, that's correct.

4 Q. Now, were the well logs -- You said there were
5 some wells drilled in Section 7?

6 A. That's correct.

7 Q. Now, were those well logs utilized to
8 determine --

9 A. Yes.

10 Q. -- whether or not there was sand present?

11 A. Yeah, in fact, on that map right there you can
12 see that the well in the east part of the unit in Section 7
13 has zero hydrocarbon pore volume, and that's because that
14 well had zero sand in it.

15 Q. I'm sorry, which quarter section?

16 MR. KELLAHIN: Identify for the record what
17 you're looking at. Exhibit 15, isn't it?

18 EXAMINER CATANACH: I think there's a problem
19 with the exhibit numbers, Mr. Kellahin. I think the larger
20 exhibits were not -- didn't correspond --

21 MR. KELLAHIN: They're not identified in -- I'm
22 sorry, we're confusing you and me, then. They're not
23 numbered the same way.

24 THE WITNESS: It is 15, Exhibit 15. I'm
25 referring to this well right here. The logs on that well

1 indicate there was no sand, so it then followed there was
2 no hydrocarbon pore volume. That is in the southwest of
3 the southeast of Section 7.

4 Q. (By Examiner Catanach) And your closest control
5 point from there to the south would be the well in the
6 northwest of the northeast of 18; is that right?

7 A. That's correct.

8 Q. So you've got a large area in there that you have
9 no control points. How would you determine where that zero
10 line would be in relation to in between those two wells?

11 A. Well, you would make an extrapolation from this
12 point right here, .96, and the zero -- You could make an
13 extrapolation that the zero would be right there. Or you
14 could make an extrapolation that it could be further to the
15 south. You've got to do something that's reasonable there.

16 Your typical way of doing this is to try to
17 contour something that looks geologically reasonable
18 without having extremely pinched contours except in an area
19 where you have well control that says that's the correct
20 thing. So this well here helps you establish that line.
21 You know this well has got to be beyond it.

22 So it is an interpretation, of course, but I
23 think this is a very reasonable interpretation.

24 Q. Okay. There's a tract, the northeast quarter of
25 the southeast of 18, that appears to have very little

1 hydrocarbon pore-volume feet.

2 A. That's correct, on that interval -- if I may
3 refer to another exhibit, which is correctly labeled as 17,
4 there is some hydrocarbon pore volume in here.

5 Q. Okay, and that's in the "B" sand?

6 A. The "B" sand, that's correct. I think that's the
7 only one that has an appreciable amount. That's correct.

8 However -- well -- Did I answer your question?

9 Q. Yes.

10 A. All right.

11 Q. So there are no plans at this point to drill any
12 additional wells in Section 7; is that correct?

13 A. That's correct.

14 Q. But it's your opinion that some reserves will be
15 contributed from that acreage to unit production?

16 A. That's correct.

17 Q. On Exhibit Number 12, we're looking at your
18 nomenclature. What does BHP stand for?

19 A. I didn't prepare this exhibit, but my opinion is
20 that that is a bottomhole pressure, that the data was taken
21 from the deeper wells. BHP -- Yes, those are locations of
22 the deeper reservoir wells. And so some type -- I believe
23 some type of data was gathered there, but I don't have
24 direct experience with the preparation of this map.

25 Q. Okay. Are there any plans to drill any

1 additional wells in any of the 40-acre tracts on the unit?

2 A. Not at this time.

3 Q. I guess I'm a little confused with regards to the
4 acreage BLM would allow into the unit and would not allow.
5 What was the criteria that they used?

6 A. Again, I'll have to speculate. I wasn't directly
7 involved in that, and we could defer the question to the
8 reservoir engineer. I think he was more involved in that
9 discussion, although I can speculate if that's what you'd
10 like.

11 Q. We can hold off and wait and ask the reservoir
12 engineer that question. I'm just curious as to why some of
13 the tracts were allowed in and why some of them were not
14 allowed in by BLM, or recommended to BLM.

15 What interval of the Delaware is this that we're
16 talking about? This is the Brushy Canyon or Cherry Canyon?

17 A. I haven't studied this in detail, but I do have
18 an opinion that it's the Cherry Canyon.

19 Q. As far as you know, is this portion of the
20 Delaware the only portion that's productive in this area?

21 A. Well, there is the production of the upper YZ,
22 which is outside the unit -- unitized interval, above the
23 unitized interval. So I believe the answer to your
24 question would be no, there are other zones that produce in
25 the Delaware within this area.

1 Q. So your unit, though, would just encompass these
2 four producing members?

3 A. That's correct.

4 Q. Is there a chance that somebody would drill a
5 well on this acreage for anything outside the unitized
6 interval, in the Delaware?

7 A. I think there could always be a chance. I don't
8 think it's very probable. I think it would be an
9 uneconomic proposition, is my opinion.

10 Q. Now, the Corbin-Delaware -- Is it the Corbin-
11 Delaware Pool we're talking about?

12 A. I believe the --

13 Q. West Corbin-Delaware Pool, it appears, is what it
14 is. Now, that pool takes into account the whole Delaware
15 formation; is that right?

16 A. I don't know the answer to that question.

17 Q. Now, do you guys actually have data that supports
18 what you've determined to be the oil-water contact in each
19 of these zones?

20 A. Yes.

21 Q. And that's from well control?

22 A. Production data, yes.

23 Q. And the remaining working interest owners have
24 all agreed to the way that you propose to allocate this
25 production?

1 A. That's correct.

2 EXAMINER CATANACH: I have nothing further of
3 this witness -- Yeah, I'm sorry, hold on a second.

4 EXAMINATION

5 BY EXAMINER ASHLEY:

6 Q. Mr. Winfree, in the type log you have another
7 zone that shows the perforated -- just -- I don't know, 49-
8 -- What is that? 4946, 4944, 4948?

9 A. That's correct.

10 Q. What zone is that?

11 A. That's the upper YZ.

12 Q. That's the upper YZ?

13 A. Yes.

14 Q. That's not going to be included as part of this?

15 A. No.

16 Q. Okay, so those wells that are still producing
17 from the YZ will continue?

18 A. I believe that is the case, but that would be a
19 good question for the reservoir engineer. I think he's
20 going to address that subject.

21 EXAMINER ASHLEY: Okay. I have no further
22 questions.

23 FURTHER EXAMINATION

24 BY EXAMINER CATANACH:

25 Q. So that -- any production that's coming from that

1 interval would not be attributed to unit production; is
2 that correct?

3 A. That is correct.

4 Q. How would you separate that out?

5 A. I'm not really qualified to answer that, but that
6 question will be addressed.

7 EXAMINER CATANACH: Okay. This witness may be
8 excused.

9 DOUG SEAMS,

10 the witness herein, after having been first duly sworn upon
11 his oath, was examined and testified as follows:

12 DIRECT EXAMINATION

13 BY MR. KELLAHIN:

14 Q. Mr. Seams, sir, would you please state your name
15 and occupation?

16 A. My name is Doug Seams. I am a petroleum engineer
17 working as a reservoir engineer for Burlington Resources in
18 Midland, Texas.

19 Q. As part of your duties as a reservoir engineer,
20 have you made a study of the Platt-Sparks engineering
21 report on this project?

22 A. Yes, I have.

23 Q. In addition, have you participated with the other
24 working interest owners to identify and negotiate and
25 finally agree upon reservoir parameters and participation

1 formulas for the unit?

2 A. Yes, I have.

3 Q. Are you familiar with the production history for
4 the wells in the unit area?

5 A. I am.

6 Q. And based upon your study, have you now reached
7 certain conclusions and opinions concerning the opportunity
8 to effectively and efficiently recover additional
9 hydrocarbons out of the Delaware Pool?

10 A. I have.

11 MR. KELLAHIN: We tender Mr. Seams as an expert
12 reservoir engineer.

13 EXAMINER CATANACH: He is so qualified.

14 Q. (By Mr. Kellahin) Mr. Seams, let's start with a
15 little background information.

16 Before the Examiners are a series of displays
17 that you have submitted, the first one of which is Exhibit
18 18. It is stapled together so that after the summary page
19 there is individual production histories for each of the
20 wells in the unit area; is that not true?

21 A. There is production history for each of the wells
22 in the unit area, save and except two, which are specific
23 exhibits unto themselves, which we'll review later on.

24 Q. Let's start with a short summary of what has been
25 the production history.

1 A. Well, the West Corbin-Delaware field was
2 initially discovered back in 1976, in September of 1976, by
3 Aztec Oil and Gas, by drilling and completing the West
4 Corbin Federal Number 2 in the Delaware.

5 Full field delineation -- not development but
6 delineation, happened through the development of deeper
7 horizons in the Bone Spring and the Wolfcamp.

8 And then full field development occurred with
9 about 20 producers, right at 20 producers, and one disposal
10 well. And when I say full field, that is the entire field
11 that we're talking about, and not just the unitized
12 interval.

13 Q. You're talking about the Delaware wells to the
14 west of the current project area?

15 A. Yes, I am.

16 Q. Are you satisfied that we have exhausted the
17 opportunity for primary production in terms of drilling new
18 wells?

19 A. Yeah, I'm fully satisfied.

20 Q. We're ready to initiate a waterflood project?

21 A. Yes.

22 Q. Let's look at the production history, then. If
23 you'll start with Exhibit 18, show us what's occurred.

24 A. Well, looking at Exhibit 18, this is a total
25 production curve for just the wells that are involved in

1 the unit. And the wells involved in the unit are currently
2 seven producing wells and one disposal well. That disposal
3 well, once again, is the West Corbin Federal Number 4.

4 What I have here is a daily production graph,
5 starting from 1976, with the initial production of that old
6 Aztec well, which is now the Burlington Resource well, and
7 then all the way up through present.

8 As you can see up at the top line in the green,
9 is a barrels-of-oil-per-day curve. Next beneath it is the
10 gas production. Underneath it with the yellow curve is a
11 GOR curve, a gas-oil-ratio curve. Underneath that in blue
12 is a water-production curve. And then on the bottom in a
13 red or magenta-type color are the disposal volumes, labeled
14 as injection volumes, from the West Corbin Federal Unit
15 Number 4.

16 Now, as you take a look at these curves, the
17 current production for the wells in our unit area, our
18 proposed unit area, is 98 barrels of oil per day, 62 MCF
19 per day, and 793 barrels of water daily. Our current daily
20 disposal volumes into the West Corbin Unit Number 4 is
21 right at about 1600 barrels of water per day.

22 Our total cumulative production volumes, through
23 about May of this year, are 795,000 barrels of oil, 759
24 million cubic feet of gas and 3.1 million barrels of water.
25 Now, that 3.1 million barrels of water, total cumulative

1 injection into the West Corbin Unit Number 4, our disposal
2 well, stands at 2.7 million barrels of water injected into
3 that well.

4 Q. When we look at Exhibit 18, there appears to be a
5 flat production history for the oil produced from a period
6 from 1978 through 1989, and then there is an elevation in
7 the production plot for the oil. What has occurred during
8 that period of time to cause that to happen?

9 A. Well, looking at the character of that daily oil
10 production curve, the West Corbin Unit Number 2 was on
11 production for probably the first ten or twelve years of
12 that. That is a single well's production. And we'll
13 review that well's production curve in detail, but you can
14 see that there's ample waterflood response on that well,
15 stabilizing and then increasing the production.

16 The later production jump, or I should say
17 production increase, between 1990 and 1993 is the full field
18 development, with the field being delineated through deeper
19 wells, twin wells were drilled, which you can probably see
20 on some of the maps, and went in and developed on a full
21 field effective that Delaware reservoir.

22 Q. Would you turn to Exhibit 19 and identify and
23 describe this display?

24 A. Exhibit 19 is a quick reference. It shows where
25 the existing wells are in the unit, open meaning our 40-

1 acre tracts that won't physically have a producer or
2 injector within the proposed unit.

3 And then it has the wells labeled as they are
4 today, pre-unitization. They will be involved in the unit.
5 For example, if you follow right through the middle of the
6 unit on the far west side, you've got the West Corbin 20,
7 the West Corbin 17, 15, et cetera. Those are all wells
8 that will be involved with the unit.

9 Q. All right, identify and describe Exhibit 20.

10 A. Exhibit 20 is very similar to Exhibit 19. It
11 just gives you an idea of the quality of the type of wells
12 that we're dealing with.

13 I have there color-coded the average daily oil,
14 gas and water production. And you can see the oil shown
15 there as the first number; it shows up as blue. The gas
16 number is in the middle, and then the water production is
17 there in kind of a darker purple.

18 You can see that our production wells range from
19 the West Corbin 20 of 23 barrels of oil per day, all the
20 way down to the West Corbin Number 22, which is right at
21 about four barrels of oil per day.

22 Q. Let's turn to Exhibit 21 and look at the specific
23 performance of the West Corbin Federal 2 well.

24 A. Now, before we leave Exhibit Number 20, if you
25 can keep that handy, if you look at the far southern end of

1 the field you'll see the location of the West Corbin Number
2 4. That is our disposal well. That well disposes into one
3 of the primary flood zones of this field. It has disposed
4 2.7 million barrels.

5 Now, with that you would anticipate some flood
6 response to some of the nearby wells. And if you'll look
7 just to the northeast where the West Corbin Number 2 is,
8 this well has experienced by far the most significant flood
9 response, and probably should: It's been there by far the
10 longest, along with that disposal well.

11 Now, moving on to Exhibit Number 21, as we just
12 referenced here, this is a production curve of the West
13 Corbin Federal Number 2, and the West Corbin Federal Number
14 2 only. Now, I have on there indicated by a dashed line
15 what my estimated primary decline of that well would have
16 been without the injection support of the disposal well.
17 You can see that there's been a significant amount of flood
18 response even through today for that well.

19 Q. If additional injector wells are added, and you
20 continue to utilize the disposal well as an injector, have
21 you made a forecast or an estimate of the opportunity for
22 additional oil recovery?

23 A. I have. What we're doing here is, we're adding
24 two additional injectors to the one existing well that
25 technically is an injector. And Exhibit Number 22 shows

1 what we would get without that additional waterflood
2 modification and what type of reserve recovery we would get
3 with it.

4 The upper dashed line represents the model for
5 what we would get with the additional waterflood reserves,
6 and that represents total remaining recovery of reserves of
7 261,000 barrels. Now, without this waterflood
8 modification, our estimated total remaining reserves are
9 right at 100,000 barrels.

10 So that gives the total project an incremental
11 amount of 161,000 barrels by adding those two additional
12 injectors and modifying that pattern.

13 Q. Let's turn to Exhibit 23 and have you identify
14 and describe this display.

15 A. Exhibit Number 23 is the last of the well-
16 production curves that we haven't yet looked at. There was
17 initially many stapled in the first exhibit we looked at.
18 We looked at the West Corbin Number 2.

19 And this is just an exhibit that shows, where I
20 have a dashed line, that shows what I thought the existing
21 or the primary decline would have been without the support
22 of that disposal well. And then I have an estimate of what
23 the total flood cumulative production was to an existing
24 date, and this going to become very important when we take
25 a look at the tract participation parameters and how we

1 estimated what the total remaining oil to recover through
2 waterflood operations will be.

3 Q. Identify and describe for the Examiners what's
4 contained within the package of pages identified as Exhibit
5 24.

6 A. Exhibit Number 24 is an excerpt from the
7 engineering study that I compiled from the Platt and Sparks
8 study. Platt and Sparks completed a waterflood feasibility
9 study for us, and then with that data I completed the
10 engineering study in order to proceed forward with it.

11 The parts critical to the waterflooded included
12 are, here, the reservoir description; the reserve analysis
13 on the second page. And I want to point out one of the
14 critical pieces to the reserve analysis on the second page.

15 If you look at the first subtopic, "Remaining
16 Hydrocarbon Target", the remaining hydrocarbon target is
17 one of three factors that we have used in the tract-
18 participation parameters, and it is by far the largest.
19 And as we've discussed some of the other data, you'll see
20 that it probably has by far the most impact on working
21 interest and is also most meaningful in how to determine
22 those working interests.

23 The remaining hydrocarbon target is defined as
24 using a one-to-one secondary-to-primary ratio, then
25 defining what the primary recovery would be for each well,

1 and then determining what total EUR would be with
2 waterflood operations. The amount that that is, less the
3 cumulative production it has made so far, is the remaining
4 target for us to go after by this waterflood modification.

5 If you flip all the way back to the fourth page,
6 there's a full litany of reservoir data, all the way from
7 average reservoir depths to pressures, gas-oil ratios, et
8 cetera.

9 One of the curious things, or I think interesting
10 things about this reservoir, is that the recovery factor to
11 date is already close to 20 percent. So just through
12 disposal operations in a downdip disposal well, we've
13 already had excellent recoveries through the partial
14 waterflood process.

15 And then on the very last page we have what would
16 be the pre-unitization well names, or old name, there
17 listed on the left, and then we have the new name, which we
18 tried to keep as consistent with the old names just to
19 avoid confusion.

20 The well names will effectively change from the
21 West Corbin Unit Number, et cetera, to the Corbin-Delaware
22 Unit Number, et cetera.

23 We actually did not call it the West Corbin-
24 Delaware Unit. Since Santa Fe is planning to unitize the
25 west half, we'll leave that to them.

1 Q. Let's look at Exhibit 25, Mr. Seams. It shows
2 that there is an equity determination using the following
3 reservoir parameters and percentages, remaining recoverable
4 oil of 60 percent, the hydrocarbon pore volume of 30
5 percent, and surface acreage of 10 percent.

6 Do you have an opinion as to whether that is a
7 fair and reasonable allocation back to the tracts of their
8 appropriate share of the hydrocarbons?

9 A. Yes, I do. As you look at our factors, we have
10 three main factors. Sixty percent of it goes to the
11 remaining EUR of that particular tract, 30 percent to a
12 hydrocarbon pore volume, and then 10 percent to acreage.

13 We feel its remaining EUR is by far the largest
14 magnitude of importance, because we have had partial
15 waterflooding through the areas, and those wells that have
16 received almost complete waterflooding have almost next to
17 no remaining target, regardless of what pattern
18 modifications we do. So that has a 60-percent bearing.

19 Now, due to the unknown nature of what we do, we
20 still think hydrocarbon pore volume is a very important
21 number, and that has a 30- percent bearing on it. And we
22 have included some tracts that are very significant in the
23 roles of injection. They have little hydrocarbon pore
24 volume on them, but on the downdip side we needed those
25 tracts for injection, and we have a 10-percent acreage

1 participation factor for those issues.

2 Now, this spreadsheet is ordered by ownership
3 tract on the left, and you can see each of the individual
4 values for each of the tracts as you flow down, and of
5 course across.

6 Q. When we look at Exhibit 26, what are we seeing
7 here?

8 A. Exhibit 26 is a summation of Exhibit 25 using the
9 estimates that we had for remaining EUR or, in essence,
10 remaining secondary target, hydrocarbon pore volume
11 numbers. And then the acreage is, we've determined through
12 the four working interest owners, the working interest for
13 each owner.

14 Kind of an interesting thing to note is, it
15 really wasn't advantageous for us in any way that we are a
16 constant 78.55-percent working interest across the full
17 unit area.

18 Q. Are you satisfied that the formula and the basis
19 for the formula allocate production of hydrocarbons to the
20 separately owned tracts in the unit area on a fair,
21 equitable and reasonable basis?

22 A. Yes, I feel it was very fair and equitable,
23 especially taking into account the already existing semi-
24 waterflooded condition of the reservoir that we're trying
25 to unitize.

1 Q. Are you satisfied that the division of the pool
2 into an eastern portion and a western portion -- that there
3 is the ability of Burlington as the unit operator to
4 control the flow and migration of hydrocarbons along the
5 western boundary of the unit, so that correlative rights
6 are protected?

7 A. Yes, I do. We have discussed this in detail with
8 the probable operator of the western unit, Santa Fe. And
9 if you look back -- If I remember, it's Exhibit 12, it
10 showed the flood pattern of what we're attempting. We do
11 have a producer there that lies next to the boundary, and
12 all of our injection basically will push the product updip.
13 We're very comfortable that we won't lose or actually gain
14 product across that east-west line that divides those two
15 proposed units.

16 Q. Let's turn to Exhibit Number 27 and have you
17 identify and describe this display.

18 A. The waterflood implementation plan really
19 consists of converting two existing producers to injection,
20 and this is a well-cost estimate or a workover estimate
21 that -- would it take in order to make that happen.

22 It's going to cost approximately \$81,500 to
23 convert the West Corbin Number 6 to an injection, and then
24 that same cost again to convert the West Corbin Number 22
25 to an injector.

1 Q. All right, let's turn to Exhibit 28 and have you
2 identify and describe that display.

3 A. Exhibit Number 28 just takes a look at the
4 original oil-in-place estimates to see if some of our
5 recoveries are valid and within a reasonable range. And as
6 I said earlier, the primary EUR for this field is
7 approaching 20 percent; it's 18.7 percent.

8 Throughout the cumulative production so far,
9 throughout these semi-waterflooded conditions, it looks
10 like we'll recover up to 28 percent. That includes the
11 100,000 barrels of remaining reserves.

12 With the additional waterflood implementation, it
13 looks like the recovery of total oil in place is going to
14 be approaching 38 percent, which is actually very high.
15 It's a very efficient waterflood area.

16 Q. Would you turn now to Exhibit 29, and let's go
17 through the chronology and your time line for the project.

18 A. This chronology is -- basically shows where we've
19 been, where we're at and where we want to go, and hopefully
20 it will give you an effective idea of the pace of our
21 project.

22 We initially mailed out our engineering
23 summaries, which we reviewed a portion of a second ago, on
24 June 8th, 1998.

25 On June 9th, 1998, we solicited the BLM for

1 approval.

2 On June 17th, we telephoned the partners for
3 approval.

4 We mailed out the hearing notices on August 25th.

5 We are having our Commission hearing today, so
6 right there in the middle of our chronology is where we're
7 at today.

8 Then hopefully we can gain Commission approval
9 somewhere in the middle of the month of October.

10 We'll permit our injection wells in November.

11 And we plan to do all of the capital work in
12 1999, just as soon as possible, more than likely in the
13 month of January.

14 Now, we do have the potential for an additional
15 infill well, which we'll evaluate in June of 1999 -- that
16 would be over on the far western side of the field -- to
17 perhaps trap any oil that looks like it may be migrating to
18 the west. Right now, we don't feel like it's feasible.
19 But we're going to monitor the wells, just to make sure
20 that that won't happen.

21 Q. In your opinion, is the management and operation
22 of this as a unit feasible?

23 A. Yes.

24 Q. In the absence of unit operations in the
25 waterflood project, what happens to these wells?

1 A. Well, we recover 100,000 barrels and we're done.

2 Q. Let's turn to the topic of the C-108, Mr. Seams.

3 Mr. Seams, I have given you a copy of Exhibit Number 30 and
4 also a copy of Exhibit Number 31. What is the purpose of
5 Exhibit Number 31?

6 A. Exhibit Number 31 is a correction to a portion of
7 Exhibit Number 30. Upon further review of the cement tops,
8 we noticed that there was some potential errors. We wanted
9 to go to the best source of data. We did that, and that
10 best source of data was often temperature surveys, CET logs
11 and CBL logs. And so I've corrected each one of those
12 cement tops where applicable.

13 And so as you go through the C-108, please refer
14 to the amended cement tops for that information.

15 Q. Have you reviewed the C-108 and satisfied
16 yourself that within the half-mile radius of each injection
17 well, we have tabulated all the wellbores within those
18 areas for review?

19 A. Yes, I have.

20 Q. Okay. Exhibit 31 represents your latest re-
21 examination of those matters?

22 A. Yes, it is.

23 Q. When we look at the relationship of the injection
24 interval to the cement in those wells, do you find any
25 wellbores which we might characterize as problem wells, in

1 which it may be necessary to take further remedial
2 action --

3 A. Yes.

4 Q. -- in order to isolate any casing from the
5 formation that's being exposed to the flood?

6 A. Yes, I have.

7 Q. Identify for the Examiners which, if any, wells
8 you indicate as potential problem wells.

9 A. Referring back to Exhibit Number 31, you see the
10 listing of the wells flowing across from left to right. If
11 you look right in the middle of the listing you'll see
12 something called a TOC, top of cement, and just to the
13 right of that is the estimated top of the cement. And then
14 off just to the right is by the method that we determined
15 it.

16 For instance, if you come down just one line to
17 the West Corbin Federal Number 5, you'll see TOC, top of
18 cement, at 7075 feet, determined by temperature survey. TS
19 is temperature survey. This is one of the wells that will
20 be a potential problem for us.

21 Q. What, if anything, do you propose to do with this
22 well? This well is operated by whom?

23 A. This well is operated by Burlington Resources.

24 Q. And it's currently perforated in the Wolfcamp?

25 A. It is currently producing out of the Wolfcamp,

1 yes.

2 Q. How will you address this issue?

3 A. This well is currently marginal within the
4 Wolfcamp. We're going to look at all the potential
5 recompletion potential, and in that process we will either
6 P-and-A the well or recomplete it. But as part of that
7 process, we will squeeze this interval within the flood
8 interval to make sure that there's no flow behind the pipe.

9 Q. Okay. Are there any other potential problem
10 wells?

11 A. There is -- As you flow through here, there is an
12 asterisk that marks each one of them. There's a potential
13 problem well that's just noted just to the left of that
14 TOC. There's two on the first page and two on the second
15 page.

16 The first two on -- The two on the first page is
17 the West Corbin 5, which we just discussed and then the
18 Huber 17 Federal Number 1. Both of these wells are
19 operated by Burlington Resources, and both of these wells
20 are marginal currently.

21 Now, the two on the second page are actually the
22 same well, just different operators, change in ownership.
23 They're both the West Corbin Federal Number 1, so we have
24 three total wells that are potential problem wells for us
25 in this area.

1 The West Corbin Federal Number 1 also is a
2 marginal well and has the same-type decisions attached to
3 it, that we either need to look at P-and-A'ing this well,
4 recompleting it. But both of those aspects, we'll isolate
5 that zone with cement, the potential flood zone with
6 cement, I should say.

7 Q. In examining this project, Mr. Seams, you're
8 aware that the Division normally issues injection approval
9 with a pressure surface limitation, are you not?

10 A. Yes, I am.

11 Q. The standard practice of the Division is in the
12 absence of step-rate tests or other data, they will limit
13 you to .2 p.s.i. per foot of depth to the top perforation.
14 If they use that practice, what would be your maximum
15 surface pressure for injection?

16 A. Right at 1000 pounds, 1000 p.s.i.

17 Q. All right. Do you anticipate that that's going
18 to be adequate to allow you to effectively use these
19 injection wells for flood purposes?

20 A. I think it's going to be a little bit less than
21 what we're going to need. We have a flood that is very
22 much like this about a mile and a half to the east, and
23 injection pressures there are typically 1200 to 1300
24 pounds, p.s.i.

25 Q. If the Division approves this Application and

1 provides an administrative procedure for you to submit
2 step-rate tests or other data to get an administrative
3 increase in the pressure, would that be suitable?

4 A. Yes, it would.

5 Q. The source of the water to be used for injection
6 wells is what?

7 A. It's from the local production, and that consists
8 of the Wolfcamp, the Bone Springs and the Delaware.

9 Q. And this is the same water that's currently being
10 disposed of in the disposal well?

11 A. Yes, it is.

12 Q. Do you see any compatibility problems or other
13 issues with regards to using those sources for injection
14 purposes?

15 A. No, we don't through either the field injection
16 process or formal testing.

17 Q. Let's have you turn the C-108 through to one of
18 the schematics, and let's look at an illustration of how
19 you propose to convert the producer to an injection well.

20 A. I am several pages back, I'm looking at the West
21 Corbin Federal Number 6, and I'm looking at the current
22 completion. As you can see, this well currently has
23 tubing, a rod pump in the hole. The triangles represent a
24 tubing anchor catcher.

25 What we plan to do with the West Corbin Federal

1 Number 6 is, if you turn to the next page, we will go back
2 in the hole with an injection string of tubing, more than
3 likely some type of lining in order to lessen the effects
4 of corrosion, have an injection packer, and we'll actually
5 squeeze off that upper Delaware set of perforations.

6 As we were looking at the unitized interval, if
7 you remember, it consisted of the lower YZ, the "A" and the
8 "B". Well, this has an upper YZ in it, which is not part
9 of the unitized interval, and we'll squeeze any nonunitized
10 interval off in the two injectors.

11 Q. The research that went into the preparation of
12 the C-108 demonstrates that if there is any opportunity to
13 produce fresh water, it's at very shallow depths; is that
14 not true?

15 A. Yes.

16 Q. Describe for us what search has been made to
17 determine the source and the extent of utilization of any
18 freshwater sources.

19 A. We have contacted the state and federal
20 geologists on the sources of fresh water in the area and
21 came up with no known sources.

22 And we actually did a visual search by foot
23 with -- and we've documented that with some of the digital
24 pictures you probably have in the back of your C-108.

25 So we've done both a visual search and also a

1 technical search through the sources that we have.

2 Q. Where is fresh water coming from that is utilized
3 to any extent within this area?

4 A. This field is located just off the Mescalero
5 Scarp. It's kind of on the way from Hobbs to Loco Hills.
6 And as you drive along the highway, as you come down off
7 the scarp, you can see back up on the scarp some very large
8 tanks. Those are all freshwater tanks which are attached
9 to pipelines, which feed both livestock and other type of
10 industrial applications down in the Basin. To my
11 knowledge, there's no known freshwater wells down there to
12 feed that, so it's all fed from up top in the scarp.

13 Q. Are all the existing wells in this area of review
14 adequately cased in such a configuration to protect any
15 shallow freshwater sources if it was determined there were
16 any existing?

17 A. Yes, they are. The surface casing was set and
18 cemented to surface on every instance.

19 Q. What kind of rates do you anticipate in terms of
20 injection rates for the wells?

21 A. We anticipate between 500 and 1000 barrels of
22 water injected per day.

23 Q. And you have the source of produced water to use
24 those volumes without utilizing fresh water?

25 A. Yes, we do.

1 Q. Summarize your conclusions and opinions for me,
2 Mr. Seams, concerning the appropriateness of this project
3 and why you're seeking to have approval by the Division.

4 A. We're seeking approval for formal unitization of
5 this unit because we have, in effect, a partial waterflood
6 that has responded very well. We would like to go ahead
7 and complete the waterflood and recover the potential
8 incremental reserves of 161,000 barrels. It would make
9 full utilization of our current wellbores, and it would
10 also, of course, bring the added value of those reserves to
11 all the working interest owners and, of course, net
12 interest owners.

13 Q. In your opinion, will we be afforded the
14 opportunity to recover oil that would not otherwise be
15 recovered?

16 A. Yes, we will.

17 Q. And is the allocation of the hydrocarbons to be
18 recovered done on a fair, reasonable and equitable basis?

19 A. Yes, they are.

20 MR. KELLAHIN: That concludes my examination of
21 Mr. Seams.

22 We move the introduction of his exhibits,
23 starting with Exhibit 18 and going through to Exhibit 31.

24 EXAMINER CATANACH: Exhibits 18 through 31 will
25 be admitted as evidence.

EXAMINATION

BY EXAMINER CATANACH:

Q. Mr. Seams, do you by any chance know what order authorized the Number 4 well to be used as a disposal well?

A. No, I don't.

Q. Okay.

A. I can say we researched that within our regulatory department, but I wasn't party to that.

Q. Okay. But we probably want to reclassify that as an injection well?

A. Yes, we do.

Q. Are you making any change to that injection well?

A. No, actually its injection profile right now and mechanical setup is very adequate.

Q. Are there any plugged wells in the area of review?

A. In the area within the unit boundaries?

Q. Well, within the area of review of the injection wells, half-mile radius.

A. Yes, there are. If you'll take a look at Exhibit Number 31, we've got noted on there the wells that are plugged. In fact, the very first well listed on there, the Continental Federal, operator Bob Dean, Limited, is a plugged well.

Q. Where would I find the schematic diagram for that

1 P-and-A'd well?

2 A. It may not be in there. The schematic diagrams
3 attached are for the wells that will be involved in
4 injection. We did not attach a schematic diagram for every
5 well listed on Exhibit Number 31.

6 Q. We need that, P-and-A diagrams for all the
7 P-and-A'd wells within the area of review.

8 A. Okay.

9 Q. Do your Exhibits show which of the four intervals
10 the injection wells will be perforated in? Does that show
11 up somewhere?

12 A. Uh-huh. If you look at the wellbore diagrams in
13 the C-108 -- it's probably not explicitly listed -- it
14 shows the depths, the intervals, and it shows where our
15 current completion is. And then with a crossout-type note
16 it shows that interval that we will squeeze. And those
17 intervals that we will squeeze are, of course, in the
18 nonunitized interval. And in each case, they happen to be
19 an upper YZ member.

20 Q. Okay, but you're not going to be injecting -- In
21 each of the injection wells, you're not going to be
22 injecting into all the producing intervals; is that right?

23 A. If I understand your question to be, will each
24 injector have all of the producing intervals? Now, for
25 instance, the current disposal well only has the "A" and

1 the "B". There's no YZ zone present.

2 The other two, the 6 and the 22, actually have
3 collectively all four of the zones.

4 Q. So they will be open in all four zones?

5 A. Uh-huh.

6 Q. Is there -- Aside from the injection wells, is
7 there YZ production in the remainder of the unit wells,
8 producing wells?

9 A. I think there's one. I don't know if I've got
10 that map handy, let's see.

11 Q. Okay, and how is that going to be handled?

12 A. We talked to the working interest owners about
13 that, if they desired for us to go in there and squeeze off
14 that zone. But it was so small that they elected just to
15 go ahead and leave that open in the producers, but we would
16 squeeze it off in the injectors.

17 I think there's one -- Let's see. There's two
18 producers where that exists.

19 Q. Two producing wells?

20 A. Uh-huh.

21 Q. And your plans would just be to leave that zone
22 open?

23 A. Uh-huh.

24 Q. And just combine that with unit production?

25 A. The zone in those areas is actually very thin.

1 We could go in there and spend the effort to cement squeeze
2 that off, but we're concerned about the fracture
3 stimulation of that.

4 And we are concerned much more on the injection
5 style, that if you lose a lot of injection, the upper YZ,
6 then -- it really affects the performance of the unit and
7 those unit parameters. But on the production side, we're
8 pretty confident that we're nearing the end of depletion
9 and that we're comfortable with not squeezing that off in
10 the productive wells.

11 Q. Do you have any idea how much that zone might be
12 contributing, as far as production goes?

13 A. I can tell you the zone as a whole, as a whole
14 isopach. It only has 50,000 barrels of secondary
15 recoverable reserves, so its primary reserves would be
16 about 50,000 barrels. And that -- and only -- Less than 20
17 percent of that is in the unit area; the other 80 percent
18 is south of the unit area. It's a very thin zone that has
19 some very thin stringers up into our unit area. It's not
20 feasible for us to waterflood it where we're at. It's also
21 too small.

22 I can't quantify for you what its production is,
23 but it's a very minor zone in respect to the other
24 producing zones.

25 Q. I may ask this of Mr. Kellahin or the landman:

1 Does that have any implications of producing a zone that's
2 not included in the unitized interval?

3 MR. KELLAHIN: With the agreement of the parties,
4 I see that it does not. The owners of that out-of-unit
5 interval have concurred that we would not have to isolate
6 it, and to be produced with the unit production. And by
7 agreement, then, they have waived their independent
8 opportunity to produce it otherwise.

9 And as a feasible matter, it would not be
10 produced.

11 THE WITNESS: Uh-huh.

12 MR. KELLAHIN: It would simply be gone.

13 THE WITNESS: It would be lost.

14 MR. KELLAHIN: So at least we recover. It would
15 be lost otherwise.

16 Q. (By Examiner Catanach) I'm just a little bit
17 further curious: Why wouldn't you include the upper YZ in
18 the unitized interval, Mr. Seams?

19 A. Two of the biggest impediments to including the
20 upper YZ in the flood is, number one, it's very small. If
21 you look at the mapping of it, if you look at the
22 hydrocarbon pore volume mapping of it, the total potential
23 flood reserves for the upper YZ is 50,000 barrels, and only
24 20 percent of that is within our unit area. The rest of it
25 lies to the south. So it makes the waterflood much more

1 difficult to manage with all those multiple zones.

2 If you look at the potential within our
3 waterflood, probably 75-plus percent of the reserves are in
4 the "A" zone, maybe even close to 80 percent. That's
5 really what we wanted to concentrate on, and there were
6 some zone that came along coincident with that. The upper
7 YZ really wasn't coincident with the "A" zone. It was
8 really further deposited to the south, and it's also very
9 small.

10 We'd like to just very much exclude it from the
11 unit. It would actually ease unit operations considerably.
12 And the other working interest owners, we've discussed
13 which zones would or wouldn't be in it, we discussed it
14 early on that we would have a much more efficient unit,
15 probably a much more cost-effective unit, to limit it to
16 those primary zones that we have selected as the unitized
17 interval.

18 Q. While you're talking about 10,000 barrels which
19 may potentially be recovered from that zone through
20 secondary operations, is that about right?

21 A. From the -- Yeah, it would be close, uh-huh,
22 10,000.

23 Q. And all you're really talking about is maybe
24 opening up the -- well, the injection well, the furthest
25 injection well to the west, is already open in that zone.

1 I just don't understand what the additional difficulties
2 would be to try and recover those reserves.

3 A. Well, the difficulties are that these are the
4 very updip limits of it. Very likely, you'd be injecting
5 water at the updip limits of something, and you would
6 either adversely affect anything that people wanted to do
7 downdip, if ever, or you would push a lot of oil from the
8 upper YZ down to a downdip area where, of course, the
9 unitized interests would be different.

10 It's -- These sands are actually kind of stacked
11 like shingles. And the upper YZ is down further, while our
12 main pay interval is up into the north. So when you try to
13 combine those in a flood and the upper YZ is so small
14 compared to our main target, it would just make for a very
15 difficult-type flood arrangement.

16 And plus, just the target is so small, just some
17 of the problems that you could have just through injection
18 operations if that became a thief zone. It makes a lot of
19 sense to go ahead and eliminate that and try to concentrate
20 on a more discrete package of sands.

21 And we can look at the sample log, which is
22 Exhibit Number 11, and we see the upper YZ noted on it just
23 right above 4950. It's consistently like that throughout
24 the zone; it's just a very thin zone, while the zones
25 within our unitized interval, the lower YZ through the "A"

1 and through the "B", tend to thicken areas where we have
2 sweet spots. The YZ doesn't. It remains a very thin sand
3 lens.

4 Q. Your Exhibit Number 18, the decline curve, that
5 is for all -- Is it seven wells?

6 A. Seven producers and one disposal well.

7 Q. So ultimately there is only going to be five
8 producing wells and three injection wells within the unit?

9 A. You're right, five producers, three injectors.

10 Q. And the injectors are currently producing at
11 pretty low rates?

12 A. Well, of course one is our current disposal well.

13 Q. Yeah.

14 A. And then the other two are actually kind of in
15 the mid-range of rates. Let's see if I can flip to that
16 one. That would be Exhibit Number 20.

17 West Corbin Number 22 is one of our lowest
18 producers. It's 4 oil, 8 gas and 160 water. And that
19 makes sense; it's down near the lower dip of the oil-water
20 contact.

21 And then West Corbin 6 would be our other
22 injector. It's at the far eastern side of the unit. It's
23 at 5 oil, 5 gas and 50 water.

24 Q. Okay. I believe you said total production was 98
25 barrels a day?

1 A. It totals just under a hundred barrels a day, and
2 I quoted 98 barrels a day, 62 MCF and 793 water.

3 Q. Okay. So we can use Exhibit Number 18 as
4 essentially the production curve that we can use to --
5 what? When you show a response, that will be the curve we
6 can use?

7 A. Actually, the response curve would be more
8 indicative of the with and without waterflood modification
9 curve. That would be Exhibit Number 22.

10 Q. Twenty-two.

11 A. I'm share mine, if you like. Exhibit Number 22
12 is the same collection of wells, it just has a shorter time
13 frame. It goes from 1990 to 1998.

14 Q. Uh-huh.

15 A. And on that it has what we would see is where our
16 decline curve is going to go without any waterflood
17 modification. That obviously would be the lower dashed
18 line. And then the upper dashed line is, I think we'd be
19 able to maintain decline with this additional waterflood
20 modification.

21 We do at this point have a couple of wells that
22 are watering out. The West Corbin Number 2 is a good
23 example.

24 Q. Are you saying that your response is going to be
25 immediate, Mr. Seams?

1 A. It's going to be an immediate effect on decline.
2 The reservoir pressure out here is actually quite high due
3 to all the injection, and the conductivity of the sand
4 between injection and producing wells is very good. On a
5 flood very much like this at lower pressures we have
6 response within eight months, and that was at depleted
7 pressures of 300 to 400 pounds.

8 My guess is -- we haven't done any exact
9 testing -- but reservoir pressure out here is probably well
10 above 1000.

11 Q. That response may be difficult to ascertain. You
12 really don't expect to see an incline?

13 A. Will we see the classic waterflood hump? I don't
14 think so, and the reason why is, we've already done a
15 very -- a pretty good job waterflooding this reservoir.

16 The only wells that haven't been thoroughly
17 waterflooded, if I can -- if you can kind of hold this
18 production curve in your hand and look back at the map --
19 would be the wells in the upper dip portion, on the far
20 west side. They were the furthest away from the disposal
21 well, and they're also in the thickest pay.

22 Anything around the disposal well has been pretty
23 well waterflooded, which you can kind of also see on that
24 tract participation parameter spreadsheet. We have
25 remaining EUR for some of those wells, and some of the

1 remaining EUR is very low, for the wells near that disposal
2 well. That would be Exhibit Number -- I think it was 25.
3 Yeah, 25 and 26.

4 If you look at Exhibit Number 25, you can see
5 that the remaining EUR for tracts number 1A, 1B, is zero,
6 and the remaining EUR for tract 2C, which, if I remember
7 right, is where the West Corbin Number 2 is, is only 6000
8 barrels. It's been thoroughly waterflooded.

9 The greatest amount of recoverable reserves is in
10 tract 2A, which is that midsection of the reservoir
11 furthest away from the disposal well. It still has the
12 highest oil saturation and, of course, the highest ϕh . So
13 it has the highest remaining secondary target.

14 Q. Well, would it make sense not to qualify this
15 entire unit for the EOR tax credit if you've already
16 waterflooded a portion of it? Should we not qualify the
17 whole unit for that?

18 A. Well, it would make sense for me to qualify the
19 whole unit just from the basis of, how do you
20 differentiate?

21 The whole unit, we're going to make an earnest
22 effort to complete and fully waterflood this unit until we
23 reach full depletion of the reservoir. We're imparting a
24 strategy of reservoir depletion that affects the whole
25 reservoir. You know, our intent and our efforts are all

1 pointed towards full depletion of the reservoir.

2 Q. How did you guys determine the percentages or the
3 way to weight the allocation factors?

4 A. Well, we first looked at what is going to have
5 the greatest impact on the value for the flood. And the
6 greatest impact on the value of the flood is that that has
7 a secondary remaining target. That's, in effect, what
8 we're going after. So we gave it the greatest weight, and
9 that is 60 percent.

10 And of course, we determined it through a
11 primary-to-secondary analogy, which has proven up both on
12 an offset field and within this field with the West Corbin
13 Number 2, where its estimated primary very much equalled
14 its secondary response to the offset development well.

15 Next, just due to the uncertainties of where,
16 exactly, the hydrocarbon pore volume and the hydrocarbons
17 are coming from, we gave the hydrocarbon pore volume a 30-
18 percent weighting factor.

19 And then we had acreage in there for 10 percent,
20 to account for any acreage that had a very low primary and
21 secondary recovery, little hydrocarbon pore volume, but we
22 needed that acreage -- or that acreage was vital to have as
23 an injector. So we included the 10-percent factor there.

24 This isn't, probably, a typical unitization
25 procedure, because we've already gone halfway through the

1 process of waterflooding, and that target is what is
2 remaining, and that's what we tried to quantify.

3 Q. Okay. On your Exhibit 24, the reservoir data,
4 did you just take into account all four of the intervals
5 and just average the amount for those? Is that what you
6 did?

7 A. One second. Yes, very much. There's some very
8 average numbers in here, and the average depth would be the
9 average top of that unitized interval. Average height,
10 porosity -- Obviously, those things vary tremendously, as
11 what you saw on the maps.

12 But I mean, there are some things that are very
13 -- that are probably accurate for all of them, such as
14 bottomhole temperature, reservoir volume factor, some of
15 those issues.

16 There are some individual zone numbers, such as
17 the oil-water contacts listed there on the bottom.

18 The reason also why we have no total maps, but
19 these are also broken down by zone is, we have to manage
20 each one of these by zone. Each one has its own flow
21 characteristics. So we did look at it in detail.

22 Q. You guys aren't going to try and regulate flow
23 into the injection wells in each of these zones, are you?

24 A. I missed your question.

25 Q. Regulate the flow by any means into each of these

1 zones?

2 A. We may have to. We'll actually measure how much
3 each zone is taking fluid initially, and then -- probably
4 every six months or every twelve months on a regular basis.
5 And if we develop some type of thief zone, then we'll have
6 to try to mitigate that problem.

7 We have that to a small degree on a flood that's
8 very similar that's a mile and a half to the east. We're
9 currently going through what we would call flood
10 modification or flood-pattern modifications, where we do
11 that both vertically and areally, try to make sure the
12 water goes to where the remaining oil target is.

13 Q. What do you see as the life of the -- the
14 remaining life of the flood, Mr. Seams?

15 A. Probably no more than about 12 years, and that
16 would be to almost complete abandonment. If I look at my
17 curve here -- Yeah, remaining life without flood
18 modifications, right at about seven and a half years.
19 Remaining life with flood modification is right at about 19
20 years, and that would be to, you know, very much stripper
21 well status.

22 Q. And your additional costs are going to be
23 approximately \$81,500 per injection well?

24 A. That's correct.

25 Q. For the two wells?

1 A. Uh-huh.

2 Q. No additional cost for the Number 4?

3 A. The Number 4 is adequately --

4 Q. The disposal well.

5 Is it summarized somewhere where you have the
6 total tract participation per tract?

7 A. Yeah, if you take a look at Exhibit Number 26 --

8 Q. Okay.

9 A. -- if you look at 26, over on the far left-hand
10 side is the ownership by tract. Just basically notes the
11 tract.

12 And if you look at the individual owners, if you
13 look at the unit working interest --

14 Q. Uh-huh.

15 A. -- that's the ownership that they have, or each
16 working interest owner has in each of those tracts.

17 Now, that's a percent thereof, of the total unit.
18 For instance, where Burlington Resources' interest is a
19 constant 78.55 percent, well then, those add up to 78.55
20 percent.

21 EXAMINER CATANACH: I think that's all we have,
22 Mr. Kellahin.

23 Is there anything else you --

24 MR. KELLAHIN: Except to leave the record open
25 for a brief period so Mr. Seams can submit to you the

1 schematics on the P-and-A'd wells in the area of review.

2 EXAMINER CATANACH: Okay, we will do so.

3 And there being nothing further in these two
4 cases, Case 12,046 and 12,0147 will be taken under
5 advisement.

6 (Thereupon, these proceedings were concluded at
7 12:25 p.m.)

8 * * *

9
10
11
12
13
14 I do hereby certify that the foregoing is
15 a complete record of the proceedings in
16 the Examiner hearing of Case No. _____.
17 heard by me on _____ 19 ____.

18 _____, Examiner
19 Of Conservation Division
20
21
22
23
24
25

CERTIFICATE OF REPORTER

[illegible]

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL September 21st, 1998.

Steven R. Kane

STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 1998