

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

OIL CONSERVATION DIV.  
99 APR 15 AM 6:30

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: ) CASE NO. 12,132  
)  
APPLICATION OF NEARBURG EXPLORATION )  
COMPANY, L.L.C., FOR POOL CREATION AND )  
SPECIAL POOL RULES, LEA COUNTY, ) ORIGINAL  
NEW MEXICO )  
)

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MARK ASHLEY, Hearing Examiner

April 1st, 1999

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MARK ASHLEY, Hearing Examiner, on Thursday, April 1st, 1999, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

## I N D E X

April 1st, 1999  
 Examiner Hearing  
 CASE NO. 12,132

	PAGE
EXHIBITS	3
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>MICHAEL M. GRAY</u> (Landman)	
Direct Examination by Mr. Carr	5
Examination by Examiner Ashley	9
<u>JERRY B. ELGER</u> (Geologist)	
Direct Examination by Mr. Carr	10
Examination by Examiner Ashley	20
<u>CLYDE FINDLAY</u> (Engineer)	
Direct Examination by Mr. Carr	21
Examination by Examiner Ashley	32
REPORTER'S CERTIFICATE	35

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	7	9
Exhibit 2	8	9
Exhibit 3	12	19
Exhibit 4	14	19
Exhibit 5	17	19
Exhibit 6	24	32
Exhibit 7	25	32
Exhibit 8	25	32
Exhibit 9	26	32
Exhibit 10	26	32
Exhibit 11	27	32
Exhibit 12	28	32
Exhibit 13	29	32
Exhibit 14	30	32

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

RAND L. CARROLL  
 Attorney at Law  
 Legal Counsel to the Division  
 2040 South Pacheco  
 Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.  
 Suite 1 - 110 N. Guadalupe  
 P.O. Box 2208  
 Santa Fe, New Mexico 87504-2208  
 By: WILLIAM F. CARR

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2   8:41 a.m.:

3           EXAMINER ASHLEY: The Division calls Case 12,132.

4           MR. CARROLL: Application of Nearburg Exploration  
5   Company, L.L.C., for pool creation and special pool rules,  
6   Lea County, New Mexico.

7           EXAMINER ASHLEY: Call for appearances.

8           MR. CARR: May it please the Examiner, my name is  
9   William F. Carr with the Santa Fe law firm Campbell, Carr,  
10   Berge and Sheridan. We represent Nearburg Exploration  
11   Company in this matter, and I have three witnesses.

12          EXAMINER ASHLEY: Any additional appearances?

13          Will the witnesses please stand to be sworn in?

14          (Thereupon, the witnesses were sworn.)

15          MR. CARR: May it please the Examiner, this  
16   morning I discovered that the acreage which is the subject  
17   of this case is located within the boundaries of the  
18   Anderson Ranch Pennsylvanian Pool. The case focuses on the  
19   Strawn, and we are seeking an increase in the spacing for  
20   Strawn wells in the pool. We would request permission that  
21   we be permitted to go ahead and put the case on and that it  
22   be continued at the end of the hearing.

23                 Following the hearing, we will meet with Mr.  
24   Kautz in the District Office in Lea County and determine  
25   exactly how we should handle this, whether it would be an

1 amendment to the pool rules as a whole or whether we should  
2 adjust the pool boundary.

3 But in any event, we'd like to do that because we  
4 believe that following an amended application and  
5 additional notification, that the case probably could be  
6 decided on the record we'd make today, if there is no  
7 objection following readvertisement and the notifications.

8 EXAMINER ASHLEY: That sounds fine with me. Just  
9 for your information, Mr. Kautz is in the process of  
10 changing the vertical limits in that pool right now, but  
11 you need to talk to him about that.

12 MR. CARR: All right, and we will coordinate with  
13 him and report to you as soon as we do talk to him.

14 EXAMINER ASHLEY: That sounds fine.

15 MR. CARR: All right. At this time I'd call Mr.  
16 Mike Gray.

17 MICHAEL M. GRAY,  
18 the witness herein, after having been first duly sworn upon  
19 his oath, was examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. CARR:

22 Q. Would you state your name for the record, please?

23 A. Michael M. Gray.

24 Q. Where do you reside?

25 A. Midland, Texas.

1 Q. By whom are you employed?

2 A. Nearburg Producing Company.

3 Q. And what is your position with Nearburg?

4 A. Senior landman.

5 Q. Mr. Gray, have you previously testified before  
6 this Division and had your credentials as a landman  
7 accepted and made a matter of record?

8 A. Yes, I have.

9 Q. Are you familiar with the Application filed in  
10 this case on behalf of Nearburg Exploration Company?

11 A. Yes.

12 Q. Are you familiar with the status of the lands in  
13 the subject area?

14 A. Yes.

15 Q. Have you prepared exhibits for presentation here  
16 today?

17 A. Yes.

18 MR. CARR: Are the witness's qualifications  
19 acceptable?

20 EXAMINER ASHLEY: Yes, they are.

21 Q. (By Mr. Carr) Mr. Gray, initially would you just  
22 briefly summarize for Mr. Ashley what it is that Nearburg  
23 Exploration Company seeks in this case?

24 A. Nearburg proposes the creation of a new pool in  
25 the Strawn formation, in the northeast quarter of Section

1 15, Township 16 South, Range 32 East, in Lea County, and  
2 adoption of temporary field rules which would provide for  
3 80-acre spacing for Strawn production, with location  
4 requirements no closer than 330-foot quarter-quarter  
5 setbacks.

6 Q. This Application is the result of a discovery in  
7 the Strawn formation in the Yates Petroleum Corporation  
8 Ruby "ASV" State Com Well Number 1, is it not?

9 A. That's correct, that well was drilled by Yates  
10 with Nearburg as a partner, was drilled to the Morrow  
11 formation, was unsuccessful in the Morrow and was plugged  
12 back to make a Strawn discovery in the northeast quarter of  
13 Section 15.

14 Q. What is Nearburg's percentage ownership interest  
15 in the Ruby State Com Well Number 1?

16 A. Nearburg and Yates are co-owners of a working  
17 interest unit whereby Nearburg owns 37 1/2 percent and  
18 Yates owns 62 1/2 percent.

19 Q. And that working interest unit would include all  
20 of the east half of Section 15?

21 A. That's correct.

22 Q. Let's go to what has been marked for  
23 identification as Nearburg Exhibit Number 1. I'd ask you  
24 to refer to that and explain what it shows to Mr. Ashley.

25 A. This is an ownership map, depicting the

1 surrounding ownership within a mile of the proposed new  
2 field. The location of the well is actually shown as a  
3 location in the southeast quarter of the northeast quarter  
4 of Section 15. This map shows the surrounding operators  
5 and ownership in the Strawn formation.

6 Q. Is Exhibit Number 2 a notice affidavit confirming  
7 that notice of this hearing has been provided in accordance  
8 with OCD rules?

9 A. Yes, sir.

10 Q. And to whom was notice provided?

11 A. This notice was provided to all of the working  
12 interest owners and operators within a mile of the proposed  
13 pool.

14 Q. And what response did Nearburg receive to the  
15 notification?

16 A. We generally received no objections. Our  
17 original application was for the northeast quarter, and we  
18 received some waivers for the original application. We had  
19 an objection from Grand Banks Energy Company at one point  
20 where we had begun to try to apply for temporary field  
21 rules on 160 acres. Grand Banks Energy Company and their  
22 partner Brian H. Scarborough agreed to not object to an 80-  
23 acre application.

24 Q. And so we amended the application?

25 A. That's correct.

1 Q. Are you aware of any objection to this  
2 Application?

3 A. No, there are no objections that I'm aware of.

4 Q. Will Nearburg call geological and engineering  
5 witnesses to review the technical portions of the case?

6 A. Yes.

7 Q. Were Nearburg Exhibits 1 and 2 either prepared by  
8 you or compiled under your direction?

9 A. Yes.

10 MR. CARR: At this time, Mr. Ashley, we would  
11 move the admission of Nearburg Exhibits 1 and 2.

12 EXAMINER ASHLEY: Exhibits 1 and 2 will be  
13 admitted as evidence.

14 MR. CARR: That concludes my direct examination  
15 of Mr. Gray.

16 EXAMINATION

17 BY EXAMINER ASHLEY:

18 Q. Mr. Gray, when was this drilled?

19 A. This well was drilled in -- I believe it was spud  
20 in October of 1998 and was TD'd, I think -- the geologist  
21 can speak better to this -- I think in December or early  
22 January, in the Morrow. And the well was recently  
23 finalized as a Strawn completion.

24 Q. Who drilled this well?

25 A. Yates.

1 Q. How come Yates drilled this well?

2 A. Well, Yates owned the majority interest. We're  
3 in an operating agreement with Yates. Yates is the  
4 operator. We're here because Yates had some more cases to  
5 put on today and asked us to do it because we had more time  
6 than they did, I guess.

7 EXAMINER ASHLEY: Okay. I have no further  
8 questions. Thank you, Mr. Gray.

9 THE WITNESS: Thank you.

10 MR. CARR: Mr. Examiner, at this time we call Mr.  
11 Jerry Elger.

12 EXAMINER ASHLEY: Excuse me?

13 MR. CARR: Jerry Elger, E-l-g-e-r.

14 JERRY B. ELGER,

15 the witness herein, after having been first duly sworn upon  
16 his oath, was examined and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. CARR:

19 Q. Would you state your name for the record, please?

20 A. My name is Jerry Elger.

21 Q. Where do you reside?

22 A. In Midland, Texas.

23 Q. By whom are you employed?

24 A. By Nearburg Producing Company.

25 Q. Mr. Elger, what is your position with Nearburg?

1 A. Exploration geologist.

2 Q. Have you previously testified before this  
3 Division?

4 A. Yes, I have.

5 Q. At the time of that testimony, were your  
6 credentials as an expert in petroleum geology accepted and  
7 made a matter of record?

8 A. Yes, they were.

9 Q. Are you familiar with the Application filed in  
10 this case on behalf of Nearburg Exploration Company?

11 A. Yes, I am.

12 Q. Have you made a geological study of the area  
13 which is the subject of this case?

14 A. Yes, I have.

15 Q. And are you prepared to share the results of that  
16 study with the Examiner?

17 A. Yes.

18 MR. CARR: Are the witness's qualifications  
19 acceptable?

20 EXAMINER ASHLEY: They are.

21 Q. (By Mr. Carr) Now, Mr. Elger, in this case the  
22 Strawn zone is the principal zone of interest; is that  
23 correct?

24 A. That is correct.

25 Q. Are there additional zones in this well which may

1 be productive?

2 A. Yes, there are. Specifically, the Wolfcamp and  
3 potentially the Queen sands.

4 Q. Have you prepared exhibits to make correlations  
5 between the subject well and other Strawn wells in pools in  
6 this area that are developed 80-acre spacing?

7 A. Yes.

8 Q. Let's go to what has been marked Nearburg Exhibit  
9 Number 3, and I'd ask you to identify and review it for the  
10 Examiner.

11 A. Exhibit Number 3 is a display of Strawn -- of  
12 open-hole log Strawn sections, including the Yates Ruby  
13 "ASV" Number 1, which is in the center portion of this  
14 montage. The perforation set in the Strawn which was  
15 production-tested is indicated in red in the depth column.  
16 Several other key wells in this area are also displayed.

17 Each of the three wells has a display of the  
18 open-hole porosity log sections, as well as the resistivity  
19 log sections. The top of the Strawn has been indicated by  
20 the yellow-shaded high gamma-ray event, and the base of the  
21 Strawn, which is the datum for this montage, is the minus-  
22 7200-foot interval.

23 On each of the porosity logs the light blue  
24 shading indicates Strawn reef section, which the logs  
25 indicate is tight. The darker blue sections indicate

1 portions of the Strawn where porosity appears to be  
2 developed by either the porosity logs or the resistivity  
3 log sections.

4 As you can tell on the Ruby "ASV" well, there's  
5 four basic porosity sets that have been perforated opposite  
6 the dark blue porous log indicators, and the well was  
7 production tested from those perforations.

8 At the base of that log is indicated or annotated  
9 some of the pressure information and some of the production  
10 testing that was associated with the completion of this  
11 well in the Strawn.

12 I would point out the well to the left of that,  
13 the Ruby well, which has been identified as the ARCO West  
14 Anderson Ranch State Number 1 well, the Strawn has  
15 indicated porosity section between 11,650 and 11,750. That  
16 well was production tested in that porosity section, that  
17 well having been drilled in the 1980s. And that production  
18 testing of that porosity indicated that the reservoir at  
19 that location was water-bearing.

20 The well to the right of the Ruby "ASV" well was  
21 also a well that was drilled in 1998 by Texaco as the  
22 Anderson Ranch Unit Number 201. That particular well is  
23 within a half a mile of the Ruby well. And a completion in  
24 the Pennsylvanian Morrow sands, which is a deeper  
25 objective, was effected in the Strawn, remains untested at

1 that location.

2 I would point out that the Ruby "ASV" porosity  
3 log and resistivity logs both indicate that the reservoir  
4 that was encountered in the Yates well, reservoir  
5 characteristics are very similar to Strawn production in  
6 other parts of Lea County, in particular the Lovington-  
7 Strawn area, the nature of the porosity, 4 to 7 percent, is  
8 typical of productive reservoir in that area.

9 And the apparent invasion profiles that you see  
10 relative to the resistivity or the lateral log indicate  
11 permeability in conjunction with the porosity that is also  
12 comparable to wells that are productive in the West  
13 Lovington area, in the eastern part of Lea County.

14 Q. All right. Let's now, Mr. Elger, go to what has  
15 been marked as Nearburg Exhibit Number 4, the two-well  
16 montage, and I'd again ask you to review the information on  
17 these logs for Mr. Ashley.

18 A. The two-well log montage are the same -- similar  
19 types of log presentations that were on the Exhibit Number  
20 3. They are -- Again, the top of the Strawn is marked with  
21 the yellow-shaded areas, and the base is hung on the base  
22 of the Strawn carbonate package. The same parameters apply  
23 here, with the light blue shading indicating basically  
24 tight section and the darker blue shading indicating areas  
25 where some sort of reef event is occurring.

1 Both of these log sections were productive, and  
2 again, the perforation set is indicated in the red, in the  
3 depth columns.

4 The similarities -- These two wells are located  
5 in 17 South, 37 East, in Lea County, which is a  
6 considerable ways to the east of the Yates Ruby well, where  
7 the Yates Ruby well was drilled. But there are certain  
8 similarities with these two wells, which were both drilled  
9 by Nearburg Producing Company as part of the Humble City  
10 South Strawn development, and I'd like to point those  
11 similarities out.

12 If you'll look at the -- Again, each of these log  
13 presentations incorporates an open-hole porosity log as  
14 well as a resistivity log and, in the case of these two  
15 wells, dual lateral logs. Reservoir porosity is indicated  
16 by the red-shaded areas on each of the two open-hole  
17 porosity log sections. And you'll notice that the porosity  
18 is really quite similar to that which was encountered in  
19 the Yates Ruby well. You'll also notice that on the  
20 resistivity profiles the amount of invasion that is  
21 indicated and has been shaded on each one of these log  
22 sections is again very similar to that that -- as indicated  
23 by the lateral log in the Yates Ruby well.

24 Several other similarities include the depth of  
25 the Strawn. If you'll notice, the depth of the Strawn in

1 the Humble City South area is roughly 11,600 to 11,700, and  
2 in the case of the Ruby well it's a little bit shallower,  
3 11,300 to 11,550, somewhere in that interval.

4 You'll also notice that the overall thickness of  
5 the Strawn from the top to the base of the carbonate is  
6 very similar. The two wells in the Humble City South field  
7 were both developed on 80-acre spacing patterns, and both  
8 wells were commercial producers, the Wright Number 1  
9 cum'ing 661,000 barrels and the Wright Number 2 cum'ing  
10 353,000 barrels.

11 You'll also notice that the nature of the Strawn  
12 is as indicated by the Wright 1 and Wright 2. The porosity  
13 in the Wright 2 is developed in the upper part of the  
14 Strawn, the porosity in the Wright Number 1 developed  
15 partially in the upper, but mostly in the lower.

16 You'll notice a comparison of that with the Ruby  
17 well, in which there's actually three -- or four indicated  
18 porosity developments throughout the entire Strawn section.  
19 We feel like the nature of the reservoir in the Humble City  
20 South Strawn field, which is developed, again, on 80 acres,  
21 is very similar to the reservoir characteristics that were  
22 encountered in the Yates Ruby "ASV" well.

23 Q. Let's now go to your isopach map, your gross  
24 Strawn carbonate isopach map, which has been marked as  
25 Exhibit 5.

1           A.     Exhibit 5 is a gross Strawn carbonate isopach map  
2     in the area of the Application.   The proposed spacing unit  
3     for the Ruby "ASV" well, which was drilled, again, in the  
4     northeast quarter of Section 15 has been indicated with a  
5     green box.

6           Several of the wells -- All three wells that are  
7     on Exhibit Number 3, the Strawn log montage, are displayed  
8     on this map, the ARCO West Anderson Ranch State well being  
9     over in Section 9 to the west, the Ruby well again  
10    indicated in 15, and the Texaco well as indicated in the  
11    northwest quarter of Section 14.

12           Prior to Yates drilling this well, only one other  
13    well in this whole township and range had been production  
14    tested in the Strawn, and that was located in the southwest  
15    quarter of Section 11.   That well had 192 feet of overall  
16    carbonate.   I really couldn't tell, because of the nature  
17    of the washouts in the open-hole log sections, whether  
18    there was porosity in that well or not.   It was production-  
19    tested between May and November of 1998 and was found to be  
20    noncommercial, although it did encounter -- that production  
21    testing encountered shows of oil and gas.

22           No other tests of the Strawn have been conducted  
23    in this area.   You'll notice that the map indicates a  
24    rather expansive area where the Strawn is potentially  
25    prospective, and that includes a large portion of the north

1 half of Section 15, virtually all of Section 10, a large  
2 portion of the south one-third of Section 3 and a large  
3 portion of Section 9.

4 We would -- In order to develop in a manner which  
5 would not be conducive to waste, we are applying for  
6 temporary field rules, again, on an 80-acre spacing  
7 pattern, so that we really don't -- until we have a better  
8 grasp as to the nature of this reservoir, we don't go out  
9 here and get in an overdrilled situation in which we're  
10 drilling noneconomic wells.

11 Our reservoir engineer, Clyde Findlay, will  
12 testify as to some of the reservoir parameters and  
13 characteristics of the Yates Ruby well and will address  
14 more the overdrill possibilities by leaving this spacing  
15 unit on 40-acre spacing.

16 Q. Mr. Elger, does Nearburg have plans for  
17 additional drilling to the Strawn in this area?

18 A. Yes, we do, and we have a permit to drill a well  
19 that will penetrate through the Strawn, located in the west  
20 half of Section 10, which is in the center of this area of  
21 Strawn thick.

22 Q. And when do you plan to commence the well?

23 A. That well is scheduled to commence on or before  
24 the 1st of May.

25 Q. Could you just generally summarize the

1 conclusions you have reached from your work in this area?

2 A. The conclusions are that a comparison of the  
3 discovery well, the Yates Ruby well, with other Strawn  
4 wells in the Lovington area, including not just the Humble  
5 City South field, but the Shipp-Strawn, the Casey West-  
6 Strawn and other Strawn fields in the eastern part of Lea  
7 County, the characteristics of those wells, which for all  
8 intents and purposes were drilled on 80-acre spacing  
9 patterns at comparable depths, looks very similar to what  
10 was encountered in the Strawn and the Yates Ruby well.

11 Therefore, until more data is gathered about the  
12 nature of the reservoir in this area, we would recommend  
13 that a temporary 80-acre spacing pattern comparable to all  
14 of those other Strawn fields be granted in this case.

15 Q. Mr. Elger, were Nearburg Exploration Company  
16 Exhibits 3 through 5 prepared by you?

17 A. Yes, they were.

18 MR. CARR: At this time, Mr. Ashley, we would  
19 move the admission into evidence of Nearburg Exhibits 3  
20 through 5.

21 EXAMINER ASHLEY: Exhibits 3 through 5 will be  
22 admitted as evidence.

23 MR. CARR: And that concludes my direct  
24 examination of Mr. Elger.

25

EXAMINATION

1 BY EXAMINER ASHLEY:

2 Q. Mr. Elger, you said other Strawn pools in the  
3 area are currently spaced on 80 acres?

4 A. That's correct.

5 Q. Could you tell me which ones those were? You  
6 said -- Was one the Humble City-Strawn?

7 A. There will be an exhibit that's presented by Mr.  
8 Findlay that will precede my testimony here, and it will  
9 be --

10 MR. CARR: -- 14.

11 THE WITNESS: -- Exhibit Number 14.

12 Q. (By Examiner Ashley) Okay.

13 A. And it lists the individual fields to the east of  
14 this area that were developed on 80-acre spacing patterns.

15 Q. Okay. To the northeast of your prospect, like in  
16 Sections 2 and 11, what formation are those producing from?

17 A. Those wells were drilled -- The discovery well  
18 for the Anderson Ranch Devonian Field was drilled in the  
19 northeast quarter of Section 11 in 1952 by Conoco. That  
20 well was a -- resulted in the discovery of Devonian in this  
21 area. And most of the penetrations you see in Sections 1,  
22 2 and 11 were drilled through the Strawn and into the  
23 Devonian where they were -- as development wells on this  
24 Anderson Ranch Structure. None of those wells to date have  
25 been found productive in the Strawn.

1 Q. Okay.

2 A. And you can see that by the thicknesses indicated  
3 on this map in the 120 to 140 foot of gross Strawn  
4 carbonate interval, that they're all -- most of those wells  
5 encountered much thinner Strawn sections, therefore did not  
6 encounter the Strawn in a reef-type environment, as did the  
7 key wells listed in Sections 3, 9, 14 and 15.

8 EXAMINER ASHLEY: I have no further questions,  
9 Mr. Elger. Thank you.

10 MR. CARR: At this time, Mr. Examiner, we would  
11 call Clyde Findlay.

12 CLYDE FINDLAY,  
13 the witness herein, after having been first duly sworn upon  
14 his oath, was examined and testified as follows:

15 DIRECT EXAMINATION

16 BY MR. CARR:

17 Q. Would you state your name for the record, please?

18 A. Clyde Findlay.

19 Q. Where do you reside?

20 A. Midland, Texas.

21 Q. Mr. Findlay, by whom are you employed?

22 A. Nearburg Producing Company.

23 Q. And what is your position with Nearburg?

24 A. I'm a petroleum engineer.

25 Q. Mr. Findlay, have you previously testified before

1 this Division?

2 A. Yes, I have.

3 Q. At the time of that testimony, were your  
4 credentials as an expert in petroleum engineering accepted  
5 and made a matter of record?

6 A. Yes, they were.

7 Q. Are you familiar with the Application filed on  
8 behalf of Nearburg Exploration Company in this case?

9 A. Yes.

10 Q. Have you made an engineering study of the Ruby  
11 "ASV" State Com Number 1 well in the surrounding area?

12 A. I have.

13 Q. Are you prepared to share the results of that  
14 work with the Examiner?

15 A. Yes.

16 MR. CARR: We tender Mr. Findlay as an expert  
17 witness in petroleum engineering.

18 EXAMINER ASHLEY: Mr. Findlay is so qualified.

19 Q. (By Mr. Carr) Initially, Mr. Findlay, could you  
20 just summarize for us what rules govern the development of  
21 the Strawn formation in this area?

22 A. Currently the statewide rules indicate 40-acre  
23 oil spacing. This particular well has a depth bracket  
24 allowable of about 365 barrels of oil per day and about a  
25 2000-to-1 GOR.

1 Q. Could you review the history of the Ruby well?

2 A. Yes, it was drilled -- I think Jerry testified  
3 earlier, it was drilled in October, spudded in October. It  
4 was TD'd in December of 1998 and completed on about the  
5 15th of January of this year.

6 The Ruby initially came on flowing -- it was a  
7 flowing oil well -- at about 200 barrels of oil per day,  
8 and continued to flow for -- oh, I believe two or three  
9 weeks, and died.

10 Following that, a pump was installed, a beam  
11 pump, with a pumping unit, and the production has ranged  
12 anywhere from 50 to 700 barrels of oil a day since it's  
13 been on pump. I would suggest that 700 barrels of oil per  
14 day may be some flush production, but it certainly has high  
15 permeability, just looking at the rates.

16 Recently there's been some pump problems  
17 downhole. As you can guess, moving that type of fluid from  
18 that depth can be hard on equipment. So there have been  
19 some pump changes, and the well has fluctuated, oh, I would  
20 say in the 50- to 100-barrel-a-day range currently.

21 Q. Is this well allowable-restricted?

22 A. No, it is not. Certainly for a few days it had  
23 the capacity to produce above allowable, but not at this  
24 time.

25 Q. The purpose of the Application is really to avoid

1 drilling on too dense a spacing pattern until you have some  
2 additional information on the reservoir and can make a  
3 recommendation to the Division on permanent spacing rules;  
4 is that right?

5 A. That's correct.

6 Q. Let's go to what has been marked for  
7 identification as Nearburg Exhibit Number 6, the porosity  
8 log section, and I'd ask you to review that for Mr. Ashley.

9 A. The porosity log, Exhibit Number 6, is the log  
10 section, CNL/LDT porosity log section of the Ruby well.  
11 You've seen this, a piece of this, on Jerry's montage. I  
12 went through and calculated log properties.

13 There are four zones that are perforated that is  
14 also the net pay for this well. So starting with that, we  
15 have about 58 feet of net pay in the carbonate section.

16 Porosity ranges from 4 percent to 8 percent in  
17 these four zones, with an average of 6 percent when you  
18 weigh that based on thickness.

19 The water saturations range from 23 to 43  
20 percent, and I've estimated the average water saturation  
21 for this entire well to be about 36 percent.

22 Q. Have you used this information in subsequent  
23 calculations?

24 A. That's correct.

25 Q. All right, let's go to Exhibit Number 7. Will

1 you identify and review that?

2 A. Yes, Exhibit Number 7 is a bottomhole pressure  
3 that was run not too long after the well was completed -- I  
4 guess about six days. And in 48 hours the bottomhole  
5 pressure built up to 2230 pounds. There were indications  
6 that the pressure was still climbing at the time the survey  
7 was taken. So I have made a conservative estimate of  
8 reservoir pressure at 2500 pounds. It indeed could be a  
9 little higher, but for the sense of conservatism I have  
10 estimated it at 2500 pounds.

11 Q. Let's now go to the flowing bottomhole pressure  
12 information on Exhibit 8.

13 A. On Exhibit 8, I actually calculated this, once  
14 the well was on pump, by looking at the wellhead pressure,  
15 which was 50 pounds, and knowing that the entire back side  
16 of the well in the annulus section between the tubing and  
17 casing was full of gas. I took the gas rate at that point  
18 in time, which was 300 MCF a day, and used this program to  
19 back-calculate the bottomhole flowing pressure or producing  
20 pressure in this well. This incorporates both friction and  
21 -- What else does it use? That's about it. It uses  
22 friction and hydrostatic head, I'm sorry.

23 So now we've established a static reservoir  
24 pressure, static bottomhole pressure, and now we have the  
25 flowing bottomhole pressure. So static is 2500 and flowing

1 is 64 pounds.

2 Q. Let's go now to the Darcy flow equation on  
3 Exhibit 9.

4 A. Exhibit 9 is the Darcy's flow equation. This, of  
5 course, is the standard of petroleum engineering for  
6 determining permeability. Sometimes it's not used because  
7 there's not enough data to calculate the full equation. In  
8 this case there is. We've been able to estimate pressure  
9 drops, porosity, that type of thing.

10 In this particular equation, when we input all  
11 the variables that we have seen in that well, the 40-API  
12 oil, an oil rate of approximately 205 barrels a day, which  
13 is what the well was producing when it initially flowed, I  
14 come up with a permeability, using Darcy's method, of about  
15 1.25 millidarcies. That's pretty high for a carbonate in  
16 southeast New Mexico. I have some experience in other  
17 areas with both dolomite and limestone, and an average  
18 permeability of 1.25 millidarcies is relatively high.

19 This started giving me a hint that this well  
20 might be possible to drain more than 40 acres, when I  
21 started seeing these high perm numbers.

22 Q. Let's go on to Exhibit Number 10, the  
23 permeability numbers. Are you using initial flow rates?

24 A. Exhibit Number 10 is a method to estimate  
25 permeability. I felt it was important to try to estimate

1 permeability two different ways, since it can be a nebulous  
2 number.

3 This is a method that Erliger documented in the  
4 SPE -- Society of Petroleum Engineers -- monograph called  
5 "Well Testing", back in the early Eighties. And this  
6 method is similar to what we saw in Darcy's.

7 But if you may notice, if you'll look in some of  
8 these columns here, you'll see a time of 12, 36 and 60  
9 hours. What this does is take initial flow rates when you  
10 initially test a well, and estimate permeability based on  
11 the change in flow rates in the first 72 hours of  
12 production. And to make a long story short, it's another  
13 way of calculating permeability to check Darcy's equation.  
14 I calculated permeability about 1.73 millidarcies using  
15 this method.

16 So in summation, I believe the permeability of  
17 this reservoir to be between 1 and 2 millidarcies, which is  
18 fairly high for a carbonate, and again may indicate the  
19 capacity to drain larger areas than 40 acres.

20 Q. Let's now got to the recovery factor exhibit,  
21 Exhibit 11.

22 A. Exhibit 11 is a recovery factor calculation.  
23 When you calculate recovery factors, the first thing you  
24 have to determine is the drive mechanism of the reservoir.  
25 The Ruby indicates every indication of being a solution gas

1 drive reservoir, as do the other Strawn wells in other  
2 fields that we'll talk about in a minute.

3 We're using the permeability we calculated. Here  
4 I used a 1 millidarcy number. As you can see, I inputted  
5 the water saturation that we got off the open-hole logs,  
6 the porosity average, the reservoir and flowing pressure.  
7 And in using the oil-recovery factor -- I'm sorry, using  
8 solution gas drive as the primary recovery factor, we come  
9 up with a recovery factor of about 18.9 percent for this  
10 particular reservoir. And that's in the range of solution  
11 gas drive. They'll range anywhere from 10 or 12 all the  
12 way to 25. So I believe that 18.9 percent is a very  
13 reasonable number for recovery factor.

14 Q. All right, Mr. Findlay, let's go to Exhibit 12  
15 and look at the estimated ultimate recovery estimates on  
16 40-acre spacing.

17 A. Well, I'm not able to calculate the drainage --  
18 the areal extent of drainage in this well. It's far too  
19 early in the life to be able to extrapolate any graphical  
20 data to do that.

21 But what we can do, by taking both the known  
22 reservoir data and the calculated data which we've just  
23 demonstrated, we can figure out what you can recover with  
24 those parameters off of a 40-acre drainage area. So in  
25 other words, we're backing into this. We're saying, if we

1 had 40 acres to work with, with standard state pool rules,  
2 how much oil could we recover out of this?

3 When we input everything that we've gone through  
4 here -- and this is just a volumetric equation -- it shows  
5 a recovery of about 98,000 barrels. 98,000 barrels, at  
6 this depth of about 11,500 feet, would not provide economic  
7 payback for development in this field. And that's one of  
8 the points I wanted to make with this particular graph,  
9 that the reserves just aren't there on 40-acre spacing.

10 Again, earlier, we have seen permeability that is  
11 high enough, and initial flow rates that indicate  
12 permeability high enough, to quite possibly drain at least  
13 80 acres, if not larger.

14 Q. All right, let's now go to Exhibit 13 and look at  
15 the estimated recovery on 80-acre spacing.

16 A. When we increase our spacing size to 80 acres and  
17 use the exact same method we just discussed, then numbers  
18 start to look a little more reasonable for development of  
19 this field. This provides a recovery of almost 200,000  
20 barrels, which in my opinion would provide economic payback  
21 for a drilling program, and it would not promote waste,  
22 which I think would happen with the 40-acre drilling plan.

23 Q. Mr. Findlay, there are no other Strawn pools in  
24 the immediate area of the well; is that correct?

25 A. That's correct.

1 Q. Let's go to Exhibit 14, and I'd ask you to review  
2 the information on that exhibit. But first perhaps you  
3 should indicate where the Ruby well is located on this  
4 exhibit.

5 A. I apologize for not spotting the well on there.  
6 But anyway, if you'll look on this exhibit -- and it says  
7 "80-acre Strawn pools" at the top -- the Ruby is over in  
8 Section 16-32, which would be right in the middle, all the  
9 way on the left, and that's where we are now.

10 The closest fields that have analogous reservoir  
11 characteristics and performance characteristics to the Ruby  
12 appear to be these five fields which I've identified on  
13 this map. Obviously the closest one is the West Lovington-  
14 Strawn which had 80-acre spacing applied for and granted in  
15 1992, the Casey-Strawn in 1975, Shipp-Strawn in 1986,  
16 Humble City-Strawn in 1972, and the South Humble City-  
17 Strawn in 1982.

18 And as Jerry testified earlier, these are the  
19 fields that most closely resemble what we see in the Ruby.  
20 There are other Strawn fields, obviously. The closest one  
21 I know of besides these is a Strawn field down in the Lusk  
22 area, about 20 miles south of the Ruby, but those are gas  
23 wells down there, and they're on 160-acre spacing, I  
24 believe. So I did not use that as an analogous comparison.

25 Q. Would you summarize why it is Nearburg is seeking

1 80-acre spacing in the Strawn on a temporary basis?

2 A. Yes, obviously Yates recently completed the Ruby  
3 well, which has given us some initial data and indicates  
4 some high flow rates. We've done our calculations using  
5 the known reservoir properties, and we can see with good  
6 confidence that the well can drain in excess of 40 acres,  
7 given the high permeability we're seeing.

8 We don't believe we could economically develop  
9 the field on 40-acre spacing because of the limited  
10 reserves per 40-acre unit. I don't believe that you'll  
11 need additional wells to drain 80-acre spacing units, and I  
12 also believe that from an analogous point of view that the  
13 Ruby behaves similar to what we see in the 80-acre Strawn  
14 pools that were listed on the previous exhibit.

15 Q. Mr. Findlay, if this Application is approved, for  
16 what period of time does Nearburg seek temporary rules?

17 A. We would like to have temporary rules for one  
18 year. Then at that point I believe we would have  
19 sufficient data from the Ruby well and maybe some  
20 additional development to be able to make a better  
21 recommendation for permanent pool rules.

22 Q. Will the requested increase in spacing result, in  
23 your opinion, in an efficient well development pattern for  
24 this pool?

25 A. Yes, I believe so.

1 Q. Will approval of 80-acre spacing on a temporary  
2 basis prevent waste?

3 A. Yes.

4 Q. And if the Application is granted, in your  
5 opinion, would it be in the best interest of conservation  
6 and the protection of correlative rights?

7 A. Yes, I believe it would.

8 Q. Were Exhibits 6 through 14 prepared by you?

9 A. Yes, they were.

10 MR. CARR: Mr. Ashley, at this time we'd move  
11 admission into evidence of Nearburg Exhibits 6 through 14.

12 EXAMINER ASHLEY: Exhibits 6 through 14 will be  
13 admitted as evidence.

14 MR. CARR: And I pass the witness.

15 EXAMINATION

16 BY EXAMINER ASHLEY:

17 Q. Mr. Findlay, Mr. Elger said that you had another  
18 location already approved --

19 A. Yes.

20 Q. -- to drill in this pool? And that's in  
21 Section --

22 A. I believe it's in the east half of Section 10; is  
23 that correct?

24 MR. GRAY: West half.

25 THE WITNESS: West half, I'm sorry, west half of

1 Section 10.

2 EXAMINER ASHLEY: Okay.

3 THE WITNESS: We will need to spud that by May  
4 1st --

5 EXAMINER ASHLEY: Okay.

6 THE WITNESS: -- due to some limitations.

7 Q. (By Examiner Ashley) And it's currently approved  
8 for -- under statewide rules, 40 acres, right?

9 A. Yes, I believe that to be the case.

10 Q. Okay. On Exhibit 14 where you listed all the  
11 other 80-acre Strawn pools in the area, was the  
12 permeability similar as well in those to what you're seeing  
13 in the Ruby well?

14 A. I did not go through these type of calculations  
15 in those particular wells. But what I did observe were  
16 similar performance characteristics when the wells were  
17 completed, which indicates to me that the effect of  
18 permeability to oil of the reservoir in both those fields  
19 and the Ruby well are similar.

20 And I believe Jerry also showed what those  
21 porosities were, and if I look at the porosities of this  
22 Ruby log, then they're very similar. He saw 4 to 7  
23 percent, we're seeing 4 to 8. So that, in turn, would  
24 probably give you confidence that the storage capacity of  
25 the reservoirs may be similar, although they had some

1 thicker pay developments, obviously, in the Nearburg wells,  
 2 the ones over in the south Humble field, because they cum'd  
 3 such a high amount.

4 EXAMINER ASHLEY: I have no further questions,  
 5 Mr. Findlay. Thank you.

6 THE WITNESS: Thank you.

7 MR. CARR: Mr. Examiner, we would request that  
 8 the case be continued to the April 29 Examiner Hearing. We  
 9 might have to request an additional continuance, depending  
 10 on how long it takes to meet with Mr. Kautz and work out  
 11 the initial questions concerning the extent of the  
 12 reservoir.

13 But in any event, at this time we would request  
 14 continuance to the 29th.

15 EXAMINER ASHLEY: Case 12,132 will be continued  
 16 to April 29th, 1999.

17 (Thereupon, these proceedings were concluded at  
 18 9:27 a.m.)

19 \* \* \*

20  
 21 I do hereby certify that the foregoing is  
 22 a correct record of the proceedings in  
 the Examiner hearing of Case No. 12132  
 23 heard by me on 4-1 1999.  
 24 Mark Ashley, Examiner  
 25 Off Conservation Division

## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                                   )    ss.  
 COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL April 3rd, 1999.




---

STEVEN T. BRENNER  
 CCR No. 7

My commission expires: October 14, 2002