

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: )

CASE NO. 12,182

APPLICATION OF CONOCO, INC., FOR POOL )  
CREATION, SPECIAL POOL RULES AND THE )  
ASSIGNMENT OF A SPECIAL DEPTH BRACKET )  
ALLOWABLE, LEA COUNTY, NEW MEXICO )

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

May 13th, 1999

Santa Fe, New Mexico

OIL CONSERVATION DIV.  
99 MAY 27 AM 5:46

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, May 13th, 1999, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

STEVEN T. BRENNER, CCR  
(505) 989-9317

## I N D E X

May 13th, 1999  
Examiner Hearing  
CASE NO. 12,182

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>JOSEPH L. HUCK</u> (Geophysicist)	
Direct Examination by Mr. Kellahin	7
Examination by Examiner Catanach	20
Examination by Mr. Carroll	25
Further Examination by Mr. Kellahin	26
<u>JOSEPH A. MILLER</u> (Engineer)	
Direct Examination by Mr. Kellahin	27
Examination by Examiner Catanach	38
REPORTER'S CERTIFICATE	44

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6, 8	20
Exhibit 2	10	20
Exhibit 3	12	20
Exhibit 4	14	20
Exhibit 5	17	20
Exhibit 6	29	38
Exhibit 7	32	38
Exhibit 8	33	38
Exhibit 9	33	38
Exhibit 10	34	38
Exhibit 11	35	38
Exhibit 12	36	38
Exhibit 13	37	38
Exhibit 14	42	42

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Legal Counsel to the Division  
2040 South Pacheco  
Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

KELLAHIN & KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265  
By: W. THOMAS KELLAHIN

\* \* \*

STEVEN T. BRENNER, CCR  
(505) 989-9317

1           WHEREUPON, the following proceedings were had at  
2   10:16 a.m.:

3           EXAMINER CATANACH: At this time we'll call Case  
4   12,182.

5           MR. CARROLL: Application of Conoco, Inc., for  
6   pool creation, special pool rules and the assignment of a  
7   special depth bracket allowable, Lea County, New Mexico.

8           EXAMINER CATANACH: Call for appearances in this  
9   case.

10          MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of  
11   the Santa Fe law firm of Kellahin and Kellahin, appearing  
12   on behalf of the Applicant. I have two witnesses to be  
13   sworn.

14          EXAMINER CATANACH: Call for additional  
15   appearances.

16          Will you please swear in the witnesses,  
17   Counselor.

18          (Thereupon, the witnesses were sworn.)

19          MR. KELLAHIN: Mr. Examiner, Conoco, is before  
20   you this morning to ask you for special pool rules for what  
21   we have called the South Hardy-Strawn Pool. This  
22   constitutes what Conoco in their opinion believes is a new  
23   Strawn discovery. When you begin to look at the maps and  
24   start with the locator map, that you'll see we are in close  
25   proximity to what is now known as the South Cass-Strawn

1 Pool.

2 We're going to present to you evidence of  
3 separation between the South Cass Pool, which is identified  
4 on Exhibit 1 in the green outline and will be the southwest  
5 quarter of Section 36, and the southeast quarter of the  
6 additional section to the west. You can see it's centered  
7 in the gray area. There will be a line of cross-section.

8 The discovery well is the Hardy 36-26; it's the  
9 northernmost well on the cross-section line. The closest  
10 pool, then, is immediately to the south.

11 We're asking you for 160-acre oil spacing, that  
12 no more than one producing well for each 160-acre spacing  
13 unit be permitted, that a special depth bracket oil  
14 allowable, not to exceed 600 barrels of oil a day, be  
15 authorized, that we would abide by the statewide gas-oil  
16 ratio of 2000 to 1, that we would ask for well locations to  
17 be standard. If they're 660 setbacks from the outer  
18 boundary, we would ask that you relax the internal boundary  
19 lines. It's our preference that you use a 10-foot internal  
20 setback from a quarter-quarter line.

21 The information here is unique in that often you  
22 will see a request for a discovery and pool rules very soon  
23 after the well is completed. In this instance, the Hardy  
24 36-26 was completed a year ago, April of 1998, and that has  
25 afforded an opportunity for Conoco's technical people to

1 satisfy themselves of the separation of this well from  
2 those wells that continue to produce in the South Cass  
3 Strawn.

4 We have a geologic presentation that will show  
5 you the geologic predicate for the separation, followed by  
6 an engineering presentation which will authenticate the  
7 geologic conclusions, show you convincing evidence of that  
8 separation, show you drainage calculations to justify the  
9 160-acre spacing, and then finally to show you step-rate  
10 tests that demonstrate conclusively that a maximum oil  
11 allowable of 600 a day is the most optimum, efficient rate  
12 at which to produce this well and future wells in the pool.

13 JOSEPH L. HUCK,

14 the witness herein, after having been first duly sworn upon  
15 his oath, was examined and testified as follows:

16 DIRECT EXAMINATION

17 BY MR. KELLAHIN:

18 Q. All right, sir, would you please state your name  
19 and occupation?

20 A. My name is Joseph L. Huck, and I'm a  
21 geophysicist.

22 Q. Mr. Huck, on prior occasions have you testified  
23 before the Division as a geophysicist?

24 A. No, I have not.

25 Q. Summarize for us your education.

STEVEN T. BRENNER, CCR  
(505) 989-9317

1           A.    I have a bachelor's in geophysical engineering  
2 from Colorado School of Mines and a master's in business  
3 administration from Columbia University.

4           Q.    In what years did you obtain your degrees?

5           A.    My geophysics degree was in 1973, and my master's  
6 in business administration was in 1981.

7           Q.    Are the geologic and geophysical conclusions and  
8 opinions that are about to be expressed those of your own?

9           A.    Yes, they are.

10          Q.    You reside in Midland, Texas, I believe?

11          A.    Yes, I do, Midland, Texas.

12          Q.    And your current responsibilities with Conoco  
13 would include this project?

14          A.    Yes.

15               MR. KELLAHIN: We tender Mr. Huck as an expert  
16 witness.

17               EXAMINER CATANACH: He is so qualified.

18          Q.    (By Mr. Kellahin) Let's take a moment, Mr. Huck,  
19 and have you unfold Conoco Exhibit 1. Let's use it as --  
20 for a moment as a locator map.

21               When you look at the map and see within the  
22 southwest quarter of 36 and the southeast quarter of 35,  
23 what is scribed in that 320 acres by the blue outline?

24          A.    That is the South Cass Pool.

25          Q.    What are the current spacing requirements for the



1 South Cass-Strawn Pool?

2 A. Forty acres.

3 Q. And the wells in that pool are operated by  
4 Conoco?

5 A. Yes, they are.

6 Q. Show us the discovery well that is the subject of  
7 the case this morning.

8 A. The subject well is in the northeastern quarter  
9 of Section 36, and it is highlighted by the large purple  
10 circle.

11 Q. On the Examiner's copy of Exhibit 1, I have  
12 linked the cross-section line, and when you start with the  
13 discovery well at the northern end of that cross-section  
14 line and link the other lines on that cross-section, we  
15 will see the line of cross-section that you have prepared?

16 A. That is correct.

17 Q. Give us a short summary, before we look at your  
18 technical displays, of the major opinion you have reached  
19 about the relationship between the Hardy 36-26 well and  
20 those existing wells currently within the South Cass-Strawn  
21 Oil Pool.

22 A. Okay, there's really three main things that I  
23 intend to show today.

24 The first is that the reservoir zone in the 36  
25 Number 26 is a dolomite reservoir, where in the other wells

1 the zone that produces is a limestone.

2 The second is that there is a structural  
3 separation between the 36-26 well and the 36 Number 1 well.  
4 There's a fault through there.

5 And that I believe what controls the production  
6 is a stratigraphic zone or interval within the Strawn and  
7 that the zone that produces in the 26 well is separate from  
8 the South Cass Pool.

9 Q. To illustrate and support those opinions and  
10 conclusions, what type of displays have you prepared that  
11 we're about to show the Examiner?

12 A. I have two maps. One is a depth map on the top  
13 of the Strawn interval. The second is a map to indicate  
14 the stratigraphic zones that I think control production in  
15 these pools. The third is a seismic line which connects  
16 these three wells and clearly shows the reservoir which  
17 produces and the fault which separates the 36-26 from the  
18 Number 1 well, and the last is a geologic cross-section  
19 through these five wells.

20 Q. All right, Mr. Huck, let's show the Examiner the  
21 first of those displays. If you'll turn to Exhibit Number  
22 2, would you identify Exhibit Number 2 for us?

23 A. Yes, this is a depth map on the top of the  
24 Strawn. The top of the Strawn in this area is an erosional  
25 surface. The map is at a scale of one inch to 1000 feet.

1 The contour interval is 50 feet. It's based on 3-D seismic  
2 and the wells that have penetrated deep enough to offer  
3 control on the Strawn.

4 The colors on this map -- The reds are the  
5 highest portions of the structure, grading down through the  
6 yellows into the blues, which are the deepest portion of  
7 this map.

8 Q. How do you use this map to reach any of the  
9 conclusions that you have just illustrated to the Examiner?

10 A. There is a fault located in Section 35,  
11 essentially east-west, extending into Section 36, and I  
12 believe that fault offers structural separation between the  
13 wells.

14 Q. Why do we not see on this map the continuation of  
15 that fault line in an easterly direction so it bisects  
16 Section 36 and physically separates out the discovery well  
17 from those wells currently in South Cass?

18 A. The top of the Strawn is an erosional surface, so  
19 relief created by the fault has been eroded away, and you  
20 see very little evidence of relief or structure developed  
21 by that fault.

22 Q. When we get down to the producing portion of the  
23 Strawn interval, then we will be able to see other geologic  
24 illustrations that clearly convince you of this separation?

25 A. That is true.

1 Q. And the reason we don't see it here is, we're  
2 looking at just above that producing horizon?

3 A. Yes, we are looking above the zone, and this is  
4 an unconformity surface, so it's been flattened and  
5 smoothed to some extent.

6 Q. When you spot the wells on here, are these all  
7 Strawn wells, or do they belong to other horizons?

8 A. The smaller blue symbols with a depth posted next  
9 to it are shallow wells. Wells that have been deep enough  
10 to encounter the Strawn are larger black circles. They're  
11 located in Section 20 primarily -- that's the Warren McKee  
12 area -- and in Section 23 and 15 -- that's the Cass Pool.  
13 But around Section 36 the wells marked by the black  
14 triangle -- there's four of them -- those are the wells I  
15 believe are in the South Cass Pool. The well we are  
16 discussing is the 26 well marked by a large black square.

17 Q. Let's just set this display aside, then --

18 A. Okay, one other thing, if I may. Two other wells  
19 in Section 36 encountered the Strawn but have not been  
20 completed into the Strawn.

21 Q. Let's turn to your next display, Mr. Huck. It's  
22 Exhibit Number 3. What type of display are we looking at  
23 now?

24 A. This is generated from the seismic data, and it  
25 is an isochron map, which is a time-thickness map.

1 Q. We're looking at an interval now within a certain  
2 vertical context?

3 A. Yes, yes.

4 Q. And what is that interval?

5 A. This is what I believe to be the productive zone  
6 within this portion of the Strawn.

7 Q. What does the color code tell you?

8 A. The colors in this case, the reds are the thins,  
9 the thinner portions of the reservoir, and the greens are  
10 the thicker portions of the reservoir.

11 Q. On this display there is a difference with the  
12 extension of the fault --

13 A. Yes.

14 Q. -- between this map and the last map?

15 A. Yes, the same fault that we saw on the previous  
16 map, extending through Section 35, also extending in to  
17 Section 36, extends further east, because we are  
18 structurally lower on what's mapped on this map, and the  
19 fault has significant throw throughout Section 36.

20 Q. Do you have sufficient data to determine the  
21 precise east endpoint of this fault?

22 A. Through the seismic data, yes, you can map it.

23 Q. Are you satisfied geologically that there is a  
24 fault separation between the South Cass wells and the Hardy  
25 36-26 well?

1           A.    Yes, I am.

2           Q.    Is that fault separation a significant enough  
3 distance to totally displace the producing intervals  
4 between the current pool and the discovery well?

5           A.    Yes, it is.

6           Q.    Let's have you help us see that. Do you have a  
7 seismic profile line that will illustrate that point?

8           A.    Yes, the next exhibit, which would be Exhibit 4,  
9 is a seismic profile abstracted from the 3-D survey which  
10 we have over a large portion of Lea County, and it is  
11 generated along the cross-section which has been marked on  
12 the previous two maps.

13          Q.    If we want to find where each well is within the  
14 vertical profile, there is a well number associated with  
15 that well?

16          A.    Yes, the wells are marked at the top of this  
17 section, and they are indicated by either dashed or solid  
18 black lines extending down through this section, and the  
19 total depth of the wells are marked by a black circle.

20          Q.    Starting with the 26 well, let's go down  
21 vertically from the shallowest depths until we reach the --  
22 it looks like a purple line to me -- the first shaded  
23 horizontal colored line?

24          A.    Yes.

25          Q.    What does that represent?

1           A.    That is my interpretation of the top of the  
2   Strawn.

3           Q.    How does that line relate to Exhibit Map Number  
4   2?

5           A.    That is the exact pick that the map in Exhibit 2  
6   was made from, and it is an unconformity surface.  You can  
7   see if you look from the left to the right that the  
8   interval mapped by these horizons does thin from the left  
9   to the right.

10          Q.    Continue down the line of information for the  
11   Number 26 well, and you have a horizontal green line.  What  
12   does that represent?

13          A.    That is my interpretation of where the top of the  
14   pay zone for this Strawn pool is.

15          Q.    And then the next line down is the red line.  
16   What does that represent?

17          A.    The red line is what I have interpreted and  
18   believe to be the base of the reservoir zone.

19          Q.    And then finally the yellow horizontal line.

20          A.    The yellow horizontal line is the top of the  
21   Devonian, and you can see between the Number 26 and the  
22   Number 1 well that there is a fault interpreted on that  
23   line.

24          Q.    In your opinion, is the quality of the data  
25   sufficient to allow you to make this interpretation?

1           A.    Yes, it's clearly shown on this line and many  
2 other lines throughout the survey, you can clearly map this  
3 fault.

4           Q.    Let's go to the left and find the nearest well  
5 that currently is in the South Cass Pool.  It's the Hardy  
6 36-1 well.  When you read down on that data point, you find  
7 the same information as you found for the 26 in terms of  
8 finding these markers that are connected with the color  
9 code?

10          A.    The same horizons exist in the 36 Number 1 well,  
11 yes.

12          Q.    Between the two wells is a vertically oriented  
13 line in yellow.  What does that represent?

14          A.    That represents the fault that separates the  
15 Number 1 well from the 26 well.

16          Q.    And what tells you on this illustration that that  
17 fault is sufficient enough to displace the producing Strawn  
18 horizons in the 26 well from the other wells currently in  
19 the South Cass Pool?

20          A.    Looking at the left side of the fault, you can  
21 see the green and the red horizons picked, which are the  
22 top and the base of the pay zone.  And also on the right  
23 side of the fault you can see the green and the red  
24 horizons.  And there is sufficient separation or throw  
25 across that fault to completely separate what I believe to



1 be the producing zone.

2 Q. Let's turn to your last display. If you'll set  
3 Number 4 aside, let's look at Exhibit 5. Identify Exhibit  
4 5 for us.

5 A. Exhibit 5 is a geologic cross-section going  
6 through the five wells which we've already looked at on the  
7 seismic line and as marked on the previous two maps.

8 Q. Take us, in the 36-26, the discovery well on the  
9 far right, starting at the top, lead us down through the  
10 color code so we know what you're saying with this  
11 illustration.

12 A. Okay. In the legend we have the Strawn  
13 limestones, which are clean limestones marked in the pale  
14 blue color. Strawn dolomite is marked in the purple  
15 colors. And slightly dirtier limestones, shaly limestones,  
16 are in the brown colors.

17 In the lithology column of all the wells, the  
18 limestone is filled to be a little brighter blue.

19 Q. On the far right scale on this log there is an  
20 area shaded in yellow. What does that represent?

21 A. That represents the porosity zone. That's from  
22 the neutron log, and any porosity greater than four percent  
23 is highlighted in the yellow color.

24 Q. What criteria have you selected to show you the  
25 productive interval within the Strawn pay for this well?

1           A.    On this well, to the right of the gamma-ray  
2    curve, which is the left portion of the log curve, there  
3    are some black bars.  There's about an eight-foot bar near  
4    the top of the well.  That is open and producing.  But the  
5    major pay zone is deeper down.  It's a 46-foot interval  
6    through that large dolomite which is shown on the log.

7           Q.    As we move to the left and pick up the 36-1 well,  
8    which is the nearest well in the South Cass Pool, describe  
9    for us the differences you see between the Hardy 36-26 and  
10   the well I've just identified.

11          A.    The major difference is that the large dolomite  
12   that was encountered in the Hardy 36-26 well is not present  
13   in the Hardy 36 Number 1 well.

14          Q.    And as you continue to the left on the cross-  
15   section, describe for us what is the conventional producing  
16   Strawn zones in those wells.

17          A.    They are also marked by the black bars, which  
18   show the top and base of all the perf'd zones in the wells,  
19   and you will see that those wells are all perforated within  
20   clean limestones.

21          Q.    Summarize for us, then, using this display, the  
22   major points that you have concluded geologically that  
23   separate out the Hardy 36-26 well from the other Strawn  
24   wells in this area.

25          A.    The lithology is different for the major pay zone

1 in the Hardy 36-26 from the other wells on the cross-  
2 section. The fault -- There's clear fault separation  
3 between the two wells. It's form-lined in on the  
4 structural cross-section here, but it's clearly evident on  
5 the seismic line.

6 And the stratigraphic zone, as we saw in Exhibit  
7 3, the major pay zone, which is that dolomite, does not  
8 extend into the Number 1 well.

9 Q. When we look at the size and shape of the Hardy  
10 State 36-26 Pool, is there any structural relationship that  
11 exists in that pool to cause you to believe that there is  
12 an original gas cap in that pool?

13 A. No.

14 Q. It would appear to be a typical Strawn oil pool  
15 that doesn't have a structural component to give you  
16 downstructure oil wells that have water and upstructure oil  
17 wells that have gas? It's not that kind of creature?

18 A. No.

19 Q. Is there any water production associated with  
20 these wells?

21 A. None to date.

22 Q. Do you see any indication of a water column or a  
23 water leg to the reservoir?

24 A. Not -- No, we don't.

25 Q. Based upon your geologic and geophysicist

1 perspective, do you see any reason not to approve the  
2 Application as requested by Conoco?

3 A. No, I do not.

4 MR. KELLAHIN: That concludes my examination of  
5 Mr. Huck.

6 We move the introduction of his Exhibits 1  
7 through 5.

8 EXAMINER CATANACH: Exhibits 1 through 5 will be  
9 admitted as evidence.

10 EXAMINATION

11 BY EXAMINER CATANACH:

12 Q. Mr. Huck, you mentioned there were two other  
13 wells in that section that penetrated the Strawn?

14 A. That is true, in Section 36, yes.

15 Q. And where are those located?

16 A. If -- Yes, the map you're looking at now, the  
17 stratigraphic zone map, in proration unit E there is the  
18 Number 7 well, is located there.

19 Q. Is that the one that 10-8-90 by the side of it?

20 A. Yes, it is.

21 Q. Okay.

22 A. Yes, it is. And the other one is probably in  
23 proration unit N to the south. It's Number 15. It's got a  
24 depth of 10,340.

25 Q. Okay, those wells penetrated the Strawn but have

1 not been completed?

2 A. Yes, the Number 15 well, the one to the south, is  
3 producing from the McKee, and at some point we do intend to  
4 recomplete that well to the Strawn.

5 Q. And the Number 7 well?

6 A. The Number 7 well, it had no pay within the  
7 Strawn interval.

8 Q. You didn't do a cross-section from the South Cass  
9 up to the Number 7 well, did you?

10 A. I have done that. I do not have that with me.  
11 It clearly shows that it is downfaulted from the wells --  
12 the 21 well and the 1 well, which are the other wells in  
13 Section 36 in the South Cass Pool.

14 Q. It did show that there's a fault there?

15 A. Yes. And there is a fault interpreted on this  
16 log too.

17 Q. Have you been able to identify the extent of the  
18 Strawn structure in that northeast quarter?

19 A. Which northeast quarter?

20 Q. The one where the Number 26 well is located?

21 A. Yes, I believe that the color on the  
22 stratigraphic map towards the north, up into Section 25 and  
23 26 and also into 30, seismically maps out to be the same  
24 pool. The 26 well is the only penetration in that pool at  
25 the moment.

1 Q. Okay, but all of that -- you feel like it all is  
2 connected, it's the same?

3 A. At this point in time, based on seismic  
4 interpretation, yes.

5 Q. So you've got some potential to drill some  
6 additional wells up there?

7 A. That is our intention.

8 Q. On that same exhibit, what are those yellow  
9 lines?

10 A. Oh, okay, the yellow lines represent the Conoco  
11 acreage. The Section 36 is outlined in yellow. We own  
12 that a hundred percent. The striped yellow lines represent  
13 partnership acreage.

14 So a section -- Like in Section 34, there's no  
15 yellow color. We do not own an interest in that section.

16 Q. Okay. Are there any additional wells planned at  
17 this point?

18 A. We have an outstanding AFE to our partners for a  
19 well located in Section 30. I believe it is in proration  
20 unit L.

21 Q. From your data, can you quantify the distance in  
22 the fault separation there between these two areas?

23 A. From the seismic and the velocities derived from  
24 the seismic, yes, we can make an estimate of how much throw  
25 we think is across that fault.

1 Q. Have you done that?

2 A. Yes, I think there's probably 80 to 100 feet of  
3 throw across that fault, at the zone -- or the depth  
4 interval of the pay zone.

5 Q. Okay, and the Number 26 well would be on the  
6 downthrown side of that fault?

7 A. That's correct.

8 Q. Will the presence of that fault -- What would  
9 explain the differences in lithology in those two areas?  
10 Would that be --

11 A. If you look at the geologic cross-section,  
12 beginning from the left and looking at the lower thick  
13 limestone, it's located between shaly limestone A and shaly  
14 limestone B.

15 You can see off on the western flank it's fairly  
16 uniform in thickness, and then it thins at the 1 location  
17 and is quite thin at the 26 location. I think you've had  
18 some reactivation of that fault about the time of  
19 deposition. I think some of your carbonate mounds have  
20 moved around where they developed. And I think as the  
21 fault moved down, you had more deposition within the zone  
22 marked between shaly limestone B and C, and that has been  
23 leached to become dolomite.

24 Q. The upper dolomite section in your 26 well, is  
25 that nonproductive?

1           A.    Yes, it is nonproductive in that well?

2           Q.    Is that tight or --

3           A.    Yes, it is tight.

4           Q.    Okay. That same zone is being produced in the  
5   Number 1 well, though; is that correct?

6           A.    Yes, according to our correlation between those  
7   two wells.

8           Q.    What you've got mapped as far as the -- I guess  
9   on your Exhibit Number 3 you've got the easternmost point  
10   of that fault. Is that your interpretation of that, that  
11   that's the easternmost --

12          A.    The easternmost point? With the resolution of  
13   the seismic data, I only map it where it is clearly seen.  
14   I do believe that below the seismic resolution, that it  
15   extends further east and moves a little north.

16                The color -- the linear color going through the  
17   21 well, the -- sorry, in the Number 1 well, continues off  
18   east and turns a little north, I think that is all on the  
19   upper -- upthrown side of that fault. But I can't map that  
20   fault further than what's indicated on this map here. But  
21   on the depth map you can see some evidence of change in the  
22   contours to indicate that there is some small evidence of  
23   faulting --

24          Q.    Okay.

25          A.    -- through there.



1 Q. That portion of the Strawn reservoir that's east  
2 of the Number 1 well, that continues to the east there, is  
3 that productive in your opinion?

4 A. Yes --

5 Q. It is productive?

6 A. -- in my opinion, I believe -- Yes. And we have  
7 plans to drill another well. It's included in our  
8 development plan.

9 Q. But you believe that whole area is not connected  
10 to the 26 well?

11 A. Yes.

12 EXAMINER CATANACH: I have nothing further.

13 MR. CARROLL: I've got a couple questions.

14 THE WITNESS: Okay.

15 EXAMINATION

16 BY MR. CARROLL:

17 Q. Mr. Huck, on Exhibit 4, on the Hardy 36 State  
18 Number 1, the dolomite is represented by the blue?

19 A. Well, the seismic is not -- does not have the  
20 resolution to distinctively show you the detail that's  
21 shown on the geologic cross-section. I believe that the  
22 major pay zone is represented by the blue on the seismic  
23 line. They're trying to just --

24 Q. And the green is the top and the red is the --

25 A. -- base.

1 Q. -- bottom of the pay zone?

2 A. Yes.

3 Q. So that blue would be the dolomite, represented  
4 by the pink on Exhibit 5?

5 A. I think in the blue on the seismic line there's  
6 more than just the dolomite shown. I think what's shown in  
7 the blue is most of the section colored on the geologic  
8 cross-section. The resolution of the seismic is not going  
9 to allow you to see 10-foot dolomite in the Number 1 well.

10 MR. CARROLL: All right, that's all I have.

11 EXAMINER CATANACH: Okay, the witness may be  
12 excused.

13 MR. KELLAHIN: There's a follow-up question I  
14 need to ask about the well-location request.

15 FURTHER EXAMINATION

16 BY MR. KELLAHIN:

17 Q. Conoco had proposed 660-footage outer-bound  
18 setbacks in the spacing units and 10-foot interior  
19 setbacks?

20 A. Yes.

21 Q. Is there a geologic reason to have that type of  
22 flexibility within a spacing unit?

23 A. Yes, there is.

24 Q. If so, describe for us how.

25 A. Okay, on Exhibit 3, which is a stratigraphic zone

1 map, I believe that drilling wells in the yellow-to-green  
2 portions of that map will encounter thicker reservoirs, and  
3 the current spacing requirements would not allow some of  
4 those locations to be drilled in the best position.

5 Q. So you either have to file administrative  
6 applications for unorthodox locations in order to crowd  
7 what is now an interior line?

8 A. That is true, yes.

9 Q. And if it's relaxed to 10 feet, then those  
10 applications would not have to be filed?

11 A. That's true.

12 MR. KELLAHIN: I have nothing else.

13 EXAMINER CATANACH: Okay.

14 MR. KELLAHIN: Mr. Catanach, our next witness is  
15 Mr. Joe Miller. Mr. Miller is a reservoir engineer. He  
16 resides in Midland, Texas.

17 JOSEPH A. MILLER,  
18 the witness herein, after having been first duly sworn upon  
19 his oath, was examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. KELLAHIN:

22 Q. For the record, sir, would you please state your  
23 name and occupation?

24 A. My name is Joseph A. Miller, and I'm a reservoir  
25 engineer with Conoco.

1 Q. On prior occasions, have you testified before the  
2 Division and qualified as a reservoir engineer?

3 A. Yes, I have.

4 Q. Pursuant to your employment by Conoco, have you  
5 made a reservoir engineering study of the discovery well  
6 we've called the Hardy 26?

7 A. Yes. Yes, I have done that.

8 Q. In addition, have you done other work to satisfy  
9 you as an engineer that that well is producing in a new  
10 reservoir that's not currently being produced?

11 A. Yes, I believe that's so.

12 Q. Let's start with your major conclusions, then.  
13 Are you able to reach conclusions about the separation  
14 between this well and other wells in the Strawn?

15 A. Yes, with the reservoir and production  
16 characteristics, they support the geologic evidence that  
17 the pools are separate and act independently of one  
18 another.

19 Q. In addition, were you able to reach engineering  
20 conclusions concerning an appropriate size spacing unit and  
21 an appropriate maximum oil allowable?

22 A. Yes, I was. From the pressure buildup  
23 information and PVT information we collected, I am  
24 confident that 160 acres is the appropriate spacing, and  
25 also from production testing over a full year of production

1 history, that 600 barrels a day allowable is appropriate  
2 for this pool.

3 MR. KELLAHIN: Mr. Examiner, I tender Mr. Miller  
4 as an expert witness.

5 EXAMINER CATANACH: He is so qualified.

6 Q. (By Mr. Kellahin) Let's talk about the displays  
7 that illustrate your major conclusions, Mr. Miller. Let's  
8 start with the first one. What type of data did you  
9 utilize to satisfy yourself that the Hardy 26 well is  
10 separated from those wells producing in the South Cass-  
11 Strawn Pool?

12 A. A combination of a pressure-buildup, extended  
13 pressure-buildup test, PVT data which I used for some  
14 material-balance simulation, and the production history of  
15 the well.

16 Q. When we look at Exhibit 6, are we looking at your  
17 summary exhibit that shows the differences between the  
18 discovery well and the existing wells?

19 A. Yes.

20 Q. Lead us through your major conclusions, starting  
21 with the pressure buildup analysis.

22 A. Okay, the pressure buildup analysis results -- I  
23 ran a pressure buildup on both the Hardy 36-26 and the  
24 Hardy 36 State Number 1 wellbores at about the same date,  
25 one day apart. Both were done early in the life of the new

1 completions.

2 The durations of the buildup were what we  
3 consider extended buildups, seven days for the Number 26  
4 and about 16 days for the Hardy 36 State Number 1.

5 And the conclusion is that the reservoir pressure  
6 is -- that the pools are isolated, the reservoir pressures  
7 were significantly different, and it shows some form of  
8 boundary.

9 Also, the pressure buildup indicates that the  
10 flow capacity of the two pools -- or the two wellbores --  
11 is quite different, with the Hardy 36 State Number 26 being  
12 a much more prolific capacity to flow.

13 Q. At this depth, what would you expect to be virgin  
14 pressure of a discovery well in the Strawn?

15 A. It should be 3300 p.s.i. This reservoir pressure  
16 of 2808 was taken after 30,000 barrels of oil was produced  
17 in the first 34 days.

18 Q. Had there been communication with the existing  
19 wells in the South Cass Strawn, you would be surprised to  
20 see the pressure in the 26 as high as it was?

21 A. Can you ask that --

22 Q. Yes, sir. When you look at the pressure, is that  
23 enough difference to satisfy you of separation?

24 A. Yes, it is.

25 Q. Let's look at the producing characteristics. Are

1 there any characteristics of production that separate out  
2 the 26 well from the other wells in the South Cass Pool?

3 A. Yes, there are several. First off, this is just  
4 the elevation of the top of the Strawn, showing that there  
5 is not -- At the top of the Strawn there is not a large  
6 structural change. Stabilized initial producing GOR for  
7 the Number 26 well was only 980 standard cubic feet per  
8 barrel, whereas in the Hardy 36 State Number 1, it was  
9 nearly twice that.

10 The current producing GOR is also significantly  
11 different, with about the same range, the Number 26 well  
12 producing below 1000 and the Number 1 well producing above  
13 2000.

14 Additional evidence, or differences, is the API  
15 gravity of the two crudes, 40 degrees versus 43.6 is fairly  
16 significant. Also, the flow capacity is listed, not only  
17 on the peak production rate obtained on the Hardy 36 Number  
18 26 of 1570 barrels of oil per day, versus the 316 barrels a  
19 day from the Number 1. Gas production is also similar.

20 And also at current production rates, we still  
21 have the Number 26 restricted at about a 600-barrel-a-day  
22 test rate. The Number 1 is on a very steep decline,  
23 producing at about 20 barrels a day on pump.

24 Q. Are the production characteristics of the 36  
25 State 1 well, which is in the South Cass Pool, are those

1 typical of the other -- what do you have? Three more wells  
2 in that pool still producing?

3 A. Yes.

4 Q. How does that well compare to the other three?

5 A. The Hardy 36 State Number 1 is one of the poorer  
6 producers of the four, although all four wells are -- you  
7 could not drill commercial wells for those four wells.  
8 They are poorer producers, especially compared to the  
9 Number 26 well.

10 Q. What kind of range of oil production on a daily  
11 basis do you get from the other three wells?

12 A. The other wells produce between 20 and 40 barrels  
13 of oil a day.

14 Q. Let's turn to Exhibit 7 and have you identify  
15 this display. What are we looking at here?

16 A. This is a summary of the basic well and reservoir  
17 data for the discovery well, the Number 26 well. The  
18 reservoir data collected for characterization included both  
19 the pressure buildup and PVT data from downhole sampling.

20 The combination of this data, the production data  
21 and a material balance simulation tells us what type of  
22 drive this reservoir is.

23 Q. And what conclusion have you reached?

24 A. We believe this is a solution gas drive  
25 reservoir.



1 Q. When we look at Exhibit 8, what are we seeing on  
2 Exhibit 8?

3 A. Exhibit 8 is a summary of the production data and  
4 a buildup analysis. This exhibit shows the excellent --  
5 the flow capacity of the well, not only under initial  
6 testing but also today. And also is a summary of the  
7 modeling results of the pressure buildup, which supports  
8 the 160-acre spacing as appropriate for this pool.

9 Q. When you look at the Roman numeral II entry on  
10 this exhibit -- it says "Pressure Build-Up Analysis  
11 Results" -- read down, the last entry deals with a drainage  
12 area. You have calculated for this particular well a  
13 drainage area of 190 acres?

14 A. Yes.

15 Q. How did you do that?

16 A. The pressure buildup analysis, the model used was  
17 a type-curve analysis, and the initial and boundary  
18 conditions for the model were modeled as a heterogeneous  
19 naturally-fractured system with negative skin, and a closed  
20 rectangular boundary with the dimensions of 1800 feet by  
21 4600 feet. That 1800 by 4600 is 190 acres.

22 Q. Let's look at your Exhibit 9, your boundary  
23 illustration, and summarize for us what you're doing here  
24 for the Examiner. What's happening in the top part of the  
25 display?

1           A.    Okay, this is a type-curve analysis off the  
2    buildup.  It's a graphical representation of the  
3    theoretical solutions of the radial-flow equations, and  
4    with specific initial and boundary conditions.  Each curve,  
5    with different conditions, has a different shape and slope.

6           The actual data that we read from our production  
7    buildup is plotted as squares.  This is change in pressure  
8    versus change in time.  There's also a derivative curve,  
9    the change in pressure with respect to time versus time.

10          The actual data is plotted as a square.  The  
11    derivative of that data is a circle.  And then our best-fit  
12    line are placed through the raw data.

13          Q.    What's the methodology used to determine your  
14    ultimate conclusion that it has a best-fit rectangular  
15    drainage area within a size of approximately 190 acres?

16          A.    Yeah, each family of curves has a different shape  
17    and slope, and our best fit of the data indicates a  
18    rectangular drainage area, and with these dimensions, a  
19    permeability and this given skin factor.

20          Q.    If we size this reservoir at less than 160 acres,  
21    then there's an opportunity here to drill unnecessary  
22    wells, would there not be?

23          A.    That's correct.

24          Q.    All right, let's turn to Exhibit Number 10.  
25    Identify and describe this display.

1           A.    This is simply a production graph of oil, gas and  
2   GOR versus time.

3                   The important conclusions from this graph is that  
4   in general, over a full year's worth of production, our GOR  
5   has not substantially increased. It is basically a flat  
6   GOR curve. But within the general nature of this curve,  
7   each time we increase our oil-production rate, we will  
8   actually see a decrease in the producing GOR.

9           Q.    When you made your comparison of the producing  
10   oil-gas ratios between the Cass Pool and the discovery  
11   well, you saw a substantial difference, did you not?

12          A.    Yes, about double.

13          Q.    When we look at information on Exhibit 10, show  
14   us on this display what you've described to be the desire  
15   of this well to produce more efficiently at rates above  
16   what would otherwise be the 427-barrel-a-day allowable for  
17   160-acre spacing.

18          A.    Yes, you can see that in May of 1998, August of  
19   1998 and also November of 1998, that as we were doing some  
20   testing of the well to try to find the most efficient  
21   producing GOR, at those three times when we increased the  
22   rate over a month, we got a decrease in producing GOR.

23          Q.    Turn to Exhibit 11 and identify this display.

24          A.    This display is taking all -- This is a graph of  
25   daily oil rate versus producing GOR, using all the test

1 data that we have, a full year's worth of test data. And  
2 it indicates that the producing GOR is lower at the higher  
3 production rates.

4 Q. Let's turn to a specific plot of the test data.  
5 If you'll turn to Exhibit 12, what are we seeing here?

6 A. This is the same data that we have been plotting.  
7 This is a tabular tabulation of all the production data for  
8 the discovery well.

9 Q. For the production shown for this well, you've  
10 been operating under the requirements for 187 barrels a day  
11 for 40-acre oil spacing?

12 A. That's correct, even though these test rates are  
13 higher, the monthly allowable of 187 barrels a day, we  
14 produce the well at around 600 barrels a day for the first  
15 ten days of the month, and then shut the well in because  
16 we've made our allowable for the month.

17 Q. Okay, have you received permission from the  
18 District Office to run various tests?

19 A. Yes, we have.

20 Q. Let's look at some of the data points. Are there  
21 places in the data sheet where you can demonstrate where  
22 you've tried to restrict this well to 427 barrels a day to  
23 see what would happen?

24 A. Yes, there is.

25 Q. Where would we find those?

1           A.    I have noted those places with an asterisk on  
2   this first sheet, Exhibit 12. Under initial completion we  
3   attempted to go to 10/64 choke to produce at lower rates.  
4   The well loaded up and would not flow. We opened it up to  
5   a 14/64-inch choke and it initiated flow again.

6           Q.    Then we can see from your producing GOR and some  
7   of the other testing plots that a maximum allowable of 600  
8   barrels a day is a rate that allows you to produce this  
9   well at its most efficient?

10          A.    That's correct.

11          Q.    The final display, Exhibit Number 13, is what,  
12   Mr. Miller?

13          A.    The final exhibit is just the Rule 505.A depth  
14   bracket allowables, indicating that at our depth of 7000 to  
15   7999 feet, we -- under 160 acres would be producing 427  
16   barrels of oil per day.

17          Q.    And you've also calculated the discovery oil  
18   allowable?

19          A.    Yes, the oil discovery allowable under 509.A and  
20   509.F would be an additional 52 barrels of oil per day.

21          Q.    In your opinion, Mr. Miller, would approval of  
22   this Application be in the best interests of conservation,  
23   the prevention of waste and the protection of correlative  
24   rights?

25          A.    Yes.

1 MR. KELLAHIN: That concludes my examination of  
2 Mr. Miller.

3 We move the introduction of his exhibits, which  
4 are numbered 6 through 13.

5 EXAMINER CATANACH: Exhibits 6 through 13 will be  
6 admitted as evidence.

7 EXAMINATION

8 BY EXAMINER CATANACH:

9 Q. Mr. Miller, I misunderstood. Are you asking for  
10 a discovery allowable in addition to the special allowable?

11 A. Yeah, the --

12 MR. KELLAHIN: We are not certain, Mr. Examiner,  
13 if the District has already accomplished that for us. Mr.  
14 Carlisle had checked. He had thought they had issued the  
15 nomenclature information to give us a new pool and a  
16 discovery allowable.

17 When Mr. Stogner was preparing the docket he  
18 called me and said he was unable to verify that, so I'm not  
19 sure where that issue stands.

20 EXAMINER CATANACH: I'm a bit confused. This  
21 well has been producing from what pool, for the past year?

22 MR. KELLAHIN: I assume it's been temporarily  
23 assigned to the South Cass-Strawn Pool. I think those are  
24 the rules we've had to operate under.

25 EXAMINER CATANACH: So the Cass-Strawn has been

1 extended?

2 MR. KELLAHIN: I don't know if they've physically  
3 extended it, but because we were within a mile of that pool  
4 we've been asked to operate under those rules. And the  
5 District has been waiting for us to tell them we had  
6 sufficient data to separate it out from the South Cass  
7 Pool.

8 EXAMINER CATANACH: Okay, I don't see -- Without  
9 the creation of a new pool, I don't see how you could have  
10 been assigned a discovery allowable. I'll see if I can --

11 MR. KELLAHIN: And it may not have happened, and  
12 if so, we would like to have the discovery allowable  
13 authorized.

14 Q. (By Examiner Catanach) Mr. Miller, is it too  
15 early to tell in the life of this field whether the  
16 additional wells that you drill are going to exhibit the  
17 same kind of producing characteristics or encounter the  
18 same kind of geologic properties as this well?

19 A. I believe that Joe Huck, the geologist that spoke  
20 earlier, feels that we are in the same zone, that things  
21 look similar to the north and to the east. But from any  
22 additional reservoir information, without additional well  
23 control, I don't know that.

24 Q. Okay, the approach you took to calculating the  
25 drainage area, it was done that way because you don't have

1 a decline on this well; is that essentially why we did it  
2 that way?

3 A. That's correct.

4 Q. Is that well currently capable of producing more  
5 than 600 a day?

6 A. Oh, yes, it is. At a small choke setting of  
7 17/64 it still will produce at around 600 barrels of oil a  
8 day.

9 In fact, the 1570-barrel-a-day peak rate was  
10 still only at a very small choke setting and facility-  
11 limited.

12 Q. So it's capable of in excess of that?

13 A. Yes, sir.

14 Q. Do you feel like we have enough data from this  
15 one well to go with permanent 160 spacing?

16 A. The -- It was my understanding that the outline  
17 of the new pool that we are trying to create is only the 60  
18 for the Number 26 well.

19 MR. KELLAHIN: I don't think you -- You're not  
20 answering the question asked. The question is whether he  
21 should make this temporary for a period of time, or is  
22 there enough data to establish permanent rules for your  
23 discovery well?

24 THE WITNESS: I feel it would be more appropriate  
25 to go with the temporary period of time, in the 18-months



1 to two-year period.

2 Q. (By Examiner Catanach) Is there any way of  
3 telling at this point whether this well in that time period  
4 might start declining to a point where you could determine  
5 something that way?

6 A. Yes, the volumetric estimate for reserves and the  
7 material balance estimate for reserves both come up with  
8 about the same reserve number.

9 With the production rate at over 600 barrels of  
10 oil per day, we should see this well go on decline prior to  
11 that two-year -- to a two-year period.

12 Q. What number do your volumetrics come up with?

13 A. Our volumetrics are around in the half-a-million-  
14 barrel range. The material balance is slightly less than  
15 that for this well.

16 Q. Have you estimated how much of that may be  
17 recoverable?

18 A. My estimate is a 20- to 25-percent recovery  
19 factor.

20 Q. Was the initial reservoir pressure in the South  
21 Cass, was that at 3300?

22 A. It also was at 3300.

23 Q. And so you would have expected this to come in at  
24 3300, something similar to that, right?

25 A. Yes.

1           Q.    But you did produce 30,000 barrels of oil before  
2 you did this buildup test?

3           A.    That's correct.

4           Q.    Cumulative production from the 26 well is 12  
5 barrels of water?

6           A.    That's correct, and that is most likely load  
7 water from an acid stimulation. That cum is also only  
8 through March 26th of 1999. The additional tabular data is  
9 up through May 10th.

10          Q.    If you get the additional 51- or 52-barrel  
11 discovery allowable, is that going to change your opinion  
12 on the best efficient rate to produce this reservoir? You  
13 would then have an allowable of 650. Is that going to make  
14 a difference?

15          A.    No, that is still within the range I think is the  
16 most efficient way to produce this well. We likely would  
17 produce the well at 652 barrels a day, that range.

18               EXAMINER CATANACH: I have nothing further, Mr.  
19 Kellahin.

20               MR. KELLAHIN: Mr. Examiner, Exhibit 14 is our  
21 certificate of notice to the six operators of wells within  
22 a mile of the proposed pool. To the best of my knowledge,  
23 there's no objection. We would move the introduction of  
24 Exhibit 14.

25               EXAMINER CATANACH: Exhibit 14 will be admitted

1 as evidence.

2 Anything further?

3 MR. KELLAHIN: No, sir.

4 EXAMINER CATANACH: All right, there being  
5 nothing further, Case 12,182 will be taken under  
6 advisement.

7 (Thereupon, these proceedings were concluded at  
8 11:16. a.m.)

9 \* \* \*

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case no. 2182,  
heard by me on May 13 1988.  
David R. Catnach, Examiner  
Oil Conservation Division


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                                   )   ss.  
 COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL May 16th, 1999.

  
 STEVEN T. BRENNER  
 CCR No. 7

My commission expires: October 14, 2002

STEVEN T. BRENNER, CCR  
 (505) 989-9317