

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:) CASE NO. 12,185
)
APPLICATION OF YATES PETROLEUM)
CORPORATION FOR AN UNORTHODOX GAS WELL)
LOCATION, EDDY COUNTY, NEW MEXICO) ORIGINAL
)

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

June 10th, 1999

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, June 10th, 1999, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

99 JUN 24 AM 7:06
OIL CONSERVATION DIV

I N D E X

June 10th, 1999
Examiner Hearing
CASE NO. 12,185

	PAGE
APPEARANCES	3
APPLICANT'S WITNESS:	
<u>BRENT MAY</u> (Geologist)	
Direct Examination by Mr. Owen	4
Examination by Examiner Catanach	17
Further Examination by Mr. Owen	20
Further Examination by Examiner Catanach	21
REPORTER'S CERTIFICATE	23

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	16
Exhibit 2	8	16
Exhibit 3	9	16
Exhibit 4	10	16
Exhibit 5	10	16
Exhibit 6	12	16
Exhibit 7	16	16

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: PAUL R. OWEN

FOR OXY USA, INC.:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 10:00 a.m.:

3 EXAMINER CATANACH: Okay, at this time I'll call
4 the hearing back to order and we'll call Case 12,185.

5 MR. CARROLL: Application of Yates Petroleum
6 Corporation for an unorthodox gas well location, Eddy
7 County, New Mexico.

8 EXAMINER CATANACH: Call for appearances.

9 MR. OWEN: Paul Owen of the Santa Fe law firm of
10 Campbell, Carr, Berge and Sheridan for the Applicant, Yates
11 Petroleum Corporation. I have one witness in this matter.

12 EXAMINER CATANACH: Any additional appearances?

13 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
14 the Santa Fe law firm of Kellahin and Kellahin, appearing
15 on behalf of OXY USA, Inc.

16 EXAMINER CATANACH: Okay, will the witness please
17 stand to be sworn in?

18 (Thereupon, the witness was sworn.)

19 MR. OWEN: Mr. Examiner, I call Mr. Brent May.

20 BRENT MAY,
21 the witness herein, after having been first duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. OWEN:

25 Q. Mr. May, would you please tell us your name and

1 where you live?

2 A. Brent May, I live in Artesia, New Mexico.

3 Q. And who do you work for?

4 A. Yates Petroleum.

5 Q. What do you do for Yates?

6 A. I'm a petroleum geologist.

7 Q. Have you previously testified before the Division
8 or one of its Examiners and had your credentials as a
9 petroleum geologist accepted and made a matter of record?

10 A. Yes, I have.

11 Q. Are you familiar with the Application filed on
12 behalf of Yates in this case?

13 A. Yes, I am.

14 Q. Are you familiar with the lands in the subject
15 area?

16 A. Yes, I am.

17 MR. OWEN: Mr. Examiner, are the witness's
18 qualifications acceptable?

19 EXAMINER CATANACH: They are.

20 Q. (By Mr. Owen) Mr. May, why don't you tell us
21 what Yates seeks with this Application?

22 A. We're seeking approval of an unorthodox well
23 location for the Lucky Coyote "ATD" Number 1, to be drilled
24 660 from the north and east lines of Section 5, Township 17
25 South, Range 27 East, of Eddy County, New Mexico, to an

1 approximate depth of about 9100 feet to test the Morrow
2 formation. And we're -- The north half of Section 5 will
3 be dedicated to this well, and it will be, I think, be
4 placed in the Undesignated Crow Flats-Morrow Gas Pool.

5 Q. Are you familiar with the spacing rules for the
6 subject pool?

7 A. Yes, they're 320-acre spacing.

8 Q. There aren't any special pool rules for this
9 pool, are there?

10 A. Not that I'm aware of.

11 Q. Okay. What about the well-location requirements?

12 A. For orthodox setbacks for 320-acre spacing, I
13 believe it's 660 from the long line and 1650 from the short
14 line, and we're 660 from the short line that we're asking
15 for today.

16 Q. All right, let's -- You've prepared certain
17 exhibits for this case, have you not?

18 A. Yes, I have.

19 Q. Why don't we turn to Exhibit Number 1, which is
20 your Yates land plat. Why don't you explain this exhibit
21 for the Examiner?

22 A. This is a land plat of the surrounding area of
23 mostly the north part of 17 South, 27 East, and the
24 southern part of 16 South, 27 East.

25 The proposed location for the Lucky Coyote is the

1 red dot in the northeast quarter of Section 5 of 17 South,
2 27 East. The proration unit is the north half of Section
3 5.

4 It's kind of a busy map, but there are some more
5 Morrow wells that have been drilled to the east and south,
6 within a few miles. There's also a few scattered wells up
7 to the north that also produced a little bit out of the
8 Morrow, there's a few little San Andres wells over in
9 Section 3.

10 The acreage that's colored solid yellow is the
11 acreage that's operated by Yates. Any acreage that's
12 outlined in yellow is designating that Yates has an
13 interest in that acreage.

14 I believe with this unorthodox location the
15 affected parties are going to be OXY and Santa Fe to the
16 east of Section 4, and Section 33 of 16 South, 27 East.

17 Q. Now, is Santa Fe the operator of the north half
18 of Section 4?

19 A. I believe they just have an overriding interest
20 in Section 33 of 16 South, 27 East.

21 Q. OXY is the operator in the north half of Section
22 4; is that right?

23 A. Yes, that's what I understand, OXY is the
24 operator of Section 4.

25 Q. Okay. Now, you -- Were you present for the

1 earlier case, Case Number 12,191, the Application of OXY
2 for an unorthodox well location for their Jazz Federal
3 Number 1?

4 A. Yes, I was.

5 Q. Did you listen to the testimony in that case?

6 A. Yes, I did.

7 Q. Did you review the exhibits in that case?

8 A. I have seen them, yes.

9 Q. Has Yates reached agreement with OXY regarding
10 this location as part of its agreement --

11 A. Yes.

12 Q. -- to waive objection to OXY's Jazz Federal
13 Number 1 location?

14 A. Yes, I believe we exchanged waivers on each
15 other's location, as was stated in the earlier hearing.

16 Q. Let's turn to Yates Exhibit Number 2. Santa Fe
17 has also entered an appearance in this case or indicated
18 that it has an interest in this case. Why don't you tell
19 us about the first page of Exhibit Number 2?

20 A. On Exhibit Number 2, this is a letter from Mr.
21 Jim Bruce on behalf of Santa Fe basically stating that they
22 waive any objection to the Yates location. It's dated June
23 7th, 1999.

24 Q. Now, again, the operator upon whom Yates is
25 encroaching is OXY in the north half of Section 4, correct?

1 A. That's correct?

2 Q. Santa Fe is not the operator in that particular
3 area?

4 A. That's what I understand, yes.

5 Q. But does the second, third page of Exhibit Number
6 2 indicate the agreement between OXY and Yates?

7 A. I believe that's correct. This is a letter on
8 OXY's letterhead that was sent to Yates, and it's dated May
9 25th, 1999, stating that -- outlining the waiver -- If
10 Yates will waive their location, they'll waive ours, Yates'
11 location.

12 Q. Now, did you hear the testimony in OXY's case to
13 the effect that, in fact, such agreement had been reached?

14 A. Yes, I did.

15 Q. Is that consistent with your understanding?

16 A. Yes.

17 Q. All right, Mr. May, let's turn to Yates Exhibit
18 Number 3. Is this exhibit evidence -- notification on
19 behalf of Yates that -- this pending Application and notice
20 to the operators in the offsetting spacing units?

21 A. Yes, it is a notice to OXY. You'll notice on
22 page 3 it's a letter dated April 29th, 1999, and it was
23 giving notice to OXY.

24 Q. All right, Mr. May, let's turn to the geologic
25 interpretation in this case. I believe as Exhibit Number 4

1 you've prepared a summary of the geologic exhibits in this
2 case. With Exhibit Number 4 in front of you, why don't you
3 tell us about Exhibit Number 5?

4 A. Okay, I'll just briefly state that Exhibit 4 is
5 just outlining the exhibits to come.

6 I'd also like to state that the primary interval
7 we're going for is what we call, Yates calls, the lower
8 Morrow or lower Morrow clastics interval, and that we will
9 test any or all formations above that as we encounter them
10 on the way down, if we have any significant hydrocarbon
11 shows.

12 Q. Now, Mr. May, are you going after or do you
13 expect to encounter this Roscoe sand as part of the Morrow
14 that was discussed in the earlier case on behalf of OXY?

15 A. As the way it was described by Mr. Doty, we're
16 not really expecting what OXY is calling the Roscoe sand,
17 over on the Yates location.

18 Q. So you're after the lower Morrow --

19 A. Yes.

20 Q. -- but you don't expect this particular sand that
21 was discussed?

22 A. No, we're not foreseeing encountering what OXY
23 was calling the Roscoe sand.

24 Q. Okay. All right. Well, on Exhibit Number 5
25 you've prepared for us an isopach. Could you tell us about

1 that?

2 A. This is an isopach from the top of the lower
3 Morrow clastics down to the top of what Yates calls the
4 Mississippian unconformity, and I'll show those in just a
5 minute on the cross-section, Exhibit 6.

6 But this exhibit has the proration unit outlined
7 in red in the north half of Section 5, it's showing the
8 proposed location in the northeast quarter. It also has in
9 green the trace of the cross-section, which will be Exhibit
10 Number 6.

11 Also, I might note that on this exhibit, this is
12 only showing Morrow penetrations. It's not showing some of
13 the shallow wells, as I -- such as some of those San Andres
14 wells I briefly described earlier.

15 Any of the well locations that have a double
16 circle are Morrow penetrations, and the wells that are
17 colored red are wells that have produced or are producing
18 from what we call the lower Morrow interval.

19 The contour interval is 20 feet. Basically, this
20 isopach is showing a north-south-trending thick running
21 through the are of the proposed location and over on OXY's
22 acreage in Section 4.

23 And what this is, Yates feels like this is
24 somewhat of a valley-cut-type sequence, and in fact Mr.
25 Doty referred to it as a depo center, and that's exactly --

1 we agree with that. What has happened is, we have a series
2 of rivers cutting down through older sediments, and then
3 later the valley was filled with sands and shales. And the
4 good sands that we're going after ten, you have a better
5 chance of hitting those within the thick of this isopach.
6 It's not saying that there is risk still involved, I'm not
7 saying that if you hit the thick that you're guaranteed a
8 sand, but it increases your chances of hitting a good,
9 economic sand in the Morrow, in this lower Morrow section.

10 Q. Now, Mr. May, is the trending on this, this
11 north-south trending, is that consistent with the geologic
12 testimony that was presented in OXY's case?

13 A. Yes, they're showing a similar picture. Now, I
14 might state that what their exhibit was showing, they
15 mapped something a little bit different than what we did,
16 but it's still showing the same, similar trend, because
17 their map, I think, was based more solely on one particular
18 sand, where our map is an isopach, a thickness map.

19 Q. Okay. All right, Mr. May, if you wouldn't mind,
20 please turn to Exhibit Number 6 and explain that exhibit
21 for the Examiner.

22 A. This is a stratigraphic cross-section. It's
23 running from northwest to southeast. Again, the trace is
24 on Exhibit 5. As shown here, we have -- This cross-section
25 was hung on the top of the lower Morrow.

1 Also several of the tops are shown, the top of
2 the Atoka formation, the top of what we call the -- just
3 the plain Morrow clastics, not the lower Morrow clastics.
4 Also, there's a wavy line showing what we call the
5 Mississippian unconformity and also the top of the Chester
6 lime.

7 On Exhibit 5, the interval that was mapped was
8 from the top of the lower Morrow to the top of this
9 Mississippian unconformity, and it was a true isopach, just
10 a straight thickness of that interval.

11 And you can see going through the various wells
12 that you have a thickening through some of the wells, and
13 I'll get into that a little bit later, and that does
14 correspond with the thick on Exhibit Number 5.

15 Starting on the left-hand side of the cross-
16 section, on the northwest side, the John A. Yates Jean "M"
17 Number 1 in Section 31 of 16 South, 27 East, this well was
18 drilled through the Morrow and into the Mississippian
19 originally, back in the 1970s. This well did -- It's
20 currently plugged but did make a little bit of production
21 out of the Morrow. It was tight, the casing was set just
22 below 8300, and then the Morrow and Mississippian were left
23 open-hole, and it was produced that way.

24 It cum'd a little bit over 174 million out of the
25 Morrow and the Mississippian. Since it was open-hole, you

1 can't say for certain exactly where it was coming from. So
2 it was a poor -- It was a poor well, though.

3 The next well on the cross-section is the
4 proposed location of the Lucky Coyote in Section 5 of 17
5 South, 27 East, and you can see that we are projecting that
6 we will see a lower Morrow sand that we should hit of
7 sufficient thickness to give us economic quantities of gas.
8 And you can note that it's getting in the thicker part of
9 this lower Morrow sequence.

10 The next well on the cross-section is the OXY LD
11 "4" Federal Number 1 in Section 4 of 17 South, 27 East.
12 This is one of the wells that I think Mr. Doty referred to.
13 You can see this well was drilled down into the
14 Mississippian. It did encounter a nice thick Morrow sand
15 where that is shown on the cross-section. It was IP'd for
16 around 3.6 million, and this -- in the Morrow sand, and
17 this has been a good well. And also, this is also in the
18 thick of the lower Morrow sequence.

19 The well on the far right-hand side of the cross-
20 section is the OXY Magni State Number 1, in Section 10 of
21 17 South, 27 East. This was a dry hole. It also drilled
22 down through the Morrow and into the Mississippian, and it
23 was plugged. You can see that it encountered just a couple
24 of thin little Morrow sands. And you can also see that
25 it's getting on the flank of the thick.

1 And this goes back to what I stated about Exhibit
2 5. When you start getting off on the flank of these
3 thicks, your chances decrease -- your chance of
4 encountering good, thick sands decreases. You want to be
5 in the thick on the isopach to increase your chances of
6 hitting the thick sands like you see in the OXY LD "4"
7 Federal Number 1.

8 Q. Now, I notice that OXY's Roscoe Federal Number 1
9 well is not represented on your cross-section. Do you
10 expect -- Once again, do you expect any similar production
11 characteristics from your proposed well with the Roscoe
12 well?

13 A. We're not expecting to see the Roscoe sand at
14 all. It appears to be back in OXY's Roscoe well, and we
15 don't foresee it appearing in the Lucky Coyote.

16 I might state that Yates, the way we map this
17 lower Morrow clastics units using the isopach is that we're
18 not exactly sure what sand we're going to hit, because
19 these Morrow sands are very narrow, but thick when they're
20 good. But we're trying to -- by getting in the thick of
21 the isopach, decrease the chances of hitting one of these
22 good Morrow sands.

23 But looking at the area and considering what I've
24 seen, I would have to agree with what Mr. Doty was saying
25 about the Roscoe sand. I don't foresee it occurring on the

1 Yates location.

2 Q. Now, I think that on Exhibit Number 7 you do
3 indicate the production from the Roscoe well. Why don't
4 you tell us what Exhibit Number 7 is?

5 A. This is just a small, little chart of production.
6 I might note that it was from *Dwight's*, a commercial
7 source, and *Dwight's* lags behind most of the production
8 that was testified to in the earlier hearing about the OXY
9 wells, is much more up to date. But this is just showing
10 some of the production in the area on some of the Morrow
11 wells.

12 And also Mr. Doty talked about some of the Yates
13 Riverside and their well offsetting it and production on
14 it. Some of the newer wells are not on this chart, because
15 *Dwight's* has not had the information to update their
16 database.

17 Q. Mr. May, were Exhibits 1 through 7 prepared by
18 you or under your direction?

19 A. Yes, that's correct.

20 MR. OWEN: Mr. Examiner, I offer Yates Exhibits
21 Numbers 1 through 7.

22 EXAMINER CATANACH: Exhibits 1 through 7 will be
23 admitted as evidence.

24 MR. OWEN: That's all I have at this time.

25 Well, Mr. Examiner, I might ask a follow-up

1 question.

2 Q. (By Mr. Owen) Mr. May, do you believe that
3 granting this Application and drilling the proposed well
4 will be in the best interests of conservation, the
5 prevention of waste and the protection of correlative
6 rights?

7 A. Yes, I do.

8 MR. OWEN: That concludes my presentation, Mr.
9 Examiner.

10 EXAMINATION

11 BY EXAMINER CATANACH:

12 Q. Mr. May, on your Exhibit Number 5, exactly what
13 is it that you have mapped there? Is it just the thickness
14 from the lower Morrow to the top of the Mississippian?

15 A. That is correct, it is a true isopach. And as
16 you look on Exhibit 6, that marker showing the lower Morrow
17 down to the wavy line of the Mississippian unconformity,
18 it's just a straight thickness map, is what it is.

19 And we feel like that's been very helpful to us
20 where we feel like that we're in some of these valley-cut-
21 type situations. We look for the area where the rivers
22 have cut the deepest, and that should be your depositional
23 center.

24 Q. Well, is that thickness a direct correlation to
25 sand thickness in the Morrow?

1 A. Not direct, but it -- we feel like that since it
2 is representing the depositional center, that increases the
3 likelihood of encountering more sands and higher quality
4 sands. That's not to say that you could get out on the
5 edge and encounter a good sand, but also on the flip side
6 it's not saying that you could get in the center of the
7 thick and hit something either. There is risk involved
8 there.

9 But we feel like it does decrease -- or increase
10 the chances of hitting a good, productive sand, when you
11 get into a thick. And that's why we want to move as close
12 to the thick as possible. We're increasing our chances
13 when we do that.

14 Q. Well, do you have an estimate on what you believe
15 the sand thickness will be at this location?

16 A. We -- I could make a wild guess. We generally do
17 not map the individual sands because the individual sands
18 are so narrow and so hard to predict where they're going.
19 They can be very thick but very narrow, and so you can move
20 over just a few hundred feet and totally miss a sand.

21 But we're hoping to find something similar to
22 what you see on Exhibit Number 6, like the OXY LD "4"
23 Federal Number 1 or something similar to what we hit in our
24 Riverside well down in Section 8 of 17-27, and it had about
25 a 50-foot sand in it. That's the type of sands that we

1 think we could encounter in these thicks.

2 Q. And the difference between your location and
3 moving to the standard location, can you maybe quantify in
4 terms of how much that might be reduced?

5 A. If we move to a standard location, we drastically
6 reduce the possibility of hitting one of these sands,
7 because we've moving away from the thick that has been
8 shown on Exhibit 5. So we're drastically decreasing our
9 chances of hitting one or more of those sands, because the
10 further you get away from the thick, the less chances there
11 are of hitting one of those sands.

12 You can look down -- Example, look in Section 32
13 of 16 South, 27 East, the well that has a value of 143
14 beside it. That well did penetrate the Morrow, did go
15 through this lower clastics interval, did hit a lower
16 clastics sand, but it was poor quality. In fact, there was
17 never any sales made out of the Morrow.

18 And so you can see moving away, they did not
19 encounter any productive sands out of this lower Morrow
20 clastics interval, and that's a good -- that is something
21 that's showing us when you move away from the thicks you're
22 decreasing your chances.

23 And you go down to the well in Section 8, the
24 Riverside well, 193 feet, getting closer to the thick, not
25 quite in the center of it but getting closer, that did

1 encounter a very nice sand, and had in excess of 50 feet of
2 thickness.

3 So we feel it's very important to get as close to
4 the thick as possible.

5 EXAMINER CATANACH: Okay. Mr. Kellahin, did you
6 have any questions?

7 MR. KELLAHIN: No, sir.

8 EXAMINER CATANACH: Okay, I have nothing further.

9 MR. OWEN: I do have one follow-up question.

10 FURTHER EXAMINATION

11 BY MR. OWEN:

12 Q. Mr. May, during OXY's presentation they
13 referenced a Yates well in the north half of Section 8
14 there, the Concho ACT State Number 1. Do you know what the
15 status of that well is?

16 A. Yes, and that's not shown on my exhibit because
17 it was a proposed location. We have just started drilling
18 that well in the north half of Section 8. We spudded it, I
19 believe, about five or six days ago.

20 MR. OWEN: Okay. Mr. Examiner, I'll note for the
21 record that that well is the subject of Administrative
22 Order NSL-4295. It was issued on June 1st, 1999, in which
23 order the unorthodox location of the Yates Concho ACT State
24 Number 1 was approved by Lori Wrotenbery.

25 That concludes -- I'm sorry, Mr. May?

1 THE WITNESS: Could I make one more statement?

2 MR. OWEN: Sure.

3 THE WITNESS: In relation to that, the Riverside
4 was unorthodox too, the one in the south half of 8, and it
5 was approved also.

6 MR. OWEN: Mr. Examiner, that concludes my
7 presentation in this case.

8 EXAMINER CATANACH: Let me ask you just one more
9 question, Mr. May.

10 FURTHER EXAMINATION

11 BY EXAMINER CATANACH:

12 Q. What is the potential for some uphole production
13 from the Morrow in this area?

14 A. You can always -- In what I'm showing in Exhibit
15 6, in the Morrow clastics, you can sometimes encounter some
16 sands in there. So that's a possible secondary target.

17 Also on the same exhibit, look at the OXY LD "4"
18 Federal Number 1. They have an Atoka sand possible.

19 So there are probably the upper part of the
20 Morrow, the Atoka, there could be some secondary targets
21 there. And then I mentioned some of those shallow San
22 Andres wells. And in southeastern New Mexico you can also
23 stumble across almost anything on the way down, and we will
24 -- we always keep our eyes open for anything on the way
25 down, because there's lots of fields that have been

1 discovered when you're drilling for a deeper target,
2 stumbling into something else shallow.

3 EXAMINER CATANACH: Okay, I have nothing further.

4 There being nothing further in this case, Case
5 12,185 will be taken under advisement.

6 MR. OWEN: Thank you, Mr. Examiner.

7 EXAMINER CATANACH: Thank you.

8 (Thereupon, these proceedings were concluded at
9 10:28 a.m.)

10 * * *

11
12
13
14
15
16 I hereby certify that the foregoing is
17 a complete record of the proceedings at
the Examiner hearing of Case No. 12185,
18 heard by me on June 10, 1995.
David P. Catanach
19 Oil Conservation Division

20

21

22

23

24

25


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL June 12th, 1999.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 2002