

NEW MEXICO OIL CONSERVATION DIVISION

1/1

Examiner Hearing  
 Santa Fe, New Mexico  
 July 8, 1999 -- 8:15 A.M.

Name	Representing	Location
DAVE BONEAU	YATES PETROLEUM	ARTESIA
Gordon Hammond	Ute mtu Ute Tribe	TOWAOC, CO.
DAN RABINOWITZ	Bureau of Land Management	Durango, CO
W. Kellohin	Kellohin & Kellohin	Santa Fe
William F. Lee	Templeton, Can. Exp. Inc.	Santa Fe
Dave Cromwell	Energen	Birmingham AL
BARNEY KAHN	ENERGEN RESOURCES	B'ham, AL
Ted Gault	Nearburg Prod.	Midland, TX
Terry Sullivan	Nearburg Prod.	Dallas, TX
VERNON D. DYER	Harvey E. Yates Co.	Roswell, N.M.
Michael M. Grant	Nearburg Expl. Co.	Midland TX
SCOTT HALL	MILLER LAW FIRM	SF
Ken Gray	Energen	SF
Carla ...	...	SF
James Bruce	-	SF

NEW MEXICO OIL CONSERVATION DIVISION

EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date 7/2/99 Time \_\_\_\_\_

NAME	REPRESENTING	LOCATION
LYNN S. CHARCK	Charles Gillespie Jr	Midland
MARK McADAMEN	CBG Jr	Midland

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: )  
APPLICATION OF CROSS TIMBERS OIL COMPANY )  
TO AMEND DIVISION ORDER NO. R-11,132 TO )  
PERMIT AN ALTERNATIVE UNORTHODOX GAS )  
WELL LOCATION, SAN JUAN COUNTY, )  
NEW MEXICO )

CASE NO. 12,210

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

July 8th, 1999

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, July 8th, 1999, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

99 JUN 23 AM 7:35  
OIL CONSERVATION DIV

\* \* \*

## I N D E X

July 8th, 1999  
 Examiner Hearing  
 CASE NO. 12,210

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>GARY BURCH</u> (Geologist)	
Direct Examination by Mr. Bruce	9
Examination by Mr. Rabinowitz	17
Examination by Examiner Stogner	22
<u>BARRY VOIGT</u> (Engineer)	
Direct Examination by Mr. Bruce	27
Examination by Mr. Rabinowitz	36
Examination by Examiner Stogner	37
REPORTER'S CERTIFICATE	42

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6, 10	14
Exhibit 2	10	14
Exhibit 3	11	14
Exhibit 4	14	14
Exhibit 5	14	-
Exhibit 6	28	36
Exhibit 7	29	36
Exhibit 8	32	36
Exhibit 9	34	36
Exhibit 10	35	36

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Legal Counsel to the Division  
2040 South Pacheco  
Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

JAMES G. BRUCE, Attorney at Law  
612 Old Santa Fe Trail, Suite B  
Santa Fe, New Mexico 87501  
P.O. Box 1056  
Santa Fe, New Mexico 87504

## ALSO PRESENT:

GORDON HAMMOND  
Tribal Energy Department  
Ute Mountain Ute Tribe  
P.O. Box 42  
Towaoc, Colorado 81334

DAN RABINOWITZ  
Petroleum Engineer  
Bureau of Land Management  
San Juan Resource Area  
701 Camino del Rio  
Durango, Colorado 81301

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2 9:25 a.m.:

3           EXAMINER STOGNER: This hearing will come to  
4 order for Docket Number 20-99. Please note today's date,  
5 July 8th, 1999. I'm Michael Stogner, appointed today's  
6 Hearing Examiner for these cases.

7           At this time I will call Case 12,210.

8           MR. CARROLL: Application of Cross Timbers Oil  
9 Company to amend Division Order No. R-11,132 to permit an  
10 alternative unorthodox gas well location, San Juan County,  
11 New Mexico.

12          EXAMINER STOGNER: I'll call for appearances.

13          MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,  
14 representing the Applicant. I have two witnesses to be  
15 sworn.

16          EXAMINER STOGNER: Any other appearances?

17          Will the witnesses please stand to be sworn?

18          (Thereupon, the witnesses were sworn.)

19          EXAMINER STOGNER: Mr. Bruce, before we get  
20 started, it's my understanding that there may be some  
21 representatives from either the BLM or the Forest Service  
22 here today?

23          MR. BRUCE: The BLM and the Ute Mountain Ute  
24 Tribe. I don't know this gentleman's name, but Gordon  
25 Hammond from the tribe is here.

1 EXAMINER STOGNER: Okay. Gentlemen, why don't  
2 you please stand up and introduce yourselves and be part of  
3 the record at this time?

4 MR. HAMMOND: Yes, my name is Gordon Hammond.  
5 I'm with the Ute Mountain Ute Tribe.

6 MR. RABINOWITZ: And my name is Dan Rabinowitz,  
7 I'm a petroleum engineer for the Bureau of Land Management  
8 in Durango.

9 EXAMINER STOGNER: And how do you spell your last  
10 name?

11 MR. RABINOWITZ: That's R-a-b-i-n-o-w-i-t-z.

12 I'm not familiar with the protocol here. Should  
13 I just -- If I have any questions, should I just wait till  
14 they're done with their presentation or will I be given an  
15 opportunity to ask questions then?

16 EXAMINER STOGNER: Yes, sir, it's somewhat of an  
17 informal hearing process. I'll have the Applicant present  
18 witnesses, and hopefully there will be enough copies to be  
19 able to provide you any exhibits. And he will do a direct  
20 examination of his witnesses, and at that time I'll open it  
21 up for cross-examination and you two will then be able to  
22 ask any questions if you'd like, and then he'll have a  
23 chance to have any more redirect before we move on to the  
24 next witness. And at the end of the presentation we can  
25 have some closing statements if that's appropriate. So

1 that's how we work at this particular point.

2 Is there any need for any need for any prehearing  
3 statements today or --

4 MR. BRUCE: Mr. Examiner, using Exhibit 1 I'd  
5 like to briefly describe what's happened and then bring up  
6 my first witness.

7 EXAMINER STOGNER: Okay.

8 MR. BRUCE: Mr. Examiner, in Case Number 12,100,  
9 by Order Number R-11,132, the Division approved an  
10 unorthodox location for a Paradox well in Section 2. In  
11 front of you is Exhibit 1. This is from that hearing. On  
12 your map and outlined on the others is a nine-section area  
13 in which Cross Timbers Oil Company is the sole working  
14 interest owner and the Ute Mountain Ute Tribe is the sole  
15 royalty interest owner. It is the lessee of -- Excuse me,  
16 the lessor in this area.

17 There were several cases heard together, and  
18 that's why there's several wells placed on here.

19 Cross Timbers came before the Division and sought  
20 the approval of a Dakota well, which is indicated the  
21 Tribal J Number 6 well in the southwest quarter of Section  
22 1.

23 Another Dakota well, which is the Ute Indians A  
24 Number 27 well in the southeast quarter of Section 2.

25 And then the well we're concerned with today,

1 which is the Ute Indians A Number 26 well, also in the  
2 southeast quarter of Section 2. That well was originally  
3 -- You'll see the surface location is to be 570 feet from  
4 the south line and 1045 feet from the east line. The  
5 proposed bottomhole location was to the northwest of that  
6 surface location, as indicated on the map. There were  
7 topographic reasons for that surface location, and that was  
8 discussed at the prior hearing.

9           Since then, as the witnesses will discuss, one of  
10 these wells has been drilled. And based upon certain  
11 information acquired from the drilling, Cross Timbers has  
12 had a change in plans and would prefer not to drill  
13 directionally but would rather just drill a vertical hole,  
14 unorthodox location in the Paradox for the A Number 26  
15 well.

16           One other thing to note is, in the northwest  
17 quarter of Section 2, you will see the Number 7 well, which  
18 is a Paradox well. That well is currently producing at low  
19 rates from the Paradox. That well, if the A Number 26 well  
20 is successful, will be shut in, so that there will be no  
21 need for simultaneous dedication.

22           EXAMINER STOGNER: Okay, at this time I'll  
23 incorporate the record in Case 12,100 into today's docket.

24           MR. BRUCE: And furthermore, the Order -- I think  
25 you have the Order in front of you. It does refer to

1 simultaneous dedication, but that is more with respect to  
2 potential future Dakota production, because this well will  
3 penetrate and Cross Timbers will evaluate the Dakota on the  
4 way to drilling to the Paradox.

5 EXAMINER STOGNER: So the question of  
6 simultaneous dedication is a moot issue --

7 MR. BRUCE: For the Paradox.

8 EXAMINER STOGNER: -- as I understand, for the  
9 Paradox.

10 Well, the way I understand the reading of this  
11 case today, that's all we're considering, is just the  
12 Paradox?

13 MR. BRUCE: Yeah. We will discuss the Dakota  
14 just so you know what's going on, Mr. Examiner.

15 EXAMINER STOGNER: Okay, what pool is that Dakota  
16 in?

17 MR. BRUCE: It is the -- In the Dakota?

18 EXAMINER STOGNER: Yes.

19 MR. VOIGT: Ute Dome.

20 MR. BRUCE: The Ute Dome Dakota.

21 EXAMINER STOGNER: The Ute Dome Dakota, and not  
22 the Basin Dakota?

23 MR. BRUCE: Correct.

24 EXAMINER STOGNER: Okay, Mr. Bruce, you may  
25 proceed.

1 MR. BRUCE: Mr. Burch?

2 GARY BURCH,

3 the witness herein, after having been first duly sworn upon  
4 his oath, was examined and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. BRUCE:

7 Q. Would you please state your full name and city of  
8 residence for the record?

9 A. My name is Gary Burch, and I reside in Arlington,  
10 Texas.

11 Q. Who do you work for and in what capacity?

12 A. I work for Cross Timbers Oil Company as a  
13 geologist.

14 Q. Have you previously testified before the  
15 Division?

16 A. Yes, I have.

17 Q. And were your credentials as an expert petroleum  
18 geologist accepted as a matter of record?

19 A. Yes, they were.

20 Q. And are you familiar with geologic matters  
21 pertaining to this Application?

22 A. Yes, I am.

23 Q. And the San Juan Basin is your area of  
24 responsibility at Cross Timbers, is it not?

25 A. Yes, that's correct.

1 MR. BRUCE: Mr. Examiner, I'd tender Mr. Burch as  
2 an expert petroleum geologist.

3 EXAMINER STOGNER: Mr. Burch is so qualified.

4 Q. (By Mr. Bruce) Mr. Burch, since, although this  
5 is a Paradox well, the Dakota geology plays some role in  
6 this, could you identify your Exhibit 2 and discuss the  
7 Dakota geology in this area?

8 A. Okay, Exhibit 2 is a structure map of the top of  
9 the Dakota, and it's based on a 3-D seismic shoot that we  
10 have in the area, combined with well data.

11 What it shows is, on the Ute Dome structure,  
12 which is a broad regional structure, there are several  
13 smaller normal faults which strike more or less east-west  
14 across the field. These faults act as traps for migrating  
15 hydrocarbons in the lower Dakota sands and are drill well  
16 targets for us into the lower Dakota. And we want to  
17 evaluate this particular fault block, as it has not been  
18 tested to date, as we drill on down to the Paradox.

19 Q. Okay. And of these wells, has Cross Timbers  
20 drilled any of the wells ever approved that were indicated  
21 on Exhibit 1?

22 A. We have just finished drilling the J 6 well in  
23 the southwest corner of Section 1.

24 Q. It has not been completed as of this date?

25 A. No, it has not.

1 Q. Well, let's move on, then, to the more important  
2 item, the Paradox geology. Could you identify Exhibit 3  
3 and discuss the proposed A Number 26 well and in particular  
4 -- This well is being drilled as a replacement well, is it  
5 not?

6 A. Yes, it is. This is a structure map, again based  
7 on both seismic and well data in the area, on the top of  
8 the Akah, which is a member of the Paradox formation.

9 The Paradox, again, on Ute Dome, is a broad  
10 regional structure with structural closure at the top. It  
11 produces across the entire structural closure. The Paradox  
12 is an algal or fossiliferous carbonate complex  
13 approximately 700 feet thick. It's divided into five  
14 members: the Alkali Gulch, the Barker Creek, the Akah, the  
15 Desert Creek and the Ismay, all of which produce on Ute  
16 Dome.

17 The existing Paradox well in Section 2 has had a  
18 history of mechanical problems, and there have been several  
19 attempts to restore its production, but they've all been  
20 unsuccessful. Therefore, we find it Necessary to drill a  
21 replacement well.

22 Q. When was that Number 7 well in the northwest  
23 quarter drilled?

24 A. That well was drilled in 1955, I believe.

25 Q. And what has it produced, approximately, to date?

1           A.    It has produced approximately 10 BCF to date.

2           Q.    And what is its approximate current producing  
3 rate?

4           A.    Currently, it's only making about 24 MCF a day.

5           Q.    And Mr. Voigt, our engineering witness, will  
6 discuss a little bit more about the potential reserves in  
7 this well?

8           A.    Yes.

9           Q.    Now, Cross Timbers had originally proposed  
10 directional drilling and had obtained approval for that and  
11 had filed the directional drilling plan with the BLM and  
12 with the Oil Conservation Division.  Could you just  
13 briefly, perhaps, indicate to the Examiner the reason that  
14 you are now seeking to drill vertically rather than  
15 directionally?

16          A.    Yes.  Like we said initially, this was designed  
17 as a Paradox well.  But we wanted to hit the Dakota in a  
18 structurally favorable position on the way down to evaluate  
19 it for the possibility of drilling a twin well to the  
20 Dakota, if the Paradox proved to be economic.

21                    What we found out in drilling the J 6 is that the  
22 wells tend to naturally drift in an updip direction, and  
23 that would be, in this case, to the north.  The J 6 well  
24 tended to drift to the north.

25                    If we allow the proposed A 26 to drift naturally

1 to the north, not only will we save money in drilling, but  
2 we will encounter the Dakota at a structurally equivalent  
3 position as we would have if we would have drilled it as  
4 originally projected.

5 Q. Okay. Now, in your original testimony you said  
6 that the proposed bottomhole location, the directionally  
7 drilled location, was favorable because it was on the  
8 flexure point between the flat crest of the structure and  
9 the dipping south flank. Would you still expect to see  
10 that in the Paradox at your proposed new location?

11 A. Yes, you're still in approximately the same  
12 structural position on the Paradox as well.

13 Q. Does the fracturing that occurs in this area --  
14 Is that significant in the Paradox?

15 A. We believe it could play an important role in the  
16 productivity of the wells, and that's one reason we  
17 selected this particular location.

18 Q. Okay. Is the potential there of also hitting  
19 zones that may be present in some of the offset Paradox  
20 wells?

21 A. Yes, there was a zone in the Barker Creek member  
22 of the Paradox, in the Section 11 well, that has not been  
23 encountered in any of the other Paradox wells, and there is  
24 a chance of encountering that zone in our proposed A 26  
25 well.

1 Q. And that zone is not producing in the existing  
2 Number 7 well to the northwest?

3 A. That's correct.

4 Q. Okay. In your opinion, will the granting of this  
5 Application -- Excuse me. And is Exhibit 4 simply your  
6 geologic summary of what you've testified to already?

7 A. Yes, that's correct.

8 Q. And were Exhibits 1 through 4 prepared by you or  
9 under your direction?

10 A. Yes, they were.

11 Q. And in your opinion, is the granting of this  
12 Application in the interests of conservation and the  
13 prevention of waste?

14 A. Yes.

15 MR. BRUCE: Mr. Examiner, I would move the  
16 admission of Exhibits 1 through 4 at this time.

17 EXAMINER STOGNER: Exhibits 1 through 4 will be  
18 admitted into evidence at this time.

19 MR. BRUCE: And perhaps also at this time admit  
20 Exhibit 5, which is simply my affidavit of notice, in which  
21 notice was given to the Ute Mountain Ute Tribe, the Bureau  
22 of Land Management and Mr. Simon of Data Consultants,  
23 Incorporated, who is a consultant to the tribe.

24 EXAMINER STOGNER: Mr. Bruce, before I open it up  
25 for cross-examination of this witness, who's going to

1 testify about the land holding within this area?

2 MR. BRUCE: Mr. Examiner, if I could, if you  
3 incorporated the prior record, a landman did testify, Mr.  
4 Edwin Ryan, the landman for Cross Timbers, and he did  
5 testify as to the ownership of that nine-section block, and  
6 if that could just be incorporated in the record.

7 EXAMINER STOGNER: Okay, since I wasn't a party  
8 to that original one, do you -- could you just tell me what  
9 was, just --

10 MR. BRUCE: Yes. That entire nine-section area,  
11 100 percent of the minerals are owned by the Ute Mountain  
12 Ute Tribe. The sole working interest owner is Cross  
13 Timbers Oil Company.

14 I am not sure -- I don't think there are any  
15 overriding royalty interest owners. If there are, they are  
16 all -- No, there are no overriding royalty interest owners  
17 in this area. The leases were issued to Stanolind, I  
18 believe, quite some time ago.

19 EXAMINER STOGNER: So it's your recollection and  
20 also it's in the record that that's all one common source  
21 -- I mean, I'm sorry, one common lease, the yellow marking?  
22 I mean, I know that's in the record, I just -- I don't have  
23 it with me now.

24 MR. BRUCE: Yeah, it's either one lease or two  
25 leases. I'm not quite sure.

1 EXAMINER STOGNER: Well, I'm still trying to  
2 figure out what we're doing at a hearing today when it  
3 seems like this could be done administratively.

4 MR. BRUCE: Well, Mr. Examiner, I was going to  
5 mention that up front. I did speak with -- This case was  
6 originally heard by Mr. Catanach, and I asked him about it.  
7 And he said that because that it had originally been  
8 approved at a hearing, that he wanted it to go back to  
9 hearing.

10 EXAMINER STOGNER: Okay. Why did it have to go  
11 to hearing in the first place?

12 MR. BRUCE: I think it was the simultaneous  
13 dedication issues, Mr. Examiner.

14 EXAMINER STOGNER: Ah. Okay.

15 THE WITNESS: For the Dakota.

16 EXAMINER STOGNER: All right.

17 MR. BRUCE: For the Dakota.

18 EXAMINER STOGNER: Okay. First of all, Mr.  
19 Hammond, Mr. Rabinowitz, do you have any questions of this  
20 witness?

21 MR. RABINOWITZ: I do.

22 EXAMINER STOGNER: Okay. Why don't you come on  
23 up forward, and that way our court reporter can get a good  
24 clear and concise record? That's not a microphone, it's  
25 just tied into his equipment.

## EXAMINATION

1  
2 BY MR. RABINOWITZ:

3 Q. Okay, Mr. Burch, with the new bottomhole  
4 location, going to move it probably further to the  
5 southeast, and that also moves it even closer to the J  
6 Number 7. Okay, do you feel there's something of a block  
7 communication between these two wells? The original  
8 spacing dedication was for 640 acres, and these two are  
9 starting to become more crowded together.

10 A. Between the A 26 and the J 7?

11 Q. Yeah, the J 7, which is in the northwest. I  
12 guess that's the Paradox well that's being drilled  
13 currently, presently?

14 A. Yes.

15 Q. And then the A 26 is -- probably will drill  
16 afterwards, the next well. But I -- just ballpark, I guess  
17 they're within a thousand feet of each other, and we're  
18 just concerned about these wells interfering with each  
19 other. Do you think that will be a problem?

20 A. I don't foresee it as being a problem. If we  
21 allow the A 26 to drift naturally, I really don't think  
22 that the two locations will be any closer together than if  
23 we would have followed the original plan. It will drift to  
24 the north. It will be 300 or 400 feet, perhaps, north of  
25 the surface location at the Paradox.

1 Q. If the J 7 well, the Paradox well, tests poorly  
2 will you still be drilling the A 26 as a Paradox well?  
3 Will that preclude -- I mean, if that comes in poorly, will  
4 that preclude the drilling and completion of the A 26?

5 A. We will probably drill the A 26 before we have  
6 the results from the J 7. So one is not necessarily  
7 contingent on the other. And the Paradox -- the porosity  
8 is laterally discontinuous, and it's -- some members of the  
9 Paradox have a -- small compartmentalization components to  
10 them. So it's possible to encounter zones in the A 26 that  
11 the J 7 would not have.

12 So we would drill the A 26, probably, regardless  
13 of the J 7. But as I stated, I don't think we will have  
14 the results of the J 7 before we drill the A 26.

15 Q. Okay. From the past seismic run that was run,  
16 the 3-D -- I think Amoco shot it back in 1995 -- I know you  
17 then had it reinterpreted recently --

18 A. Yes.

19 Q. -- have you seen any indications of faults  
20 possibly between the J 7 and the A 26? I'm just curious.  
21 I haven't seen the information and --

22 A. No, we do not see any faults at the Paradox level  
23 on the seismic. And also we do not see any faults between  
24 the A 26 and J 7 at the Dakota level either.

25 MR. RABINOWITZ: Those are all the questions I

1 have for right now.

2 EXAMINER STOGNER: Okay. Mr. Hammond, just a  
3 second here before I get to you.

4 You keep referring to a J 7 well. Now, where is  
5 the J 7 well? I've got a J 6 well. I'm a little confused  
6 here.

7 MR. RABINOWITZ: It depends which exhibit you  
8 look at, but it would be in Section 12 in the northwest  
9 quarter, and it's -- depending on which map you have, it's  
10 currently being drilled right now.

11 THE WITNESS: It would be on Exhibit 3.

12 MR. BRUCE: It's Exhibit 3, Mr. Examiner.

13 EXAMINER STOGNER: Okay, which leads me up to a  
14 quick question here. Now let's see, this J 7, this J 6,  
15 they're all unorthodox; is that right?

16 THE WITNESS: Yes.

17 EXAMINER STOGNER: Okay, what -- Just for  
18 reference, what's the numbers on those?

19 MR. BRUCE: Mr. Examiner, I'll get you that on  
20 the Tribal J Number 7. I think it was referenced in the  
21 last go-around, but that one was approved administratively.

22 EXAMINER STOGNER: Based on geology or  
23 topography?

24 MR. BRUCE: I believe it was geology.

25 THE WITNESS: The J 7? It's based on geology.

1 EXAMINER STOGNER: And the J 6?

2 THE WITNESS: The J 6 is based on geology.

3 EXAMINER STOGNER: And today we're basing  
4 something on geology, so you're trying to group all these  
5 wells with 640-acre spacing, which should be 1650 foot off  
6 the lease line already?

7 MR. BRUCE: The J 6 is a Dakota well, Mr.  
8 Examiner, in the southwest quarter of Section 1.

9 THE WITNESS: The J 6 is Dakota only.

10 EXAMINER STOGNER: Okay.

11 THE WITNESS: The J 7 is Paradox only. The A 26  
12 is Paradox, but we want to evaluate the Dakota on the way  
13 down.

14 EXAMINER STOGNER: When I look at Exhibit Number  
15 3, what is the A 7 well? Which one is that?

16 THE WITNESS: There's a J 7.

17 EXAMINER STOGNER: Well, also -- I'm showing an A  
18 27.

19 MR. BRUCE: That is a Dakota well also, Mr.  
20 Examiner. That was heard at the same time as -- the  
21 hearings were consolidated --

22 EXAMINER STOGNER: Okay, okay, let me back up  
23 here. I'm getting myself confused and everybody else  
24 confused.

25 Okay, in Section Number 2 here --

1 MR. BRUCE: Yes.

2 EXAMINER STOGNER: -- there is already a Number 7  
3 well marked on Exhibit Number 1. That, supposingly, is a  
4 Paradox well. Now, where does that show up on Exhibit  
5 Number 3? Is that well shown?

6 MR. BRUCE: Mr. Examiner, on Exhibit Number 3 the  
7 A 7 well is the well in the southeast of the northwest with  
8 the circle around it.

9 EXAMINER STOGNER: Okay, so the Number 22 is not  
10 shown on Exhibit 3?

11 MR. BRUCE: Correct.

12 EXAMINER STOGNER: Okay.

13 MR. BRUCE: That is a Dakota well, and that is  
14 why it was omitted.

15 EXAMINER STOGNER: But you did show the Dakota  
16 well in Section -- the Number 17. You see where my  
17 confusion is here.

18 MR. BRUCE: Oh, okay, Mr. Examiner, I see.

19 EXAMINER STOGNER: Okay, now it's beginning to  
20 make a little bit more sense here.

21 Okay, I'm sorry for that interruption.

22 Mr. Hammond, do you have any questions of this  
23 witness?

24 MR. HAMMOND: No.

25 EXAMINER STOGNER: Once you supply me that record

1 of that NSL order, I'll also incorporate that file into the  
2 record in this matter.

3 EXAMINATION

4 BY EXAMINER STOGNER:

5 Q. What is the Dakota spaced on?

6 A. I believe it's 640s.

7 Q. 640s.

8 MR. BRUCE: 160, Mr. Examiner.

9 THE WITNESS: 160s, that's right, 160s.

10 EXAMINER STOGNER: Maybe that's more of a  
11 reservoir question I need to reserve for him.

12 MR. BRUCE: Yes, sir.

13 EXAMINER STOGNER: Is that -- Okay.

14 Q. (By Examiner Stogner) Were you the geologist who  
15 chose the location for that Number -- the J 7 well, based  
16 on geology?

17 A. Yes.

18 Q. And why did you locate that well there, as  
19 opposed to 1650-1650 off the north and west line?

20 A. There is a water leg in the Paradox formation  
21 which we believe is pretty close to the minus -- It's  
22 between the minus-2000 and the minus-2100 contours. And at  
23 a legal location in Section 12, we would be getting down  
24 very close to where we anticipate that water contact to be.

25 So basically in a nutshell, we wanted to get as

1 high updip in Section 12 as we could.

2 Q. Now, is this water contact moving in any  
3 direction in the Paradox?

4 A. We don't know to what extent it has moved upward  
5 since the field has been originally drilled. But the well  
6 in Section 11 is still a very strong well, it's making very  
7 little water. So it has not moved up to that point.

8 Q. Is there any Paradox production south of Sections  
9 11 and 12?

10 A. No, there's not.

11 Q. There is not.

12 A. In fact, there's a dry hole to the south that,  
13 from log calculation, appears to be wet.

14 Q. So how was this water contact discovered? Was  
15 there some wells that penetrated down there that found it?

16 A. We have some wells, particularly one in Section  
17 10, which have problems with water production, which the  
18 one in Section 10 is structurally just slightly lower than  
19 the one in Section 11.

20 Q. Okay. Now, your J 6 well, that's a Dakota test,  
21 and that was based on geology?

22 A. Correct.

23 Q. Can you give me a little rundown on why you  
24 located that well at this location or --

25 A. Okay.

1 Q. -- or the location that's -- Is it currently  
2 drilling?

3 A. We just TD'd it about a week ago.

4 Q. Okay.

5 A. Okay, if you look at Exhibit 2, which is the  
6 Dakota structure map, there's several faults trending west  
7 northwest, east southeast at the Dakota level. These  
8 faults create small structural closures on the upthrown  
9 side of them. And in these structural closures you have  
10 production from the lower Dakota and potentially also the  
11 Morrison sands.

12 This particular fault block cuts through the  
13 southwest corner of Section 1, and then it continues into  
14 the south half of Section 2.

15 We wanted to test the highest structural position  
16 in Section 1 with the J 6, and we also wanted to test the  
17 structural highest position in Section 2 with the A 26.

18 This is a previously untested fault block. The  
19 other fault blocks in the area have proven that the lower  
20 Dakota and the Morrisons can produce on these small  
21 structures.

22 Q. So you feel this northern tendency for drift off  
23 of your well is going to take you closer to that same fault  
24 that you were trying to get close to on that J 6?

25 A. That's correct.

1 Q. Okay, this is somewhat refreshing. I'm so used  
2 to pancake geology in the San Juan Basin, all of a sudden  
3 it looks like I'm looking at Wolfcamp or Atoka or a Morrow  
4 situation in Lea County.

5 A. It's pretty unique.

6 Q. Yeah, it is. So that's -- I think that's what  
7 kind of tended to lead me to some confusion in the  
8 beginning here. Now it's making clearer sense.

9 Okay, when I look at Section -- I mean Exhibit  
10 Number 2, now, you're after that fault that's in the  
11 southern portions of Sections 1 and 2. Does that fault  
12 that runs through the northern sections of 11 and 12, do  
13 you still get the same Dakota characteristics on those, or  
14 -- They don't appear to be tested, I guess. But what's the  
15 log indications?

16 A. That fault block has not been tested either. If  
17 you see a well in the southwest of Section 2 with a circle  
18 around it --

19 Q. Number 25?

20 A. The A 25.

21 Q. Okay.

22 A. That well, I believe, crossed that fault between  
23 the Dakota and the Morrison. Therefore it encountered the  
24 Morrison on the updip -- on the upthrown side of it, and  
25 the Morrison produces in that well. And that's the reason

1 we want to drill the J 6 and the A 26 to the Morrison.

2 Q. How do these faults in the Dakota reflect in the  
3 Paradox formation, or you see the faulting extend down to  
4 those depths?

5 A. No, they die out and flatten out at depth and do  
6 not go down to the Paradox level.

7 Q. Okay, how about above the Dakota? Do these  
8 faults extend upwards?

9 A. Yes. Apparently they extend all the way to the  
10 surface.

11 Q. How does that -- well --

12 A. I haven't been out in the field to verify that.

13 Q. I was wondering how that affects the drilling out  
14 there.

15 A. It has a slight effect on the deviation. If you  
16 hit a fault, it will change the deviation just slightly.

17 EXAMINER STOGNER: Are there any other questions  
18 of this witness?

19 Thank you for your patience.

20 THE WITNESS: Okay.

21 EXAMINER STOGNER: I am sorry that, since I  
22 wasn't a party to the original one, you had to repeat  
23 yourself today. But I appreciate your patience on that.  
24 Thank you.

25 THE WITNESS: No problem. Thank you.

1 EXAMINER STOGNER: Mr. Bruce?

2 MR. BRUCE: Mr. Voigt?

3 BARRY VOIGT,

4 the witness herein, after having been first duly sworn upon  
5 his oath, was examined and testified as follows:

6 DIRECT EXAMINATION

7 BY MR. BRUCE:

8 Q. Would you please state your name for the record?

9 A. Barry Voigt.

10 Q. And where do you reside?

11 A. Euless, Texas.

12 Q. Who do you work for?

13 A. Cross Timbers Oil Company.

14 Q. And what's your job with Cross Timbers?

15 A. Reservoir engineer.

16 Q. Does your area of responsibility at Cross Timbers  
17 include this area of the San Juan Basin?

18 A. Yes, it does.

19 Q. And have you previously testified before the  
20 Division as an engineer?

21 A. Yes, I have.

22 Q. And were your credentials as an expert accepted  
23 as a matter of record?

24 A. Yes.

25 Q. And you are familiar with the engineering matters

1 related to this well?

2 A. Yes.

3 MR. BRUCE: Mr. Examiner, I'd tender Mr. Voigt as  
4 an expert engineer.

5 EXAMINER STOGNER: How do you spell your last  
6 name, sir?

7 THE WITNESS: V as in Victor, -o-i-g-t.

8 EXAMINER STOGNER: Mr. Voigt is so qualified.

9 Q. (By Mr. Bruce) Mr. Voigt, just to set it up,  
10 what are, in your opinion, the two main reasons you're  
11 seeking to drill this as more or less a vertical hole  
12 rather than directionally drill it as previously thought?

13 A. One of the reasons is due to cost, in order to  
14 drill and S-shaped curve and go on down to the Paradox.  
15 The other one is to reduce mechanical risk.

16 Q. Let's start off with your Exhibit 6. Could you  
17 identify that and discuss the Paradox wells in this area?

18 A. Exhibit 6 is a nine-section cumulative map around  
19 Section 2. As you can see, it shows the Ute Indians A  
20 Number 7 well that has cum'd 10 BCF, currently producing at  
21 24 MCF a day. And that is the well we are basically trying  
22 to replace in the southeast quarter of 2, try to recover  
23 reserves that that well will not recover.

24 Q. And this exhibit gives recovery data on other  
25 wells in this area?

1 A. Yeah.

2 Q. Are all of these wells active at this time?

3 A. Yes, they are.

4 Q. Do you have anything further on this exhibit?

5 A. No, I don't.

6 Q. Let's move on to your Exhibit 7 and discuss what  
7 Cross Timbers hopes to recover in the A 26 well, and at the  
8 same time could you give a history of the A 7 well and why  
9 you hope to -- why you desire to replace this well?

10 A. Yes, the first sheet on this is just a discussion  
11 of the Ute Indians A 7 and the P/Z analysis.

12 Basically, the A Number 7 had a cumulative  
13 production at 5-98 of 10 BCF. The decline-curve EUR is  
14 about 10.1. And the P/Z analysis shows that there's 13.6  
15 BCF in place with a recovery that should be around 11.6.

16 So that shows that there's unrecovered reserves  
17 at this well of 1.4 BCF.

18 Q. And 1.4 BCF would be an economic well?

19 A. Yes, it would.

20 Q. Okay.

21 A. And that doesn't include possibly any reserves  
22 that might be encountered, as the geologist stated on that  
23 zone that did show up in the M1 if we encounter it in this  
24 well.

25 The Ute Indians A Number 7 was drilled in 1955,

1 and they perforated the Paradox and acidized it. In 1961  
2 they repaired a casing leak.

3 In 1984 they perf'd a hole above the paradox  
4 called the Honnacker trail. The following month they  
5 squeezed a casing leak up the hole.

6 And 1985 they tried to pump a solvent acid job to  
7 try to get the well back, and then they ended up squeezing  
8 the Honnacker Trail in 1993 and re-acidizing the Paradox.

9 If you look at the production curve on this well,  
10 you can see that in 1983 something happened to this well --  
11 I don't have pure documentation on it; something happened  
12 and I never got it back -- which could have been a result  
13 from the casing leak that could have damaged the formation,  
14 or perhaps liquid from the Honnacker Trail, but there is no  
15 documentation from the well file on that.

16 Q. And is this information set forth in your Exhibit  
17 7?

18 A. Yes.

19 Q. The production plat?

20 A. Yes, it's the third page in.

21 Q. So in essence, sometime in the early 1980s  
22 production dropped from what, about 600 a day, dropped  
23 drastically?

24 A. Dropped drastically, down to maybe averaging,  
25 once you got back into 1991, back to 80 MCF a day.

1 Q. But it never fully recovered?

2 A. No.

3 Q. So based on this, you believe that because of  
4 those problems there are still reserves to be recovered in  
5 Section 2 in the Paradox?

6 A. Yeah, based on that and the P/Z analysis.

7 Q. Before we move on, Mr. Rabinowitz asked questions  
8 about the competition among the wells. Maybe you could  
9 address that a little bit.

10 A. As the geologist stated, we don't believe that  
11 there will be competition amongst these wells, based on the  
12 geology.

13 Also, I have done some drainage calculations. I  
14 do not have them in this package, but I don't believe that  
15 you'll see competition among the wells.

16 Q. These wells out here are rather prolific, are  
17 they not?

18 A. Yes, they are.

19 Q. As shown on Exhibit 6?

20 A. Yes.

21 Q. And in your opinion, are both of these wells  
22 necessary in order to adequately drain reserves, the A  
23 Number 7 -- I mean the J Number 7 and the A 26?

24 A. Yes.

25 Q. Mr. Voigt, there's also been some question about

1 the Dakota in this area, so why don't you refer to Exhibit  
2 8 and discuss the Dakota production in this area?

3 A. Exhibit 8 is a nine-section cumulative map  
4 showing Dakota wells only. There is one existing Dakota  
5 well in the southeast quarter of Section 2, which is the  
6 Ute Indians A 20. It has cum'd 133 million, and -- Let's  
7 see, I don't have the current producing rate on it. It's  
8 actually producing at about 14, 15 MCF a day. It shows  
9 zero on this, but that's probably because of a shut-in for  
10 that well.

11 Q. Now, if you compare this against Mr. Burch's  
12 Exhibit 2, the structure map, this A Number 20 well will be  
13 in a separate fault block from your proposed well in the  
14 Dakota?

15 A. Yes, it will.

16 Q. Okay. And looking over in the southwest quarter  
17 of Section 1, there's a well that recovered what, 900,000?

18 A. Yes, the Ute Mountain Tribal J 4, which is also  
19 in a separate fault block.

20 Q. Okay, so that well is in a separate fault block  
21 from the J Number 6, which is in the process of being  
22 completed?

23 A. Yes.

24 Q. Okay. So it's those type of wells -- Or you hope  
25 to recover similar reserves from other Dakota wells in this

1 area; is that correct?

2 A. Yes.

3 Q. Another thing on this map, the Examiner asked Mr.  
4 Burch about the A 25 well, which is over in the southwest  
5 quarter of Section 2.

6 A. Yes.

7 Q. When was that well drilled, approximately?

8 A. In May of 1997.

9 Q. Okay. That was the last well Amoco had drilled  
10 when it owned these leases?

11 A. Yes, it was.

12 Q. Was that the first well that had been drilled in  
13 quite some time on these leases?

14 A. Yes, it was.

15 Q. Before that A 25 was drilled, how long had it  
16 been before Amoco had drilled wells in this area?

17 A. Looking at the map here, it looks like about --  
18 the last well on here was 1981.

19 Q. Okay.

20 A. And then they actually drilled three wells in  
21 1997.

22 Q. Okay, so they --

23 A. Yes.

24 Q. -- they had gone about 15 years before drilling  
25 any wells in this area?

1 A. Yes.

2 Q. And Cross Timbers currently has an ongoing  
3 program of drilling in this area?

4 A. Yes.

5 Q. Why don't you move on to Exhibit 9 and discuss  
6 with the Examiner the types of reserves you hope to recover  
7 on some these Dakota wells in this area.

8 A. Exhibit 9 is just basically the -- has the backup  
9 for the volumetric calculations on the southeast quarter of  
10 Section 2, basically on the first three Dakota sands, so  
11 that would be your upper Dakota sands.

12 The first three Dakota sands have approximately  
13 949 million cubic feet in place. The current well in the  
14 southeast quarter has produced 133 million, which would  
15 yield a recovery factor of about 14 percent, just on the  
16 upper sands. So remaining reserves in the southeast  
17 quarter would be about 674 million recoverable.

18 Q. Just drilling a Dakota well, is that economic?

19 A. Yes, it is.

20 Q. What are the depths of these wells in the Dakota,  
21 roughly?

22 A. Approximately 2500 to 2700 feet.

23 Q. And in the Paradox?

24 A. Approximately 8000 to 8500.

25 Q. So on the way down to testing the A 26 in the

1 Paradox, you will evaluate the Dakota?

2 A. Yes, we will.

3 Q. Okay. And hopefully find it's in another  
4 separate salt block -- fault block, and be able to recover  
5 reserves from that fault block?

6 A. Yes.

7 Q. Now, Mr. Burch also discussed how the wells  
8 drifted to the north as they were being drilled. Could you  
9 identify Exhibit 10 for the Examiner and discuss its  
10 contents?

11 A. Exhibit 10 is the directional survey on the J 6  
12 well. And we weren't drilling with directional tools until  
13 about -- between 1300 and 1400 feet, where we saw the well  
14 getting out to a six-degree angle at that point, and we saw  
15 that we would not hit our geologic target.

16 So from that we deduced that in this area that  
17 the natural tendency for these wells is to drift up to six  
18 degrees with a -- in generally pretty much a north  
19 direction, slightly east direction.

20 After 1300, 1400 feet, we went in with  
21 directional tools and steered the well back to the south.

22 Q. What are your plans with respect to the A 26  
23 well?

24 A. We plan to let the A 26 drift naturally to the  
25 north, which should put us in a favorable position on the

1 structure of that fault block for the Dakota, to  
2 investigate the Dakota, and then continue drilling the well  
3 down to the Paradox.

4 Q. Once the well gets through the Dakota, it will  
5 more or less be a vertical hole; is that correct?

6 A. Yes, it should straighten out.

7 Q. Were Exhibits 6 through 10 prepared by you or  
8 under your direction?

9 A. Yes, they were.

10 Q. In your opinion, is the granting of this  
11 Application in the interests of conservation and the  
12 prevention of waste?

13 A. Yes, it is.

14 MR. BRUCE: Mr. Examiner, I'd move the admission  
15 of Cross Timbers Exhibits 6 through 10.

16 EXAMINER STOGNER: Exhibits 6 through 10 will be  
17 admitted into evidence.

18 Any questions?

19 MR. RABINOWITZ: Just one, Mr. Voigt.

20 EXAMINATION

21 BY MR. RABINOWITZ:

22 Q. The cases for an option to drill the original  
23 well, then -- or this new plan to let it drift, this is a  
24 final decision by Cross Timbers to go with the new plan?

25 A. Yes.

1 Q. You've totally discarded the --

2 A. Yeah, based on the information we gained off the  
3 basics, we were able to make to make that decision, so it  
4 is final.

5 MR. RABINOWITZ: Okay, thank you.

6 EXAMINATION

7 BY EXAMINER STOGNER:

8 Q. Were you present on the drilling of the Number 6  
9 well?

10 A. I was out there prior to encountering the Dakota,  
11 but I was in close contact with our drilling engineer in  
12 Midland and our field supervisor out in the field.

13 Q. Are there going to be any changes to the drill  
14 string or weight or fluids when you pass a zone that looks  
15 like it kicked off at a pretty good angle?

16 A. Yeah, what we're going to do is go in with a  
17 stiff bottomhole assembly, which will let the hole build  
18 angle, but it will build at a slow rate. This well, we  
19 went in, we did not have a stiff bottomhole assembly in  
20 there, on the J 6. Didn't think that we'd encounter too  
21 much deviation.

22 Q. What are you hoping that stiff assembly will hold  
23 that inclination down to?

24 A. Down to -- we think we'll build -- We won't build  
25 as quick, but probably build up to maybe six to eight

1 degrees, which would put us, oh, approximately 250, maybe  
2 350 feet north of that location, when we encounter the  
3 Dakota, and then continue down to the paradox.

4 Q. And when did you start directionally drilling on  
5 this Number 6 well?

6 A. We put the directional tools in the well between  
7 1300 and 1400 feet.

8 Q. And you drilled directionally for the remainder?

9 A. Yes.

10 Q. So you intentionally started coming back to the  
11 south, as apparent --

12 A. Yes.

13 Q. -- at about what, 2500 feet?

14 A. Yes.

15 Q. Or at least you held it for quite a while and  
16 then started coming back.

17 A. Yes. We did that just to try to hit the Dakota  
18 target that we --

19 Q. Were you drilling with mud or air?

20 A. Excuse me?

21 Q. Were you drilling with mud or air?

22 A. Mud.

23 Q. What were the completion techniques for that  
24 Number 7, and how are you going to differ with this  
25 proposed well?

1           A.    The Number 7, they had basically perforated the  
2 different Paradox zones in that well and acidized them.  On  
3 the A 26, we plan to perforate what zones seem to be  
4 productive and probably just go through with a gelled acid  
5 job on those also.

6           Q.    So the Paradox Number 7 well was cased and  
7 perforated --

8           A.    Yes.

9           Q.    -- it wasn't open-hole completion?

10          A.    Correct.

11          Q.    Isn't that somewhat rare for that era?

12          A.    Well --

13          Q.    I mean, is that what you have found, three-  
14 stage --

15          A.    Yeah, every one of these Paradox wells out here  
16 were cased, perforated and acidized.

17          Q.    Who did that?  Pan American or...

18          A.    It was either Stanolind or Pan American.

19          Q.    So it was the old Amoco?

20          A.    Yes.

21          Q.    Is that old Well Number 7 making any water?

22          A.    It's not making any water to my knowledge.  It's  
23 not producing at a high enough rate to really lift anything  
24 out of the well.

25          Q.    So you've never seen any water production or --

1 from that well, even prior to 1983, as far as the records  
2 indicate?

3 A. Yeah, I've seen no documentation, other than the  
4 fact that they had casing leaks, is the only documentation.

5 Q. How much did it cost -- or how much of an overrun  
6 did you have on that Number 6 well when you had to get the  
7 directional drilling tools?

8 A. The directional tools cost, including rig time,  
9 approximately \$50,000 additional cost.

10 EXAMINER STOGNER: Okay, any other questions of  
11 this witness?

12 You may be excused.

13 MR. BRUCE: I have nothing further in this case,  
14 Mr. Examiner.

15 EXAMINER STOGNER: Mr. Rabinowitz, would you or  
16 Mr. Hammond like to say anything on the record at this  
17 time?

18 MR. RABINOWITZ: I would like to.

19 EXAMINER STOGNER: Okay.

20 MR. RABINOWITZ: I would just like to say, the  
21 BLM supports this drilling program with both these  
22 unorthodox wells and replacement wells, and we feel that  
23 this program is in the best economic interest of the Ute  
24 Mountain Ute Tribe.

25 EXAMINER STOGNER: Mr. Hammond?

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. HAMMOND: No.

EXAMINER STOGNER: Mr. Bruce?


MR. BRUCE: Nothing further, Mr. Examiner.

EXAMINER STOGNER: Okay, in that case, since there's nothing further, Case Number 12,210 will be taken under advisement at this time.

Thank you, gentlemen, for showing up today.

(Thereupon, these proceedings were concluded at 9:20 a.m.)

\* \* \*

I do hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 12210, heard by me on 8 July 1999.  
 , Examiner  
Oil Conservation Division


## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                                   )    ss.  
 COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL July 10th, 1999.




---

STEVEN T. BRENNER  
 CCR No. 7

My commission expires: October 14, 2002