

OIL CONSERVATION DIV.

NOV - 4 AM 7:42

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
 THE OIL CONSERVATION DIVISION FOR THE )  
 PURPOSE OF CONSIDERING: )  
 )  
 APPLICATION OF THUNDERBOLT PETROLEUM, )  
 L.L.C., INC., FOR APPROVAL OF A )  
 WATERFLOOD PROJECT AND TO QUALIFY THE )  
 PROJECT FOR THE RECOVERED OIL TAX RATE, )  
 EDDY COUNTY, NEW MEXICO )  
 )

CASE NO. 12,250

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MARK ASHLEY, Hearing Examiner

October 21st, 1999

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MARK ASHLEY, Hearing Examiner, on Thursday, October 21st, 1999, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

## I N D E X

October 21st, 1999  
 Examiner Hearing  
 CASE NO. 12,250

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>ROBERT LEE</u> (Engineer)	
Direct Examination by Mr. Bruce	4
Examination by Examiner Ashley	17
REPORTER'S CERTIFICATE	22

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	17
Exhibit 2	6	17
Exhibit 3	6	17
Exhibit 4	8	17
Exhibit 5	13	17
Exhibit 6	13	17
Exhibit 7	14	17
Exhibit 8	14	17
Exhibit 9	15	17
Exhibit 9A	16	17
Exhibit 10	17	17

\* \* \*

## A P P E A R A N C E S

FOR THE DIVISION:

CHRIS SCHATZMAN  
Assistant General Counsel  
Energy, Minerals and Natural Resources Department  
2040 South Pacheco  
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

JAMES G. BRUCE, Attorney at Law  
3304 Camino Lisa  
Santa Fe, New Mexico 87501  
P.O. Box 1056  
Santa Fe, New Mexico 87504

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2 9:30 a.m.:

3           EXAMINER ASHLEY: At this time the Division calls  
4 Case 12,250, Application of Thunderbolt Petroleum, L.L.C.,  
5 Inc., for approval of a waterflood project and to qualify  
6 the project for the recovered oil tax rate, Eddy County,  
7 New Mexico.

8           Call for appearances.

9           MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe,  
10 representing the Applicant. I have two witnesses to be  
11 sworn.

12           EXAMINER ASHLEY: Call for additional  
13 appearances.

14           Will the witnesses please stand to be sworn in?  
15 (Thereupon, the witnesses were sworn.)

16                               ROBERT LEE,  
17 the witness herein, after having been first duly sworn upon  
18 his oath, was examined and testified as follows:

19                               DIRECT EXAMINATION

20 BY MR. BRUCE:

21           Q.    Would you please state your name and city of  
22 residence for the record?

23           A.    Robert Lee, Midland, Texas.

24           Q.    What is your occupation?

25           A.    I'm an engineer and the owner of Thunderbolt

1     Petroleum.

2             Q.     Have you previously testified before the Division  
3     as a petroleum engineer?

4             A.     Yes, I have.

5             Q.     And were your credentials as an expert accepted  
6     as a matter of record?

7             A.     Yes, they were.

8             Q.     And are you familiar with the engineering matters  
9     related to this Application?

10            A.     Yes, I am.

11            MR. BRUCE:   Mr. Examiner, I tender Mr. Lee as an  
12     expert petroleum engineer.

13            EXAMINER ASHLEY:   Mr. Lee is so qualified.

14            Q.     (By Mr. Bruce)   Mr. Lee, what does Thunderbolt  
15     seek in this Application?

16            A.     Thunderbolt is seeking the authority to institute  
17     a waterflood project in the Loco Hills-Queen-Grayburg-San  
18     Andres Pool on the Calmon lease, which covers the southwest  
19     quarter of Section 16, Township 20, Township 18, Range 29  
20     East, in Eddy County, New Mexico, and we're also seeking  
21     certification of the project for the recovered oil tax  
22     rate.

23            Q.     Mr. Lee, could you identify Exhibit 1 and also  
24     identify the existing -- or I should say the initial  
25     injection and producing wells for the project?

1           A.    Yes, Exhibit 1 is a land map of the area.  The  
2 Calmon lease has been shaded in yellow.  The proposed  
3 injection wells are marked with red triangles.  The Calmon  
4 Number 1 is the most northern well on the lease, and the  
5 Calmon Number 3 is the southerly well marked on the lease.

6           Q.    And how many producing wells will there be?

7           A.    Currently, there are five producing wells and one  
8 shut-in well.  Once the project is instituted, I'll have  
9 two injection wells, three producing wells and one shut-in  
10 well.

11          Q.    Is Thunderbolt the only working interest owner in  
12 this lease at this time?

13          A.    Yes, I am.

14          Q.    Are the injection wells, or the proposed  
15 injection wells, currently producing wells?

16          A.    Yes, they are.

17          Q.    Let's move on to your Exhibit 2.  Would you  
18 identify that and discuss the geology briefly in this area?

19          A.    Yes, Exhibit 2 is a structure map on the top of  
20 the Penrose formation, and what this is showing is just  
21 regional dip to the southeast.

22                 Exhibit 3 is a cross-section, and I've put that  
23 up on the well here, but it's a cross-section through the  
24 six wells on the lease.  It shows that the zones are  
25 continuous across the property.  Perforations are marked on

1 the logs on that cross-section. It shows the main  
2 producing sands are the Penrose, the Loco Hills and the  
3 Metex.

4 Q. Those zones are all in the same pool, however,  
5 are they not?

6 A. That's correct, it's all in the same pool.

7 Q. Okay. The injection formation is continuous  
8 across your proposed injection interval?

9 A. Yes, it is.

10 Q. Let's get back to your Exhibit 2 for a minute.  
11 Exhibit 1 is kind of cramped in the numbering system. On  
12 this Exhibit 2 it also marks the injection wells, does it  
13 not?

14 A. That's correct, they're marked with the red  
15 triangles. Once again, the Calmon Number 1 is the most  
16 northern well. The Calmon Number 3 is the southern well in  
17 the middle of the other four producers.

18 Q. Okay, the other four producers are Numbers 2, 4,  
19 5 and 6?

20 A. That's correct.

21 Q. And which one did you say at this point will  
22 remain shut in?

23 A. Number 4.

24 Q. Which number --

25 A. And that is the -- Number 4 is the well with the

1 top of plus 1283. It's kind of in the upper right-hand  
2 corner of those four wells.

3 Q. Okay, thank you.

4 A. That's my shut-in well.

5 Q. Now, let's discuss your proposed injection  
6 operations. Could you identify Exhibit 4 for the Examiner?

7 A. Exhibit 4 is copy of the C-108.

8 Q. Could you -- Without me leading you through it,  
9 could you go down and describe the injection wells and the  
10 zone you're seeking to inject into and maybe summarize the  
11 injection operations?

12 A. Yes, the wells that I want to inject into is the  
13 Calmon State Number 1 and Number 3. In my C-108, about the  
14 third page in, I have the information pertinent to the  
15 Calmon State Number 1. This page contains the tabular  
16 information on the well, showing its location, casing  
17 design, the injection tubing and depth of setting that I'm  
18 anticipating running my injection tubing into.

19 I also show the injection formation as being the  
20 Queen-Grayburg-San Andres, Loco Hills field. I show where  
21 the perforations are and that the well was drilled as an  
22 oil well and there's no other tested intervals in the well.

23 The page after that is a schematic of the Calmon  
24 Number 1 showing its current completion, once again showing  
25 my casing, the perforated interval and the production

1 casing on there, the well's -- the location and other  
2 pertinent information.

3 The next page shows my proposed completion of the  
4 Calmon Number 1 with the injection tubing in place, once  
5 again running plastic-coated tubing to a depth of about  
6 2176 and injecting from there.

7 After that I show the tabular information for the  
8 Calmon State Number 3, once again with all the tabular data  
9 required by the C-108.

10 After that I have a schematic of the current  
11 completion of the wellbore. Once again it's showing the  
12 information on casing, location, completion, all the other  
13 pertinent information there.

14 After that once again I have the proposed  
15 completion where I show a diagram with my packer set at  
16 about 2180, once again showing that I'm going to be using  
17 plastic-coated tubing and a plastic-coated packer to run it  
18 into my injection well for injection purposes.

19 Q. Mr. Lee, will the injection wells be cased and  
20 cemented so that no injected water can escape into any  
21 other zone?

22 A. Yes, they will be, they have been. These are  
23 fairly recent wells drilled in 1986 and 1987, and they have  
24 had cement circulated to surface on both the surface string  
25 and the production string.

1           Q.    Okay.  The next page of the C-108 is another land  
2 plat.  What is the intent of that plat?

3           A.    This plat once again shows the acreage in  
4 question shaded in yellow, the injection wells designated  
5 by red triangles.  On this map, though, I have drawn a  
6 half-mile-radius circle around each of my injection wells,  
7 delineating the area of review for this project.

8           Q.    How many wells are there in the area of review?

9           A.    There are 16 wells within the half-mile radius of  
10 the injectors that penetrate the zone that I'm going to  
11 flood.

12          Q.    Are they summarized on the next page of the  
13 C-108?

14          A.    Yes, they are.

15          Q.    Would you go through that briefly and describe  
16 them for the Examiner?

17          A.    Yes.  This is a list of all the wells and their  
18 construction data within my area of review.

19                    Important things to point out on this sheet,  
20 under the "Status" column I'm showing which wells are  
21 producing, which wells have been TA'd and which wells have  
22 been P-and-A'd.  There's four P-and-A'd wells within my  
23 area of review.  I also show when the well was spud,  
24 completed, and what the TD of the wells were.

25                    I show the casing program with the cement program

1 that was shown on the scout tickets for each of these  
2 wells.

3 And then the column labeled "TOC", another  
4 important column here, it stands for top of cement, I show  
5 where the top of cement is for these wells. Some of the  
6 wells, ones that I operate, I had the well file so I could  
7 see where the top of cement was. And as I said, they've  
8 all been circulated to surface except for the Number 2 on  
9 the long string. There is a cement bond log that showed  
10 the cement to be 750 feet in that well.

11 The offset wells, I show where the top of the  
12 cement is, and I'm calculating where the top of cement is  
13 based upon the estimated hole size and the cement volume  
14 that was pumped as shown on the scout ticket.

15 Then I also show the completion interval, the  
16 treatment and what kind of IP the wells had.

17 Q. In your opinion, are all of these wells either  
18 properly completed or properly plugged so that there will  
19 be no crossflow among the zones?

20 A. Yes, they have been. And all the tops of cement  
21 on the long strings calculate to be above the zone I'm  
22 going to be injecting into or will have a string of casing  
23 across that interval to protect the wellbore.

24 Q. Are the next several pages the wellbore sketches  
25 of the plugged and abandoned or drilled and abandoned

1 wells?

2 A. Yes, they are. And there's four of those,  
3 showing the plugging information that was available from  
4 Tim Gum, from the OCD office in Artesia. So that's the  
5 next four pages there.

6 After that I show the data required on the items  
7 7 through 12 on the C-108, basically saying that the  
8 anticipated injection rate is going to be about 150 barrels  
9 per well per day, with a proposed maximum rate of about 300  
10 barrels per well per day. The system will be a closed  
11 system.

12 I anticipate the maximum injection pressure to be  
13 around 450 pounds, and I derived that from the depth of  
14 completion of these wells. The wells were completed at  
15 about 2260, but I used for calculation purposes a depth of  
16 2250 and have applied the .2-p.s.i.-per-foot gradient to  
17 calculate my maximum pressure, and that was to 450 pounds.

18 Q. So you will be below the Division standard?

19 A. Yes, I will be, but I hope the injection pressure  
20 will be more than the 300-pound range.

21 Q. Okay.

22 A. On this sheet I also show that the proposed  
23 injection fluid is going to be produced water from my  
24 lease, as well as makeup water from the Yates Petroleum-  
25 operated West Loco Hills Unit, which is located about three

1 miles to the east of me.

2 I have a water analysis attached on the next page  
3 showing the analysis of these two waters. They show to  
4 have some slight to moderate scaling tendencies. But  
5 knowing this, we'll be able to treat the water and take  
6 care of that problem.

7 Q. Are there any freshwater sources within a mile of  
8 the injection wells?

9 A. No, there are not.

10 Q. What are the average producing rates for wells  
11 within the project area?

12 A. About one barrel per day per well.

13 Q. So these are definitely stripper wells?

14 A. Yes, that is correct.

15 Q. What is Exhibit 5?

16 A. Exhibit 5 is a plot of the historical production  
17 for the lease. Once again, this shows that the lease was  
18 initially drilled back in 1986. You can see the wells  
19 coming on line, the jigsaw pattern of the production, as  
20 well as the stairstep pattern of the well count shown on  
21 the bottom there. It shows that the last producing rates  
22 are around 150 barrels a month, once again, about five  
23 barrels a day.

24 Q. What is Exhibit 6?

25 A. Exhibit 6 is my projected production increase

1 from the waterflood. This plot shows that I'm expecting a  
2 peak rate of about 50 barrels a day, after about two years  
3 of injection.

4 Q. Will the pressure-maintenance project result in  
5 an increase in the amount of crude oil ultimately recovered  
6 from this reservoir?

7 A. Yes, it will.

8 Q. Could you move on to Exhibit 7 and discuss what  
9 you believe will be recovered as a result of this project?

10 A. Yes, Exhibit 7 is a table of the reserves, both  
11 cumulative and remaining primary, as well as my anticipated  
12 waterflood reserves. You can see that currently the  
13 property has made about 99,000 barrels and only has 7000  
14 barrels remaining reserves left.

15 The incremental waterflood reserves that I  
16 anticipate to recover is 115,000 barrels. So ultimately,  
17 the project will recover 221,000 barrels.

18 I calculate that the original oil in place is  
19 about 810,000 barrels, so this recoverable will be 27  
20 percent of the original oil in place and will give me a  
21 secondary-to-primary ratio of 1.08.

22 Q. What will be the cost of the project?

23 A. \$125,000.

24 Q. And are those costs set forth on Exhibit 8?

25 A. Yes, they are. This table breaks out my cost for

1 injection lines, facilities, conversions and miscellaneous  
2 expenses.

3 Q. Okay. And the project area for this project will  
4 be solely the southwest quarter of Section 16?

5 A. That is correct.

6 Q. What does Exhibit 9 show?

7 A. Exhibit 9 shows the economics for the project.  
8 As I said, under current operations I'm only going to  
9 recover about another 7000 barrels. With the flood, the  
10 incremental recoverable reserves should be about 115,000  
11 barrels.

12 I also show that my capital cost will be  
13 \$125,000. My undiscounted income from the project will be  
14 \$783,000, showing that I will recover additional money from  
15 this investment. The price scenario that I ran was \$18  
16 flat, and gas price was 2.50 an MCF, flat.

17 Q. In your opinion, is it prudent to apply enhanced  
18 recovery techniques to maximize ultimate recovery of oil  
19 from this pool?

20 A. Yes, it is.

21 Q. In your opinion, is the waterflood project  
22 economically and technically feasible at this time?

23 A. Yes, it is.

24 Q. And in your opinion is the granting of this  
25 Application in the interests of conservation and the

1 prevention of waste?

2 A. Yes, it is.

3 Q. The next exhibit, Mr. Lee --

4 MR. BRUCE: Mr. Examiner, I marked that 9. If  
5 you could mark that 9A --

6 EXAMINER ASHLEY: 9A?

7 MR. BRUCE: Yes, I used two Exhibit Numbers 9.

8 Q. (By Mr. Bruce) Mr. Lee, what is shown on Exhibit  
9 9? 9A, excuse me?

10 A. Yes, this is a map showing the acreage of the  
11 project, once again, being the southwest quarter of Section  
12 16, with the names of the offset operators highlighted in  
13 green.

14 Q. And these are the offset operators in this  
15 specific pool?

16 A. That is correct.

17 Q. It wouldn't include Morrow rights or anything  
18 like that?

19 A. That's correct.

20 Q. Okay. And this was taken from current records  
21 showing operators in this area?

22 A. That is correct.

23 Q. And all of these parties were notified of this  
24 hearing?

25 A. Yes, that is correct.

1 Q. And is Exhibit 10 my affidavit of notice with the  
2 notice letter and certified return receipts?

3 A. Yes, it is.

4 Q. Mr. Lee, were Exhibits 1 through 10 prepared by  
5 you or under your direction or compiled from company  
6 business records?

7 A. Yes, they were.

8 MR. BRUCE: Mr. Examiner, at this time I'd move  
9 the admission of Exhibits 1 through 10.

10 EXAMINER ASHLEY: Exhibits 1 through 10 will be  
11 admitted as evidence at this time.

12 Do I have a copy -- Is this a copy of Exhibit 3?

13 MR. BRUCE: Yes.

14 EXAMINER ASHLEY: Okay.

15 MR. BRUCE: The cross-section, yes.

16 EXAMINER ASHLEY: Cross-section, okay.

17 EXAMINATION

18 BY EXAMINER ASHLEY:

19 Q. Mr. Lee, I'm looking at Exhibit Number 2.

20 A. Okay.

21 Q. Could you review for me what the current status  
22 is of these six wells --

23 A. Yes.

24 Q. -- which ones are the injectors? I mean, you've  
25 got the two proposed injectors, but which ones will be the

1 producers and --

2 A. Yes.

3 Q. -- and Number 4 will be the one that's currently  
4 shut in and will remain shut in?

5 A. Yes.

6 Q. Okay.

7 A. That's correct. Once again, the northernmost  
8 injector is Number 1, the southern injector in the middle  
9 is Number 3.

10 Within Number 3, there's four wells around it.  
11 The well that is northwest of Well Number 3 is Well Number  
12 2. It's currently producing, as my injectors, they're also  
13 currently producing now.

14 Q. The injectors are currently producing?

15 A. Yes, they are. Yes, they are.

16 The well located southwest of Number 3 is Well  
17 Number 5, and it's currently producing.

18 The well southeast of Number 3 is Well Number 6.  
19 It is currently producing.

20 The well northeast of Number 3 is Number 4, and  
21 it is currently shut in.

22 Q. Okay. So essentially everything is going to  
23 remain the same except for the two injectors?

24 A. That is correct.

25 Q. Okay. Exhibit 4, the C-108 --

1 A. Yes.

2 Q. -- it looks to me that both these wells are going  
3 to be injecting in the current perforations; you're not  
4 going to add anything?

5 A. No, sir.

6 Q. And I had some questions about the P-and-A  
7 diagrams.

8 A. Yes.

9 Q. The first one, the State Number 1 --

10 A. Yes.

11 Q. -- that was plugged in 1951?

12 A. That's correct.

13 Q. Is any of that open-hole section in the proposed  
14 injection zone?

15 A. Yes, it will be.

16 Q. Is all of it going to be in the open-hole zone,  
17 or is there --

18 A. It looks like it's all going to be in that open-  
19 hole interval, yes, it does.

20 Q. The same will be the case then, obviously, for  
21 the Malco Federal Number 1 too, correct?

22 A. Yes, that is correct.

23 Q. And then --

24 A. The Malco well, it was drilled and abandoned. It  
25 was plugged off the rig.

1 Q. Oh, it was? Okay.

2 A. Yeah. I said P and A, but it should have been D  
3 and A.

4 Q. And then the next one, the Far West Loco Hills  
5 San Unit Number 24?

6 A. Yes, once again, it looks like the interval which  
7 I'm going to be injecting into would be in the original  
8 open-hole section.

9 Q. And then also I guess -- What about the State L  
10 Number 16?

11 A. That's correct. On the last two, on the Far West  
12 24 and the L 16, just kind of looking at the depths of my  
13 perforations compared to the portion that is cemented  
14 there, it looks like that the cement will cover the bulk of  
15 my injection interval. For the most part, my injection  
16 zone is going to run from 2260 down to about 2600, and both  
17 of those wells, at least, it looks like they have cement  
18 down to -- the Number 24 was 2540, and the Number 16 was  
19 2455.

20 Part of it's going to be -- It looks like it will  
21 be blocked off, but part of my lower intervals looks like  
22 it will be still open in the open hole.

23 Q. And you feel that these four wells are plugged  
24 properly?

25 A. When I look at these, you know, with -- They all

1 will have cement, at least up around 900 feet, so I feel  
 2 like if anything were to enter the wellbores here, the  
 3 cement plug should prevent it from reaching any shallower  
 4 depths.

5 Q. And you operate 100 percent of this lease; is  
 6 that correct?

7 A. That's correct.

8 EXAMINER ASHLEY: Okay. I have nothing further.  
 9 Thank you. Mr. Bruce?

10 MR. BRUCE: Mr. Examiner, I do have a landman  
 11 available if there are any land questions, but other than  
 12 that I didn't plan on calling him unless you had anything  
 13 in particular that you were interested in.

14 EXAMINER ASHLEY: You've notified all the offsets  
 15 and you haven't received any --

16 MR. BRUCE: We haven't received any objection  
 17 from anyone.

18 EXAMINER ASHLEY: Okay.

19 MR. BRUCE: So with that I would just ask that  
 20 the case be taken under advisement, Mr. Examiner.

21 EXAMINER ASHLEY: There being nothing further in  
 22 this case, Case 12,250 will be taken under advisement.

23 (Thereupon, these proceedings were concluded at

24 10:00 a.m.)

25

I do hereby certify that the foregoing is a  
 correct record of the proceedings at  
 the examiner hearing of Case No. 12250  
 heard by me on 10-21-1999

*Stephen T. Brenner*  
 STEPHEN T. BRENNER, CCR  
 Oil Conservation Division 989-9317


## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )  
 ) ss.  
 COUNTY OF SANTA FE )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL October 31st, 1999.




---

STEVEN T. BRENNER  
 CCR No. 7

My commission expires: October 14, 2002