

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: )

CASE NO. 12,265

IN THE MATTER OF CASE NO. 12,265 BEING )  
REOPENED PURSUANT TO THE PROVISIONS OF )  
DIVISION ORDER NO. R-11,328, WHICH ORDER )  
AUTHORIZED OXY USA, INC., TO CONVERT ITS )  
GOVERNMENT "AB" WELL NO. 9 (API NO. 30- )  
015-27964), LOCATED ON THE SURFACE 330 )  
FEET FROM THE NORTH LINE AND 230 FEET )  
FROM THE EAST LINE (UNIT A) OF SECTION )  
10, TOWNSHIP 20 SOUTH, RANGE 28 EAST )  
(BEING APPROXIMATELY 15 MILES EAST OF )  
SEVEN RIVERS, NEW MEXICO) TO A SALTWATER )  
DISPOSAL WELL BY INJECTION IN THE )  
PERFORATED INTERVAL FROM APPROXIMATELY )  
6378 FEET TO 6619 FEET INTO THE OLD )  
MILLMAN RANCH-BONE SPRING ASSOCIATED )  
POOL )

ORIGINAL

01 APR 19 AM 7:57

OIL CONSERVATION DIV

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

April 5th, 2001

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, April 5th, 2001, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

I N D E X

April 5th, 2001  
Examiner Hearing  
CASE NO. 12,265

	PAGE
EXHIBITS	3
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>RICK FOPPIANO</u> (Engineer)	
Direct Examination by Mr. Kellahin	4
Examination by Examiner Catanach	20
REPORTER'S CERTIFICATE	26

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	5	20
Exhibit 2	9	20
Exhibit 3	12	20
Exhibit 4	13	20
Exhibit 5	14	20
Exhibit 6	18	20
Exhibit 7	19	20

\* \* \*

## A P P E A R A N C E S

FOR THE APPLICANT:

KELLAHIN & KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265  
By: W. THOMAS KELLAHIN

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2   9:10 a.m.:

3           EXAMINER CATANACH: At this time we'll call Case  
4   12,265, Reopened, which is in the matter of Case Number  
5   12,265 being reopened pursuant to the provisions of  
6   Division Order No. R-11,328, which order authorized OXY  
7   USA, Incorporated, to convert its government "AB" Well No.  
8   9 located 330 feet from the north line and 230 feet from  
9   the east line of Section 18, Township 20 South, Range 28  
10   East to a saltwater disposal well by injection into the  
11   Bone Spring Associated Pool at a depth of 6378 to 6619.

12           Call for appearances in this case.

13           MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of  
14   the Santa Fe law firm of Kellahin and Kellahin, appearing  
15   on behalf of the Applicant, and I have one witness to be  
16   sworn.

17           EXAMINER CATANACH: Any additional appearances?  
18   Okay, will the witness please stand to be sworn in?

19           (Thereupon, the witness was sworn.)

20                       RICK FOPPIANO,  
21   the witness herein, after having been first duly sworn upon  
22   his oath, was examined and testified as follows:

23                               DIRECT EXAMINATION

24   BY MR. KELLAHIN:

25           Q. For the record, sir, would you please state your

1 name and occupation?

2 A. My name is Rick Foppiano, and I'm senior advisor  
3 for regulatory affairs for OXY USA and other OXY entities.

4 Q. In addition, Mr. Foppiano, you're a petroleum  
5 engineer?

6 A. That's correct.

7 Q. You testified before Examiner Ashley back in  
8 October of 1999 concerning this Government 9 disposal well?

9 A. That's correct.

10 Q. And you're back before Examiner Catanach  
11 concerning reporting the status of that well and the  
12 compliance with the provisions of the previous order?

13 A. That's correct.

14 MR. KELLAHIN: We tender Mr. Foppiano as an  
15 expert witness.

16 EXAMINER CATANACH: He is so qualified.

17 Q. (By Mr. Kellahin) Mr. Catanach was not involved  
18 in the original case, Mr. Foppiano, so let's take a moment  
19 and review the matters so that he will have a current  
20 recollection of where this project starts. If you'll take  
21 a moment and let's unfold Exhibit Number 1, identify for us  
22 what is Exhibit Number 1. What are we looking at?

23 A. Exhibit Number 1 is a land plat of the area, and  
24 it contains a lot of information. I'll just run through it  
25 briefly, if that's okay.

1           It's called "Zones of Production", and it's  
2 centered around the Government AB 9 well, which is the  
3 subject of the Application. As you can see, there's a  
4 variety of colors and information. The wells are denoted  
5 by the operator and the well number and lease name, and  
6 then they're color-coded as to the zones they have produced  
7 from in the area. And then you can see on the bottom, or  
8 below the well symbol, is a notation as to the zone the  
9 well is currently producing from.

10           And in particular you can see there are a variety  
11 of leases in Section 2, there are several state leases  
12 there. In Section 3 there are a couple of federal leases  
13 there. One is the Government S lease and another is  
14 another federal lease in the northwest quarter.

15           In Section 10 and Section 11 is the Federal AB  
16 lease, and also Section 11 contains a couple other  
17 government leases.

18           Q. All right. When we look at the disposal well,  
19 the Government 9, is OXY the operator of all the wells  
20 within the half-mile radius of review area?

21           A. That's correct, you can see the Government AB 9  
22 in the northeast quarter of Section 10, and then the circle  
23 is a half-mile radius centered on the bottomhole location  
24 of the Government AB 9, and you can also see that OXY  
25 operates all the wells within that half-mile radius of

1 exposure.

2 Q. At the prior hearing of this matter, we  
3 identified for the Division what is characterized as two  
4 problem wells. Do you remember that?

5 A. That's correct.

6 Q. Let's identify for Examiner Catanach where those  
7 two problem wells are on this exhibit.

8 A. Okay, the two problem wells -- We call them  
9 problem wells because they were constructed and cemented in  
10 such a way that cement did not cover the Bone Springs zone.

11 The proposed operation here, which has now been  
12 undertaken, was to take produced water in the area where we  
13 are producing Bone Springs water, and to reinject it back  
14 into the Bone Springs formation utilizing the Government AB  
15 9 as the injection well to do that.

16 Q. All right, what are the problem wells?

17 A. And the two problem wells that were the subject  
18 of the order are in Section 3, the southeast quarter, you  
19 see the wells that are very close together. The one that  
20 is colored in blue, the OXY USA, Inc., Number 2 Government  
21 S well, that's a Winchester-Morrow completion, a deep gas  
22 well.

23 Q. That's one of the two problem wells?

24 A. One of the two problem wells.

25 Q. All right, where's the other one?

1           A.    The other one is in Section 10 at the very edge  
2 of the half-mile circle.  It's a well that is highlighted  
3 in yellow, well symbol is in yellow, and it's the OXY USA,  
4 Inc., Number 2 Government AB Well, and it's completed in  
5 the North Burton Flat-Wolfcamp Pool.

6           Q.    All right.

7           A.    Neither of those two wells have cement behind the  
8 5-1/2-inch casing, across the Bone Springs zone.

9           Q.    The order references a monitor well.  When we  
10 come up to the OXY Government S2 well, there's a well just  
11 north of it, very close to that well.  Do you see that?

12          A.    Yes.

13          Q.    Is that the monitoring well?

14          A.    Well, actually we have several monitoring wells.  
15 All the wells that are completed and producing out of the  
16 Bone Springs Pool we consider to be monitoring wells.  
17 We're monitoring each of those wells.

18                    But in the particular case of one of the problem  
19 wells, the Number 2 Government S well, we have a well that  
20 is very close to it, producing from the Bone Springs so it  
21 can be considered almost a monitor well for that particular  
22 problem well and where we'd be able to detect any kind of  
23 change in the Bone Springs right there, next to where the  
24 Government S2 is completed.

25          Q.    Before we get to the terms and conditions of the

1 current order, let's illustrate for the Examiner the  
2 relationship of the disposal well to the problem well. If  
3 you'll turn to Exhibit Number 2, let's look at that.

4 A. This Exhibit Number 2 is essentially the same  
5 exhibit that was utilized in the original hearing to show  
6 the construction situation for all the wells within a half  
7 mile that are currently producing and haven't been plugged.  
8 And I call it a cross-section; it's centered on the  
9 Government AB 9, is the well in the middle.

10 And it shows the wells and their distance from  
11 the Government AB 9, all the wells, as I mentioned, that  
12 are currently producing, what zones they're currently  
13 producing out of, be it Morrow, Wolfcamp or Bone Springs.  
14 And it shows the surface, the intermediate casing, the long  
15 string casing, the perforations and where the cement is  
16 located.

17 And you can see from this depiction the two  
18 problem wells that are the subject of the hearing. To the  
19 left, the Government S2 is the Morrow, the deep gas Morrow  
20 well. And you can tell by where the top of cement at 7400  
21 feet, does not reach up to the Bone Springs, located around  
22 6600 feet there.

23 And then to the right, the Government AB 2 well,  
24 completed in the Wolfcamp, and you can see that the top of  
25 cement by temperature survey there is 7600 feet and not

1 high enough to cover the Bone Springs there.

2 Q. Okay. You were aware at the time of the original  
3 hearing that the Division usually requires problem wells to  
4 be cured, if you will, by the remedial action of placing  
5 sufficient cement across the injection interval to isolate  
6 the casing from the formation, correct?

7 A. Yes.

8 Q. Did you obtain from the Division an exception to  
9 that normal practice?

10 A. Yes, we think the order basically granted an  
11 exception to that normal practice, because of the special  
12 conditions and situation that occur in this particular  
13 case.

14 Q. All right. Let's describe for Mr. Catanach some  
15 of the special circumstances, one of which is that you did  
16 additional calculations that were reviewed by Mr. Ashley  
17 concerning the area to be affected by injection into this  
18 disposal well?

19 A. Correct.

20 Q. There's a name associated with that type of  
21 calculation. What is it called?

22 A. It's called "zone of endangering influence"  
23 calculations.

24 Q. As a result of that calculation, what does it  
25 demonstrate?

1           A.    The calculation, which was done at the request of  
2 the Division, revealed that the injection, based on the  
3 reservoir parameters that exist in the Bone Spring, would  
4 not have much effect beyond a short distance from the  
5 wellbore.

6           In fact, it showed that it did not increase the  
7 pressure in the Bone Springs to a level that exceeded a  
8 hydrostatic column of water gradient beyond a hundred feet  
9 from the wellbore and that it didn't even have an  
10 appreciable increase in the Bone Springs reservoir  
11 pressure, period, beyond 1000 feet from the Government AB  
12 9. And as you'll note, the two problems wells are well  
13 beyond 1000 feet from the Government AB 9.

14           So basically what it showed is, in the Bone  
15 Springs Pool, in the area of the two problem wells, the  
16 pressure increase in the Bone Springs as a result of  
17 injecting into the AB 9 was basically negligible.

18           Q.    Based upon that presentation, then, the Division  
19 issued approval for injection in the disposal well, true?

20           A.    Correct.

21           Q.    Subject to certain conditions and limitations,  
22 correct?

23           A.    Correct.

24           Q.    Has OXY satisfied all the conditions and  
25 limitations within the order?

1           A.    We have.

2           Q.    Let's summarize for Mr. Catanach those  
3 provisions.  And I'll show you for purposes of that  
4 question Exhibit Number 3.  This is the order issued.  If  
5 you'll turn with me to the ordering portion, starting on  
6 page 6, summarize for us the type of conditions the  
7 Division imposed in order to utilize this well as an  
8 injection well.

9           A.    Starting with paragraph (6), is that where you  
10 want me to start?

11          Q.    Yes, sir.

12          A.    Okay.  Paragraph (6) requires that the Government  
13 AB 9, the S2 and the other wells, the AB 2, be equipped  
14 with pressure devices and that the pressure be recorded  
15 between the 5-1/2-inch casing.  And it says it will be  
16 equipped with zero to 1000 p.s.i. pressure gauges.

17          Q.    All right, has all that done?

18          A.    To the best of my knowledge, yes.

19          Q.    All right.  Then there's some reporting and --  
20 some recording and reporting requirements in paragraph 7.  
21 Summarize for us what those are.

22          A.    In paragraph 7 there are several requirements to  
23 detail the monitoring of the production data from the Bone  
24 Springs well -- that's paragraph (a), which it says we will  
25 "perform and record monthly well tests", and the purpose of

1 that is obviously to monitor the oil and gas water  
2 production.

3 And then -- that says paragraph (d), I don't know  
4 what happened to the other paragraphs. But the next  
5 paragraph on this order is paragraph (d), and it says that  
6 we'll observe and record pressures on the annulus in the S  
7 2 and the AB 2 one a week, and that's been done, and that  
8 we'll record the injection rate and pressure on the AB 9  
9 once a week, that's been done, and that we'll report all  
10 these observations to the District Office, and that's been  
11 done. And there are some exhibits that follow that detail  
12 that compliance with that monitoring program.

13 Q. All right, let's go through those documents, Mr.  
14 Foppiano. If you'll start with Exhibit 4, what are we  
15 looking at with Exhibit 4?

16 A. Well, Exhibit 4 is just a chronology to basically  
17 bring the Division up to speed with what happened after the  
18 order was issued. The order was issued in February of last  
19 year, and right after the order was issued, we commenced  
20 the requirements to comply with the federal regulations  
21 regarding archeological surveys and right-of-way  
22 requirements.

23 And quite honestly, we encountered a lot more  
24 delays and difficulty in securing the necessary approvals  
25 from the federal government than we had anticipated. The

1 result was, it took basically -- well, it took a little  
2 over six months to get the necessary approvals from the  
3 feds to be able to go ahead and start the construction of  
4 the facilities on the AB 9 and to lay the flow lines or to  
5 lay the transfer lines from the two batteries, the  
6 Government S battery and the AB battery, over to the AB 9.

7 And we commenced that work to convert the AB 9 to  
8 injection service in January of this year and put the well  
9 on injection service at the end of January there, and it's  
10 been on injection service continuously since then.

11 Q. All right. At this time, then, there have been  
12 three monthly reports --

13 A. Yes.

14 Q. -- in compliance with the Division order for this  
15 well?

16 A. That's correct.

17 Q. Let's turn to Exhibit 5 and look at the first of  
18 those reports, and let's take it in the sections of the  
19 report, starting with the monthly test.

20 A. The next exhibit, which is Exhibit 5, are the  
21 completed AOR monitoring reports which were required by the  
22 order, and the report is broken down into several sections.

23 The first section is titled "Monthly Well Tests".  
24 And basically what this is is a recording of the well tests  
25 on the Bone Springs wells that are -- as you can see right

1 there, the date, the oil, the water and the gas.

2 The primary reason for recording that is to  
3 evidence that we are monitoring the water production on  
4 those wells so that we can detect when the water production  
5 exceeds the level of 100 barrels of water per day, at which  
6 point the order requires us to immediately shut down  
7 injection into the AB 9 injection well.

8 The next section are the "Weekly Pressure  
9 "Readings" from the two deep gas wells, the Government S2  
10 and the Government AB 2. And you can see the date, and the  
11 pressure is monitored there. And this particular first  
12 page of the report is the baseline data that was taken  
13 prior to commencing injection.

14 The next block down is the "Weekly Injection Well  
15 Status", which is basically a report on the Government AB 9  
16 as to what pressure it's injecting at and the volume that's  
17 being injected.

18 And then the last block is a certification by the  
19 person filling out the form that the information is true  
20 and correct.

21 Q. We have at least three triggers, if you will, to  
22 find out if the injection well is adversely affecting  
23 either of the problem wells, and the first one would be to  
24 look at the water volume reported on a monthly basis for  
25 the problem wells and to see if the water volume increased.

1 A. Correct.

2 Q. Did that occur as of this point in any of the  
3 months reported?

4 A. No.

5 Q. The other one would be to see if you are  
6 pressuring up either one of the problem wells.

7 A. That's correct, pressuring up the annulus of --

8 Q. That's right, pressuring up the annulus on the  
9 problem wells using this baseline pressure.

10 A. Correct.

11 Q. Has that occurred?

12 A. No.

13 Q. In addition, we can go back down to the injection  
14 well and to see whether the injection rates, volumes and  
15 pressures are changing dramatically to indicate that you've  
16 pressured up the reservoir and therefore may be pressuring  
17 up the problem wells?

18 A. That's correct.

19 Q. Do we have a point in time where you even  
20 pressured up the reservoir?

21 A. Well, obviously what we have to do is fill up the  
22 reservoir voidage created by production that occurred on  
23 the Government AB 9 well before it was converted to  
24 injection service. And as you can see, and as is the case  
25 today, we're continuing to inject on a vacuum, we've not

1 achieved fill-up.

2 And the big unknown here, which was the primary  
3 reason for undertaking this project, is, we really do not  
4 know if we can push any fluid in this reservoir at all.

5 And so this is really a test, in addition to being a  
6 disposal project for produced water and reducing our  
7 disposal costs so we can extend the economic life of  
8 existing production.

9 It also is a pilot to see if the Bone Springs can  
10 be flooded. There's a substantial oil target there that,  
11 if this indicates that we can push some fluid in the  
12 reservoir, then we'll look very, very closely at the  
13 possibility of a secondary recovery project.

14 But at this point we are waiting for the well to  
15 get enough volume in the pore space around the Government  
16 AB 9 in the Bone Springs reservoir, and once fill-up is  
17 achieved we really do not know if the well will just  
18 pressure straight up and basically not take any more fluid,  
19 or we're able to put some fluid in there and push volumes  
20 through the reservoir.

21 So it's still a big unknown as to what's going to  
22 happen in --

23 Q. In your opinion --

24 A. -- pressure zone.

25 Q. In your opinion, do the terms and conditions of

1 the current order continue to be appropriate to meet the  
2 future foreseeable circumstances involved in the reservoir  
3 for these wells?

4 A. Yes.

5 Q. Do you see any reason, based upon events that  
6 have transpired since the order was issued, to change any  
7 of the terms or conditions of the order?

8 A. No, I do not.

9 Q. Do you have an opinion whether the order  
10 continues to be appropriate under the circumstances of this  
11 case?

12 A. I think the order continues to be appropriate and  
13 shouldn't be changed.

14 Q. Let's look at a different way you've tabulated  
15 the data. If you'll look at Exhibit 6 and 7 for us,  
16 starting with Exhibit 6, describe for us what you're  
17 depicting.

18 A. Exhibit 6 and 7 is basically -- or it actually is  
19 taking the data from the previous exhibit, Exhibit 5, the  
20 monitoring data, the well-test data and the pressure data,  
21 and it's trying to show it in graphical form. It just is  
22 trying to show the same thing, because the data is a little  
23 bit easier to see where things are in relation to the  
24 triggers that cause us to immediately shut in injection.

25 And you can see from Exhibit 6, which is the

1 pressure monitoring data that we've captured on the two  
2 problem wells, and you can see to the left is -- the Y axis  
3 is the production intermediate casing pressure that we're  
4 observing, and the X axis are the dates.

5           And what it basically shows is, the monitoring,  
6 as was required, commenced prior to injection, which  
7 occurred -- injection started on the 30th of January. And  
8 you can see we recorded baseline pressures in red as the  
9 baseline pressure for the Government S2, in green is the  
10 baseline pressure for the AB 2. And then injection  
11 commenced on the 30th of January, and you can see the data  
12 following after that.

13           There has basically been no change to the  
14 pressures that have been monitored. We have not had any  
15 indication of any change in the pressure in the annulus up  
16 to this point.

17           And I've also shown with the dotted lines the  
18 shut-down points. So you can see that when the green curve  
19 on the bottom reaches the trigger point, that's the shut-  
20 down point, and the same is true with the red. So it's 50  
21 p.s.i. above the baseline pressure, so that's why there's  
22 two different triggers there for each -- you know, specific  
23 to the problem wells.

24           And then Exhibit Number 7 is the same kind of  
25 depiction. The date axis, the X axis, is the same as the

1 previous exhibit, and it shows water production on the Y  
2 axis, and you can see that all the well tests and the  
3 particular wells they reference. We're still -- We haven't  
4 seen any change to the water production in the Bone  
5 Springs, basically no effect in the Bone Springs, due to  
6 the injection in the Government AB 9.

7 Q. And OXY continues to control the operation of all  
8 the wells involved within this area that we've just  
9 discussed?

10 A. That's correct.

11 Q. So they operate and control the problem wells as  
12 well as the injector and the monitor wells?

13 A. That's correct.

14 MR. KELLAHIN: That concludes my examination of  
15 Mr. Foppiano.

16 We move the introduction of his Exhibits 1  
17 through 7.

18 EXAMINER CATANACH: Exhibits 1 through 7 will be  
19 admitted as evidence.

20 EXAMINATION

21 BY EXAMINER CATANACH:

22 Q. Mr. Foppiano, have you talked to anybody in  
23 Artesia about the reports that you're filing with them?

24 A. No, sir, I have not.

25 Q. I'm not sure that they know what they're getting

1 in these reports, and I'm not sure -- It might be a better  
2 idea to file these reports with the Santa Fe office. I  
3 might change that provision, put that in the order.

4 When you did your original zone of endangering  
5 influence calculation, you stated that at 1000 feet from  
6 the wellbore there was virtually no increase in pressure.  
7 Is that what you --

8 A. Yes, and I can refer back to my exhibit, if  
9 you'll allow me.

10 Yes, I have the information in front of me now.

11 Q. Okay. I guess it's your testimony that there's  
12 virtually not going to be any increase in pressure a  
13 distance of 1000 feet from the wellbore?

14 A. That's what the zone of endangering influence  
15 calculations showed. Obviously there are some assumptions  
16 based on those calculations, and we used the best, most  
17 conservative data we could to try to come up with a  
18 pressure profile, but that's what the calculations show.

19 Q. Okay.

20 A. And I might that -- Well, no, it doesn't add  
21 anything to it. Never mind.

22 Q. Does that calculation involve inputting a time  
23 factor and a volume factor for that wellbore? Like how  
24 long a period are we talking about?

25 A. I believe it does, if I recall it correctly.

1 Q. And do you recall what that time period was?

2 A. Yes, I have a table that shows the time period  
3 utilized in the calculations --

4 Q. Okay.

5 A. -- and it was one year.

6 Q. That was one year, okay. And did you use a  
7 constant volume in that calculation?

8 A. I used a constant injection rate.

9 Q. And what was that rate? Do you have that?

10 A. The rate was 192 barrels per day.

11 Q. Okay. Is that pretty much what you guys have  
12 been injecting into that well?

13 A. It is, but I'm not sure we have any information  
14 that indicates where the calculations are verified,  
15 essentially, because the zone-of-endangering-influence  
16 calculations assumed a pore space filled with injection  
17 fluid, and we are not at that point yet.

18 It basically assumes you have a fluid fill pore  
19 space and that you are already pushing fluid in the  
20 reservoir, and we are not even anywhere close to that  
21 because we haven't even filled the pore space up yet. It's  
22 a gas-saturated pore space with a little oil and probably  
23 some -- you know, and some water saturation. But it's  
24 primarily gas void that we're filling up down in the  
25 reservoir right now.

1           So in my opinion, the calculations -- We're only  
2 putting a hundred barrels -- or about 250 barrels a day,  
3 maximum, into the reservoir right now, only because that's  
4 everything we're producing from the Bone Springs. We have  
5 no idea how much it really could take, but it's taking it  
6 all on a vacuum now.

7           Q.    Are you saying that the Bone Spring was  
8 essentially depleted in the vicinity of the wellbore?

9           A.    That's my opinion, yes. It was very depleted,  
10 and that was one of the considerations for utilizing that  
11 particular wellbore, is that it really didn't have hardly  
12 any recoverable hydrocarbons left in it, in the area of the  
13 AB 9.

14          Q.    Okay, so the Government AB 9 was a producing well  
15 before it was converted?

16          A.    That's correct.

17          Q.    Okay. The well, as I understand from your  
18 reports, is taking water on a vacuum; is that correct?

19          A.    That's correct.

20          Q.    Do you know how the trigger was arrived at, 100-  
21 barrels-of-water-a-day trigger was arrived at?

22          A.    I think the monitoring program and the trigger  
23 were something that was suggested by us. The concept was  
24 suggested by us and reviewed with Examiner Ashley. And  
25 actually -- I'm trying to remember, I don't know if the

1 hundred barrels was what we proposed or we proposed a  
2 higher level and Examiner Ashley felt a lower level was  
3 more appropriate.

4 I know we proposed a higher pressure on the  
5 annulus of the two problem wells, and Examiner Ashley -- or  
6 the order reflected a much lower pressure. But it was the  
7 result of some discussions back and forth that we arrived  
8 at the monitoring program and then what we would do based  
9 on the monitoring program, what were the triggers,  
10 essentially.

11 Q. Okay. You don't anticipate the injection rate  
12 going up significantly in this well, do you?

13 A. It could, as we are -- as it's taking it on a  
14 vacuum, we're looking at other possibilities of water  
15 supply that we might be able to bring over to that well.  
16 Or there could be an increase in water production, which I  
17 don't anticipate that there could be from the Bone Springs,  
18 but there could be a slight increase.

19 So future conditions, I really can't say. But I  
20 don't think there's going to be a very significant increase  
21 in the volume that's being injected into the AB 9.

22 Q. Okay, but you are considering the possibility of  
23 bringing in additional water from other sources?

24 A. Other places where we operate wells in the  
25 immediate vicinity. And we don't know whether we're going

1 to do that, but obviously whatever we do would be in full  
2 compliance with the regulatory requirements and the federal  
3 requirements. But if it looks like it's something that  
4 makes good sense and -- we may try to do that, as long as  
5 the well is taking it on a vacuum.

6 EXAMINER CATANACH: Okay, I have nothing further,  
7 the witness may be excused.

8 Anything further in this case, Mr. Kellahin?

9 MR. KELLAHIN: No, sir.

10 EXAMINER CATANACH: There being nothing further,  
11 Case 12,265 will be taken under advisement.

12 (Thereupon, these proceedings were concluded at  
13 9:47 a.m.)

14 \* \* \*

15  
16  
17  
18 I do hereby certify that the foregoing is  
19 a complete record of the proceedings in  
the Examiner hearing of Case No. 12265,  
heard by me on April 5 192001.  
20 David R. Catanch, Examiner  
21 Of Conservation Division  
22  
23  
24  
25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )  
 ) ss.  
COUNTY OF SANTA FE )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL April 11th, 2001.



STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 14, 2002