

OIL CONSERVATION DIV.

99 NOV - 4 AM 7:42

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
 THE OIL CONSERVATION DIVISION FOR THE )  
 PURPOSE OF CONSIDERING: ) CASE NO. 12,265  
 )  
 APPLICATION OF OXY USA, INC., FOR )  
 SALTWATER DISPOSAL, EDDY COUNTY, )  
 NEW MEXICO )

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MARK ASHLEY, Hearing Examiner

October 21st, 1999

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MARK ASHLEY, Hearing Examiner, on Thursday, October 21st, 1999, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

## I N D E X

October 21st, 1999  
 Examiner Hearing  
 CASE NO. 12,265

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>RICHARD E. FOPPIANO</u> (Engineer)	
Direct Examination by Mr. Kellahin	5
Examination by Examiner Ashley	29
REPORTER'S CERTIFICATE	38

\* \* \*

## E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	29
Exhibit 2	8	29
Exhibit 3	9	29
Exhibit 4	11	29
Exhibit 5	12	29
Exhibit 6	13	29
Exhibit 7	15	29
Exhibit 8	21	29
Exhibit 9	22	29
Exhibit 10	25	29
Exhibit 11	35	29
Exhibit 12	29	29

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

CHRIS SCHATZMAN  
Assistant General Counsel  
Energy, Minerals and Natural Resources Department  
2040 South Pacheco  
Santa Fe, New Mexico 87505

## FOR THE APPLICANT:

KELLAHIN & KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265  
By: W. THOMAS KELLAHIN

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2 8:30.m.:

3  
4           EXAMINER ASHLEY: This hearing will come to order  
5 for Docket Number 32-99. Please note today's date, October  
6 21st, 1999. I'm Mark Ashley, appointed Hearing Examiner  
7 for today's cases.

8           Before we call the first case, I wanted to review  
9 the docket and go over any continuances and dismissals.

10           (Off the record)

11           EXAMINER ASHLEY: The Division calls Case 12,265,  
12 Application of OXY USA, Inc., for saltwater disposal, Eddy  
13 County, New Mexico.

14           Call for appearances.

15           MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of  
16 the Santa Fe law firm of Kellahin and Kellahin, appearing  
17 on behalf of the Applicant, and I have one witness to be  
18 sworn.

19           EXAMINER ASHLEY: Any additional appearances?  
20 Will the witness please rise to be sworn in?  
21 (Thereupon, the witness was sworn.)

22           EXAMINER ASHLEY: Mr. Kellahin?

23           MR. KELLAHIN: Thank you, Mr. Examiner.

24           Mr. Examiner, OXY's witness this morning is Mr.  
25 Richard Foppiano. Mr. Foppiano is a petroleum engineer.



1 MR. KELLAHIN: We tender Mr. Foppiano as an  
2 expert engineer.

3 EXAMINER ASHLEY: Mr. Foppiano is so qualified.

4 Q. (By Mr. Kellahin) Mr. Foppiano, let's look at  
5 Exhibit 1. Would you find the proposed disposal well on the  
6 plat for us?

7 A. It's in the northeast quarter of the northeast  
8 quarter in Section 10 there, and you can see it's the  
9 center of that dashed circle.

10 Q. It's the Government AB Number 9?

11 A. That's correct.

12 Q. This is a directional wellbore?

13 A. That's correct. You can see the surface location  
14 and then the bottomhole location is the black dot with the  
15 magenta circle around it.

16 Q. What is the current status of that well?

17 A. It's producing. It's a very marginal oil  
18 producer in the Bone Springs.

19 Q. Approximately how many barrels of oil does it  
20 produce a day out of the Bone Springs?

21 A. The last test was eight barrels of oil a day, but  
22 it's -- over the past several years it's been anywhere from  
23 three or four barrels of oil a day to more than that, so it  
24 fluctuates around that point.

25 Q. Okay. Why does OXY want to use this well for

1 disposal purposes?

2 A. Well, currently we produce, as you can see, from  
3 Bone Springs wells in this area. Primarily they're located  
4 on the two leases there, in Section -- One lease covers  
5 Section 10 and 11. That's the Government AB lease. You  
6 can see approximately -- well, there are four Bone Springs  
7 wells that we operate on that lease.

8 And then just to the north in Section 3 there is  
9 called the Government S lease, and we operate several Bone  
10 Springs wells there.

11 And the Bone Springs Pool here produces a couple  
12 of hundred barrels of water. We're estimating between  
13 these two leases, 300 barrels of water a day. And right  
14 now we spend about a dollar a barrel, trucking that  
15 produced water away from the batteries.

16 The wells are declining in their productivity,  
17 and we are at a point where we're trying to reduce our  
18 operating cost as much as absolutely possible, and of  
19 course it is much cheaper to take an existing wellbore and  
20 reinject the produced water than it is to keep paying a  
21 dollar a barrel to truck that water away.

22 So our proposal here is primarily to utilize the  
23 Government AB 9 as a saltwater disposal well.

24 Q. Does OXY operate all wells that penetrate to and  
25 through the Bone Springs formation, within the half-mile

1 radius of review?

2 A. Yes, we do.

3 Q. Will approval of this well as a disposal well  
4 adversely affect any oil production out of the Bone  
5 Springs?

6 A. In our opinion, no. If it has any effect, it  
7 would be positive.

8 Q. Let's look at the geologic and engineering data  
9 that supports that conclusion, Mr. Foppiano. If you'll  
10 turn with me to Exhibit Number 2, let's set aside Exhibit 1  
11 and keep it as a locator plat, but turning to Exhibit  
12 Number 2, identify that for us.

13 A. This is an isopach map. We have isopached the  $\phi$ h  
14 of the Bone Springs reservoir, the first Bone Springs sand,  
15 and you can see that in a kind of an irregular circle there  
16 of green and pink.

17 This is also a structure map, and so what this  
18 shows is that this reservoir is fairly small, at least the  
19 porous and permeable portion of the reservoir is very  
20 small. And it has a gas cap; that's the pink portion of  
21 the reservoir. It's an associated pool.

22 And it extends -- The well we want to inject  
23 into, the Government AB 9, you can see, is in the lower  
24 right-hand corner of that group of wells with the yellow  
25 highlight around them, which denotes Bone Springs wells.

1 We are at the very edge of the porous and permeable portion  
2 of the Bone Springs reservoir that produces in this area.

3 Q. Is there a structural advantage to using the  
4 Government AB 9 as a disposal well in the Bone Springs,  
5 versus some other Bone Springs well?

6 A. Structural advantage, it's downdip from all the  
7 existing oil production in the area.

8 Q. Let's turn and have you identify the cross-  
9 section that is shown on Exhibit Number 2. The cross-  
10 section is identified as Exhibit 3.

11 A. Yes, Exhibit 2 does show an A-A' cross-section  
12 through the Bone Springs, and this is -- Exhibit 3 is that  
13 cross-section. It's a stratigraphic cross-section.

14 You can see the Bone Spring is a fairly thick  
15 section, and it's also very laminated. The porosity comes  
16 and goes, and you can see it moving from west to east. The  
17 porosity is the best right there in the middle. And over  
18 to the eastern edge, which is where our Government AB 5 is,  
19 that well has not even produced in the Bone Springs, it's  
20 considered not to be commercial in the Bone Springs.

21 And the Government AB 9 is the second log trace  
22 from the right, and you can see that the porosity is spread  
23 out through the entire interval there. And so -- In fact,  
24 I actually viewed a core of this Bone Springs sandstone  
25 just the other day, and I was amazed that the sand-shale

1 sequences in some -- in this area on this well, in fact,  
2 are as small as a quarter of an inch thick. And so it is a  
3 very, very laminated sandstone reservoir, and porosity is  
4 spread out.

5           And you can also see that the Government AB 9  
6 well has got porosity that -- you can see the porosity  
7 development just -- It goes to nothing going east, which is  
8 another reason for us picking the Government AB 9. We  
9 don't believe that injection in the AB 9 would have any  
10 impact on anything to the east of that well. If anything,  
11 any response or effect would be to the west and to the  
12 north of where our Government AB 9 location is, because  
13 that's where the porous and permeable section of the Bone  
14 Springs is.

15           Q.   Is there an opportunity for OXY to utilize this  
16 wellbore to determine the feasibility of waterflooding the  
17 Bone Springs in this area?

18           A.   Yes, that's the secondary purpose for using this  
19 well and trying to inject this water. We quite frankly  
20 don't know if we can pump water into this Bone Springs and  
21 push oil to the producers. Analog reservoirs that we've  
22 looked at lead us to believe that it might be possible, but  
23 it might very well be that we pump a few thousand barrels  
24 into this Government AB 9 wellbore because of its low  
25 porosity and it pressures up, and we can't push any more

1 water into it.

2           So we really don't know if we're going to be able  
3 to put much water into it at all. And so the secondary  
4 benefit of attempting to do this is to try to see if we can  
5 push some oil in the Bone Springs, because as you'll see on  
6 a subsequent exhibit and through these exhibits, this could  
7 be a waterflood candidate, and there are substantial  
8 secondary reserves that could be produced if we could, in  
9 fact, find a way to push oil from one well to the other.

10           Q. Let me direct your attention to Exhibit 4 and  
11 have you illustrate for us what is the potential  
12 opportunity for additional oil recovery out of the Bone  
13 Springs reservoir in the event this is a suitable  
14 waterflood candidate.

15           A. Yes, Exhibit 4 is just some rough volumetrics. I  
16 caution that it's rough volumetrics, but the attempt of  
17 this exhibit is to show the size of the target. It's based  
18 on -- You can see the assumptions for  $B_0$  initially and  $B_0$   
19 at abandonment and water saturation, and also the  $\phi h$  that  
20 was planimetered off of Exhibit Number 2 -- I'm sorry,  
21 the -- yeah, the  $\phi h$ .

22           And so we have calculated a  $\phi$  acre-feet, if you  
23 will, of 15,895. And based on what we had produced up to  
24 the point this analysis or calculations were done, plus  
25 what we estimate will be recovered under primary from the

1 existing wells, you can see an ultimate recovery of roughly  
2 about a million barrels. And the volumetric calculations  
3 indicate to us that oil in place is of the order of 45  
4 million barrels.

5 So the recovery factor under primary is extremely  
6 low, and that's what intrigues us about the possibility of  
7 trying to waterflood this. We think if we can do nothing  
8 more than just double the primary recovery, which is just  
9 get another 1 1/2 percent -- I'm sorry, 2 percent of the  
10 oil in place, then we can recover another million barrels  
11 of oil before these wells are abandoned.

12 Q. Let me direct your attention to Exhibit Number 5,  
13 Mr. Foppiano. What is Exhibit 5?

14 A. Exhibit 5 is just the C-108 that we submitted for  
15 this, to obtain administrative approval for using the  
16 Government AB 9 wellbore as a disposal well in the Bone  
17 Springs.

18 Q. As part of your preparation for today's hearing,  
19 did you review the tabulation of wellbore data within the  
20 area of review and update that information and reduce it to  
21 the form of another exhibit?

22 A. I have. The C-108 had a method of presenting the  
23 well data and cross-referencing that to a map which, after  
24 we went through it a couple of times, it was apparent it  
25 was confusing. So I've attempted to present it in what I

1 think is a more clear fashion.

2 Q. Let's turn to Exhibit Number 6, then. This is  
3 your updated tabulation of wellbore data within the area of  
4 review?

5 A. That's correct. This is the same well  
6 information that we submitted in the C-108, and the changes  
7 that I've made, there was well information submitted on one  
8 well that was outside of the half-mile circle, and I  
9 deleted that information, since it wasn't required and it  
10 really didn't -- It's a Bone Springs well that is  
11 adequately cemented, and -- just to hone the information  
12 down to the stuff that's within the half mile. So this  
13 table represents that.

14 I've also added some additional information,  
15 particularly under the "Casing-Cement" column. We've added  
16 detail on the cementing and how the tops of cement were  
17 determined, either by cement bond log, which is CBL, or  
18 temperature survey, which is TS. It's either that or the  
19 cement was circulated and that was observed by our field  
20 people when that operation was performed.

21 Q. For any of these wells, did you have to calculate  
22 the estimated top of cement, or was it available, either as  
23 a circulated cement top or as a measured top?

24 A. We either measured it, or we observed that we  
25 circulated it. So we did not have to calculate it.

1 Q. In examining these wellbores, did you find any  
2 wellbore that penetrated through the Bone Springs reservoir  
3 that did not have the Bone Springs interval covered by  
4 cement?

5 A. Yes, we found two.

6 Q. And identify for us on Exhibit 6 the two wells  
7 that do not have cement across the Bone Springs interval.

8 A. The first one would be the fourth well down into  
9 the exhibit. It's called the Government AB Number 2. You  
10 can see under "Casing-Cement" column the 5-1/2 casing, has  
11 a top of cement of 7600 feet. The Bone Spring is around  
12 6300 to 6500 feet, so it doesn't -- cement does not cover  
13 that behind the 5-1/2 casing.

14 And the other well is the Government S 2, which  
15 is the second to last well down at the bottom of this  
16 table. It is a Morrow well, and based on cement bond log,  
17 its top of cement is 7400 feet, which is also below the  
18 Bone Springs.

19 Q. Who operates these wells?

20 A. OXY does.

21 Q. Let's look at Exhibit 1 now and find those two  
22 wells on Exhibit 1.

23 A. First well, the Government AB 2, is the well that  
24 is the farthest south inside the half-mile circle. It's  
25 the -- You can see it, it's right at the edge of the half-

1 mile circle, and it has an NBFWC with a gas symbol that  
2 denotes that it is currently producing from the North  
3 Burton Flat-Wolfcamp Pool.

4 Q. All right. And where is the other well?

5 A. The other well is the Government S 2, and it is  
6 north and west of the Government AB 9 wellbore. And you  
7 can see that right next to it is a Bone Springs well, and  
8 it is currently producing from the Winchester-Morrow Pool.

9 Q. All right, it's the blue dot in Unit Letter O of  
10 Section 3?

11 A. Yes, that's correct.

12 Q. Okay. Do you have an exhibit which illustrates  
13 the relationship of these two gas wells to the proposed  
14 disposal well and the other Bone Springs well within the  
15 half-mile area of review?

16 A. Yes, I do, and that's Exhibit Number 7. Exhibit  
17 Number 7, I'll just walk you through what this is. This is  
18 a cross-section. It shows all active wells within the area  
19 of review of the Government AB 9 wellbore. The Government  
20 AB 9 is centered right there in the middle. You can see  
21 it.

22 And the wells inside the area of review, their  
23 locations or distance from the AB 9 is scaled off, and this  
24 is proportional to their distance from the AB 9. So wells  
25 that are real close together are shown close together.

1 Wells that are farther apart are farther apart. So this is  
2 proportionately scaled out horizontally.

3           What you also see are three different colors,  
4 blue, yellow and green, denoting zones of interest, the  
5 first one being freshwater. Our information indicates that  
6 fresh water exists from zero to 60 feet, the Bone Springs  
7 interval, which is highlighted in yellow there, at about  
8 6300 to 6500 feet, and the Morrow -- I forgot the Wolfcamp,  
9 but the Morrow is shown there in green and it exists at  
10 around 11,000, roughly, feet. There's also another  
11 productive zone in there, the Wolfcamp, which is shown off  
12 to the right there.

13           So what I've attempted to do with this exhibit is  
14 show the wells in relationship to their location to the AB  
15 9. The wells to the left are north and west of the AB 9,  
16 and the wells to the right are south and east of the AB 9.

17           And this is important, if you recall the cross-  
18 section and the geological testimony, that the reservoir  
19 really -- the porous and permeable portion of this Bone  
20 Springs zone really doesn't exist to the south and east of  
21 the AB 9 wellbore. Most of the productive -- or the  
22 productive portion of the Bone Spring is off to the left on  
23 this exhibit of where the AB 9 is located.

24           So what we've shown here are the construction  
25 details of each of the different wells inside that half-

1 mile circle. You can see that surface pipe on all these  
2 wells is set roughly at about 400 feet, 13-3/8 casing, and  
3 intermediate pipe for all these wells is set around 3000  
4 feet, plus or minus a couple hundred feet, and that's  
5 generally 8-5/8 although we have one that's 9-5/8 casing.

6 And then for the Bone Springs wells we have 5-1/2  
7 casing set down to the Bone Springs, and then for the  
8 deeper wells the 5-1/2 casing is set all the way down to  
9 the Morrow at about 11,000.

10 And shown in magenta here is the cement behind  
11 pipe based on the exhibit -- It would be Exhibit Number 6  
12 that we showed, either cement bond log, temperature survey  
13 or observed. And just walking you through that, you can  
14 see on surface pipe the cement is circulated back to  
15 surface on the surface pipe of all these wellbores. For  
16 the intermediate casing, it's circulated back to surface  
17 from 3000 feet on all the intermediate casings.

18 And then on the long-string casings you can see,  
19 for instance, on the Government AB 9 it's circulated back  
20 to surface. And then moving over to the right of the AB 9  
21 on this exhibit, you can see the Government AB 5 well that  
22 is a Morrow well, has a top of cement at 5050 feet by  
23 cement bond log, which covers the Bone Springs. And then  
24 you can see the Government AB 2, which we mentioned before,  
25 has a top of cement of 7600 feet determined by temperature

1 survey. And so it doesn't -- The pink doesn't go all the  
2 way up to the Bone Springs there.

3 And then looking over to the left of the  
4 Government AB 9 on this exhibit, we encounter a couple of  
5 Bone Springs wells, the Government AB 8 and the Government  
6 S 7, and both of those have cement well above the Bone  
7 Springs, almost into the intermediate casing, and those are  
8 determined by cement bond logs.

9 Then we encounter the Government S 2, which is a  
10 Morrow well that we mentioned before, has a top of cement  
11 behind the 5-1/2-inch casing of 7400 feet determined by  
12 cement bond log, so it does not cover the Bone Springs zone  
13 there. But right next to it, approximately 120 feet from  
14 this wellbore, is another Bone Springs producer, the  
15 Government S 3, which has cement that covers the Bone  
16 Springs all the way up pretty close to the intermediate.

17 And then finally the Government AB 7, right at a  
18 half a mile from the AB 9, is a Bone Springs producer and  
19 it has cement at 3400 feet behind the 5-1/2-inch casing.

20 This exhibit also shows along the bottom current  
21 producing rates from each of the wellbores, it shows where  
22 they're perforated, just for completeness. And so what it  
23 does, to me, is, it shows in a schematic fashion where the  
24 areas of concern would be about injection into the Bone  
25 Springs. And I think we've already talked about them, but

1 obviously there would be the Government S 2 there to the  
2 left of the AB 9 and the Government AB 2 to the right of  
3 the AB 9.

4 Q. Does OXY propose to conduct remedial cement  
5 operations on these two gas wells in an attempt to cover  
6 the Bone Springs interval?

7 A. Our proposal would be that since we don't know  
8 how much we can inject into the AB 9 wellbore, we don't  
9 know if it will have any effect at all on oil production in  
10 any of the offset Bone Spring wells. We would propose to  
11 defer any requirement to block squeeze and isolate the Bone  
12 Spring interval in the Government S 2 and the AB 2. We're  
13 going to be monitoring production on all the Bone Spring  
14 wells within this half-mile radius. Indeed, we operate  
15 them, so we monitor them anyway by well testing.

16 And we also think that monitoring the  
17 intermediate production casing annulus on these two wells  
18 will allow us to detect any pressure increase based on a  
19 response to the Bone Springs from a disposal into the  
20 Government AB 9.

21 However, you can see by the proximity of the  
22 Government S 2 to the AB 9, it's our belief that we would  
23 see some response in the Bone Springs producers well before  
24 we would ever see any kind of pressure increase at the  
25 Government 2.

1           And since the reservoir -- the porous and  
2 permeable section of the reservoir really doesn't go off in  
3 the direction of where the AB 2 well is located, we don't  
4 think we're going to see any response out there anyway,  
5 because there's not much porosity out there, and the only  
6 way water is really going to get out there, probably, is if  
7 we fracture the Bone Springs, and we certainly don't intend  
8 to do that.

9           And that well is right at the half mile, it's 120  
10 feet from the half-mile circle. So we would propose to  
11 defer that, requiring any remedial cement operations on  
12 that well also, because it really is a substantial distance  
13 away, and we think any effect of injection into the AB 9 is  
14 really going to be felt by wells off to the left and not  
15 off to the right, on this exhibit.

16           Q.   If the Division requires you to conduct remedial  
17 cement operations on these two gas wells prior to utilizing  
18 the disposal well for disposal purposes, what if any risk  
19 is associated with those operations as to remaining gas  
20 reserves with either gas well?

21           A.   In our opinion, it substantially risks the  
22 remaining recoverable reserves in the Morrow, in the  
23 Government S 2. And I've got some exhibits that can show  
24 the productive history of those wells and illustrate what  
25 the problem is. But essentially the Government S 2 is a

1 very dry gas reservoir, and to work it over, to block  
2 squeeze the Bone Spring, is going to, in our opinion, dump  
3 water on that dry gas reservoir. And our experience with  
4 low pressure depleted Morrow reservoirs that are dry gas,  
5 we don't think that we're going to be able to get that well  
6 back.

7           And so we think there's a substantial risk of  
8 losing a substantial amount of otherwise recoverable  
9 reserves if we are forced to have to work over the  
10 Government S 2 wellbore.

11           Q.    Have you prepared an exhibit, Mr. Foppiano, which  
12 illustrates what you believe to be the minimum costs  
13 associated with working over either of these gas wells,  
14 trying to block squeeze the Bone Springs?

15           A.    Yes, the next exhibit is Exhibit Number 8, and  
16 it's just an estimate of the workover cost that would be  
17 incurred to temporarily plug off the deep gas producing  
18 zone and attempt to block squeeze the Bone Springs to  
19 isolate it.

20           And I say "attempt to". Anybody with much  
21 experience in squeeze cementing knows that it may require  
22 more than one squeeze to get an adequate squeeze. When you  
23 drill out, after you've perforated your casing, you may  
24 have difficulty getting a casing integrity test, so there  
25 might be some subsequent operations you need to perform.

1 So we've estimated \$60,000, but it easily could run well  
2 more of that, you know, \$100,000 or more. So this is just  
3 a real rough estimate.

4 Q. Have you estimated the remaining recoverable gas  
5 associated with the Morrow gas well that's at risk if the  
6 remedial action fails?

7 A. Yes, the next exhibit is Exhibit Number 9, and  
8 this is a production history graph, semi-log production  
9 history graph, of the Government S 2. And you can see that  
10 this well has been producing from the Morrow. Highlighted  
11 in yellow there is the daily gas rate, and the legend is  
12 off to the right there, the axis is off to the right.

13 We also have oil and water graphed on this, and  
14 you can see that there are insignificant amounts of liquid  
15 hydrocarbons produced from this well. It's been a Morrow  
16 producer since the early 1980s. It's been on a fairly  
17 steady decline since the days of gas proration were over,  
18 which was late 1989, early 1990s.

19 And based on that steady decline and an  
20 abandonment rate of about 30 MCF a day, I've estimated  
21 remaining recoverable reserves at approximately 400 million  
22 cubic feet. And we think these are the reserves that would  
23 be risked and likely lost if we have to dump water on that  
24 zones if we have to dump water on that zone to try to block  
25 squeeze the Bone Springs.

1 Q. Let's go back to Exhibit 7 for a moment and talk  
2 about your alternative solution to not having to take  
3 remedial action prior to injection.

4 First of all, the concern, is it not, that  
5 injection in the Bone Springs would move towards and over  
6 time corrode the metal on the casing, perforate that casing  
7 and allow it to be a source of migration of fluids, either  
8 above or below the disposal interval? That's the basic  
9 concept, right?

10 A. I think the primary concern is that uncemented  
11 intervals open -- for example in the Government S 2, would  
12 be open to fluid pressure by a water breakthrough of the  
13 Bone Springs in the Government S 2 location.

14 Q. All right, let's look to see where those fluids  
15 might go. Is there any opportunity or risk to freshwater  
16 sources if that should occur?

17 A. Not in my opinion. You can see there are two  
18 casing --

19 Q. That's supported by what, sir?

20 A. There are two casing strings cemented back to  
21 surface, protecting the fresh water from that possibility.

22 Q. If it's not a risk to fresh water, then the next  
23 choice of examination is to see if it risks any formation  
24 that might be oil productive or gas productive above or  
25 below the Bone Springs, correct?

1           A.    Correct.

2           Q.    Have you examined with the aid of your geologist  
3 to determine whether or not there are any potential oil  
4 zones above the Bone Springs?

5           A.    Yes, I have.

6           Q.    And what have you found out?

7           A.    There are none.  In this area, within a half mile  
8 of this wellbore, there are none.  And in fact, the closest  
9 oil production above the Bone Springs is 1.8 miles to the  
10 south and east, which is some Delaware production.  And  
11 that's once again off in the direction of -- That's quite a  
12 bit farther away than most every well we've got in the Bone  
13 Springs that would be monitoring any response.

14          Q.    Do you have a statement from OXY's geologist  
15 confirming your conclusions about the absence of  
16 potentially productive oil formations

17          A.    Yes, in preparation for this hearing, I asked our  
18 geologist to review well logs, production data, anything  
19 that he needed to see if he could determine what, if any,  
20 potentially productive zones there might be in the area of  
21 this Government AB 9 wellbore.  And he did his search  
22 within a two-mile radius of the Government AB 9, and the  
23 only thing he could come up with was the Delaware  
24 production that is 1.8 miles, roughly, to the south and  
25 east of the Government AB 9 wellbore.

1           And he did his research based on a correlative  
2 interval of 3000 feet to 7400 feet, and the reason why I  
3 asked him to do that particular interval is, 3000 feet is  
4 generally where the intermediate casing is set. So  
5 everything is protected down to that point. And then 7400  
6 feet is the top of the cement -- the lowest cement bond log  
7 -- well, actually we have one at 7600 feet. But generally  
8 speaking, that area is where we have that covered with our  
9 cement behind pipe. So I was curious about that geologic  
10 interval in this area, was there anything that was  
11 potentially productive?

12           And as you can see from Exhibit Number 10, his  
13 review indicated there was not anything potentially  
14 productive in that interval, other than that Delaware  
15 production that I mentioned.

16           Q.    Let's use the AB Number 2 Wolfcamp gas well as  
17 the illustration. Under OXY's proposal, then, you would  
18 seek approval to do what with the AB 2 well?

19           A.    Our proposal would be to monitor the production  
20 in the Bone -- Well, I'll answer your question, sorry.

21           We would propose to install pressure gauges to  
22 monitor the annular space between the 5-1/2-inch casing and  
23 the 9-5/8 casing on that particular wellbore. And if we  
24 see any significant pressure increase, we would offer to --  
25 or we can shut down the Government AB 9 injection

1 immediately and cease injection.

2 Q. Why is that an effective means of monitoring the  
3 movement of water injected into the Bone Springs?

4 A. Well, we feel like the space behind the 5-1/2-  
5 inch casing is mostly a fluid filled space, so if we see  
6 any pressure increase at all, we should see it fairly  
7 quickly by monitoring the pressure.

8 But here again, we don't think there's going to  
9 be any response in the Bone Springs in that direction,  
10 because that's not where the porosity and the permeability  
11 are. We think where the water injection is probably going  
12 to preferentially go is in the direction of where the  
13 production is, because that's the lower pressured area,  
14 it's where the porosity and the permeability are, and  
15 they're better developed in that area.

16 Q. Let's look to the northwest then. There is  
17 continual reservoir voidage and fluid withdrawals out of  
18 the Bone Springs reservoir from your current producing Bone  
19 Springs well, are there not?

20 A. Yes, you can see four active Bone Spring  
21 producers to the north and west of the AB 9.

22 Q. And if water is injected into the AB 9, what is  
23 the probable course of flow of that injection fluid?

24 A. Well, in our opinion it will go in the direction  
25 of where the production is and where the porosity and

1 permeability are. It's the path of least resistance.

2 Q. When we look at the Government S 2, the Morrow  
3 gas well, how do you propose to monitor that well for the  
4 occurrence of water breakthrough out of the Bone Springs?

5 A. Well, of course as I mentioned, we plan to  
6 monitor the production on the Bone Springs wells, and in  
7 our opinion we would see that, the production increase, on  
8 the Government -- I mean on those Bone Spring producers,  
9 well before we should see any response in the Bone Springs  
10 in the area of where the Government S 2 is located.

11 But additionally, we plan to monitor the annular  
12 space between the 5-1/2-inch casing and the 8-5/8-in  
13 intermediate casing on the Government S 2, and we can cease  
14 injection immediately upon any detection of a significant  
15 pressure increase in that annular space.

16 Q. Are the Bone Springs producing wells that OXY  
17 operates in this area situated to be effective monitor  
18 wells for this occurrence?

19 A. In our opinion they are, because you can see the  
20 S 7 and the AB 8 are actually closer to the AB 9. The  
21 Government S 3, which is another Bone Springs well, sits  
22 right next to the Government S 2. So if there was any  
23 pressure increase in the Government S 2, we should also see  
24 response right there at the S 3. And by continuing to  
25 produce these wells, any pressure increase that is seen in

1 the area of the S 2 can be depleted by production from the  
2 S 3.

3 Q. What is your plan concerning the surface  
4 injection pressure of the disposal well?

5 A. To be limited to the .2-p.s.i.-per-foot normal  
6 pressure limitation, subject to step-rate testing,  
7 increases through step-rate testing, and maintenance of the  
8 pressure at all times below fracture pressure.

9 Q. Mr. Foppiano, in your opinion as a petroleum  
10 engineer, will this alternative procedure suggested by OXY  
11 prevent the migration of water out of the Bone Springs  
12 formation?

13 A. I think so. And additionally, it provides an  
14 opportunity to recover additional reserves, prevent waste  
15 that might otherwise occur in the Bone Springs, by seeing  
16 if we can waterflood the Bone Springs. And it also will  
17 prevent the possible loss of reserves in the Government S 2  
18 by avoiding or delaying the necessity of block squeezing  
19 the Bone Springs in that wellbore.

20 Q. Have you brought with you this morning documents  
21 that support the tabulation of data on Exhibit Number 6,  
22 including copies of your cement bond logs, should Examiner  
23 Ashley desire to have that information?

24 A. I have those, yes.

25 MR. KELLAHIN: Mr. Ashley, Exhibit Number 12 is

1 our certificate of notice. We've notified the offset  
2 operators, the owner of the surface, with regards to the  
3 proposed disposal well. And with the introduction of  
4 Exhibit 12, then, we would move the introduction of  
5 Exhibits 1 through 11.

6 EXAMINER ASHLEY: And 12?

7 MR. KELLAHIN: Yes, sir.

8 EXAMINER ASHLEY: Exhibits 1 through 12 will be  
9 admitted as evidence at this time.

10 MR. KELLAHIN: That concludes my examination of  
11 Mr Foppiano.

12 EXAMINATION

13 BY EXAMINER ASHLEY:

14 Q. Mr. Foppiano, do you know of any other similar  
15 cases like this in New Mexico?

16 A. I was presented with a Marathon case yesterday,  
17 but I -- Without reviewing the case file, I can't determine  
18 whether or not it was a similar case or not.

19 MR. KELLAHIN: My recollection, Mr. Ashley, is  
20 that there is a Marathon case that raises this issue, and I  
21 haven't found it, and I'll continue to search for it. I  
22 should be able to find it here in a day or two. But I  
23 believe we had this kind of conversation in the past.

24 EXAMINER ASHLEY: When you find that information,  
25 could you get me a copy of that.

1 MR. KELLAHIN: Yes, sir, I'd be happy to.

2 EXAMINER ASHLEY: Okay.

3 Q. (By Examiner Ashley) If this is allowed and then  
4 you find that you do -- that it is working effectively to  
5 increase production in the offset wells, then you would  
6 propose, or come before the Division proposing to possibly  
7 waterflood the whole field?

8 A. Yes, unitize and waterflood. There are multiple  
9 leases, multiple operators we'd have to unitize. And we  
10 would use this information as a basis for our feasibility  
11 study for waterflooding the Bone Springs.

12 Q. Okay. Say you got to that point and you decided  
13 that it was feasible to waterflood. What would you do with  
14 these two wells at that point, these two wells that don't  
15 have cement across the Bone Springs?

16 A. That's a fair question. I asked that question  
17 myself, and we would look at -- The feasibility study would  
18 encompass the probable loss of reserves that might result  
19 from having to workover not only this well but maybe one or  
20 two other wells. I haven't investigated, I don't know what  
21 their cementing situation is.

22 But you'll notice from Exhibit 1 that we have  
23 several deep gas wells in this area of the Bone Springs.  
24 So we might have a similar problem, we may not. I don't  
25 know. But the feasibility study would encompass the cost,

1 strictly from a cost-benefit standpoint, that we might have  
2 to take that risk to squeeze that interval off and risk  
3 those reserves. We might just have to take that.

4 But at that time we feel like we've got some  
5 evidence that the Bone Springs is floodable. Right now, we  
6 have really no evidence that we can pump water into this  
7 Bone Springs interval. So this is kind of a -- We're kind  
8 of a little pilot project. We're anxious to try to see if  
9 we can pump any water into it. But by that time we will  
10 know.

11 Q. It seems to me that if you can think these two  
12 wells are okay the way they are, then if you did pursue a  
13 waterflood, then you would want to just leave them the way  
14 they are, that you wouldn't have a reason to go back and  
15 squeeze these wells. But what you're saying --

16 A. Well, I guess we more or less assumed that the  
17 Division would not allow that, regardless of what we wanted  
18 to do, and so we -- Perhaps I made a wrong assumption  
19 there, but my assumption was that if the Division approved  
20 our Application here, which is essentially for a term  
21 injection, that it would be with the caveat that if we go  
22 later on and try to waterflood, that we'll have to fix this  
23 problem or deal with this problem.

24 However, we'd certainly be interested in looking  
25 at it from the standpoint of, is it possible to avoid the

1 risk of losing these Morrow reserves, not only on this well  
2 but any other well we might have this problem with, if  
3 there is not the potential for contaminating otherwise  
4 potentially productive zones in this area.

5 I mean, as you can see from the geologic  
6 evidence, there just isn't anything productive in this area  
7 that would be affected or could be affected by water  
8 injection into the Bone Springs if we were able to  
9 institute a large-scale waterflood project.

10 So with that, it may well be, if the Division is  
11 amenable to that, that might be an alternative approach, is  
12 to institute a waterflood project without requiring block  
13 cementing of the Bone Springs in this area. I don't know.  
14 We haven't look at it from the large scale, because we  
15 really don't know if this is going to even be possible, to  
16 have a waterflood project here at all. So maybe we can  
17 just defer that till when we get to the feasibility study.

18 Q. I guess what I'm saying is that you say, Well, we  
19 don't feel like we need to cement this right now, but if we  
20 were to institute a waterflood we would cement them right  
21 away, we wouldn't even second-guess what the Division  
22 requires for cementing, we would cement those wells.

23 A. I made the assumption that we would be required  
24 to, but perhaps that was wrong on my part to make that  
25 assumption.

1 Q. Okay.

2 A. I think the primary issue, the primary concern  
3 there, would be, right now we could inject a little bit of  
4 volume into this Government AB 9 wellbore. The Bone  
5 Springs pressures up, and that's the end of that. That  
6 test is done. And so it hasn't really affected anything  
7 very far away from the Government AB 9 wellbore. So it  
8 hasn't even gone over to where the Government S 2 location  
9 is, or the AB 2.

10 However, if it does an area larger than that,  
11 such that there is oil being pushed and there is a response  
12 seen at the Bone Springs producers, and then we go  
13 institute a large-scale waterflood project, certainly there  
14 is going to be the potential for there to be pressure  
15 increase in that annual space that is uncemented. And that  
16 will be a very real concern.

17 Right now we don't think that's a real concern  
18 because of this situation of monitoring that we've got out  
19 there and the fact that we don't know if we can pump water  
20 in there. But when we have a waterflood project that  
21 concern is elevated, because we know then we can push oil,  
22 that that interval will be exposed to pressure increase.

23 So at that time, it might be that the Division's  
24 concern is that, Okay, it is going to experience pressure  
25 increase, so we do want it cemented in these wells. But

1 right now, since we don't know we can even do this, we  
2 think it's kind of premature to worry about it.

3 Q. Do you have any idea, or have you made any kind  
4 of assumptions, on how production might increase in the  
5 Bone Spring?

6 A. Other than the ballpark volumetrics that you saw.  
7 It's a very poor reservoir from the standpoint of primary  
8 recovery, and a rule of thumb is, if it's poor for primary  
9 it's not going to be real good for secondary. So the need  
10 is going to be to utilize existing wellbores. And  
11 certainly -- It probably won't support drilling a bunch of  
12 wells.

13 So it's real hard to estimate what we would have.  
14 We don't really have much of an analogue or even anything  
15 in this area that we can say, this is what we might get  
16 from waterflooding, other than look at the original oil in  
17 place and the low primary recovery and just speculate that  
18 if we can at least do -- if we can double our primary  
19 recovery, we've got a million barrels of a potential  
20 target.

21 But it's a fairly sizeable target, you see, of 45  
22 million barrels. It's not an insignificant amount of oil  
23 that is possible, that could be -- a portion of which could  
24 be recovered, either through secondary or even tertiary.

25 Q. Okay, you said you were going to be monitoring

1 both of those wells, the Government AB 2 and the Government  
2 S 2, for pressure; is that correct?

3 A. Yes, for pressure.

4 Q. And what about -- You're also going to be  
5 monitoring the Bone Springs producers there too?

6 A. Correct, the -- I don't know if I referenced it,  
7 but Exhibit Number 11 details what we're proposing as an  
8 alternative solution, monitoring water breakthrough in any  
9 of the Bone Springs producers within a half a mile, and  
10 then at the same time monitoring and trying to detect any  
11 significant pressure increase in the annular space on the  
12 two wells where the cement doesn't cover the Bone Springs,  
13 and then terminating the injection in the AB 9 immediately  
14 upon either of those two situations occurring.

15 Q. What would you do if you had breakthrough in  
16 either one of the -- the AB 2 or the S 2?

17 A. The AB 2 or the S 2? If we had pressure increase  
18 -- We don't think that it's likely it's going to affect the  
19 area of the Bone Springs around the AB 2, because there's  
20 not much porous or permeable interval in the Bone Springs  
21 over in that direction. So the S 2, it's likely we would  
22 see water breakthrough at the Bone Springs producers well  
23 before we would see even a pressure increase in the  
24 Government S 2 annular space.

25 But let's suppose we saw no impact on the Bone

1 Springs wells. If we saw a pressure increase, meaning  
2 there was just a pressure response around the area of the  
3 Government S 2, then we're proposing to just shut the  
4 injection down at that point. The only way that could  
5 happen, really, is if there was almost like a direct  
6 channel from the AB 9 over to the S 2 wellbore. But by  
7 monitoring that pressure in the annular space, we should be  
8 able to detect that pretty quickly.

9           Additionally, any pressure increase in the Bone  
10 Springs in that area will be immediately depleted by  
11 continuing to produce the Government S 3, which is located  
12 right next to it. And likely we would see an increase in  
13 production on the Government S 3 at the same time, so...

14           Q. So you think that any pressure increase you might  
15 see or problems in the Government S 2 would be taken care  
16 of possibly by the Government S 3?

17           A. Yes, and by monitoring the production on the  
18 two -- on the Bone Springs wells that are even closer to  
19 the AB 9 than where the S 2 is.

20           I think if you look at Exhibit 1 you can see  
21 where the Bone Springs producers are located, and so you  
22 can see there's one to the north, there's one to the  
23 northwest, and there's one to the west of the AB 9. And so  
24 if there's any effect of water injection, it's going to be  
25 in that area where the reservoir is located, where the

1 pressure has been depleted, and we should really see it at  
2 those Bone Springs producers, since that's where the  
3 pressure sinks are, that's where we're producing it.

4 EXAMINER ASHLEY: Okay, I don't have anything  
5 further. Thanks a lot.

6 THE WITNESS: Thank you.

7 EXAMINER ASHLEY: Mr. Kellahin?

8 MR. KELLAHIN: No, sir, that's all.

9 EXAMINER ASHLEY: There being nothing further in  
10 this case, Case 12,256 will be taken under advisement.

11 (Thereupon, these proceedings were concluded at  
12 9:25 a.m.)

13 \* \* \*

14  
15  
16  
17  
18 I do hereby certify that the foregoing  
19 is a true and correct copy of the proceedings  
20 the hearing of Case 12256  
21 heard by me, on 10-21-99  
22 Mark Kelly, Examiner  
23 Of Conservation Division  
24  
25

## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                                   )    ss.  
 COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL October 31st, 1999.




---

STEVEN T. BRENNER  
 CCR No. 7

My commission expires: October 14, 2002