

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)

CASE NO. 12,296

APPLICATION OF BURLINGTON RESOURCES)
OIL AND GAS COMPANY TO AMEND RULE 7)
OF THE SPECIAL RULES AND REGULATIONS)
FOR THE BASIN-FRUITLAND COAL GAS POOL)
FOR PURPOSES OF CHANGING WELL LOCATION)
REQUIREMENTS FOR COAL GAS WELLS, SAN)
JUAN, RIO ARRIBA, MCKINLEY AND SANDOVAL)
COUNTIES, NEW MEXICO)

ORIGINAL

00 FEB - 7 PM 4:43

OIL CONSERVATION DIV.

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MARK ASHLEY, Hearing Examiner

January 20th, 2000

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MARK ASHLEY, Hearing Examiner, on Thursday, January 20th, 2000, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

STEVEN T. BRENNER, CCR
(505) 989-9317

I N D E X

January 20th, 2000
Examiner Hearing
CASE NO. 12,296

	PAGE
EXHIBITS	3
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>ALAN ALEXANDER</u> (Landman)	
Direct Examination by Mr. Kellahin	7
Examination by Examiner Ashley	19
<u>RALPH L. NELMS</u> (Engineer)	
Direct Examination by Mr. Kellahin	22
Examination by Examiner Ashley	27
REPORTER'S CERTIFICATE	31

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	8	18
Exhibit 2	9	18
Exhibit 3	10, 23	18
Exhibit 4	15	18
Exhibit 5	23	27
Exhibit 6	17	18

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
 Attorney at Law
 Legal Counsel to the Division
 2040 South Pacheco
 Santa Fe, New Mexico 87505

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
 117 N. Guadalupe
 P.O. Box 2265
 Santa Fe, New Mexico 87504-2265
 By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 10:29 a.m.:

3 EXAMINER ASHLEY: This hearing will now come back
4 to order, and the Division now calls Case 12,296.

5 MR. CARROLL: Application of Burlington Resources
6 Oil and Gas Company to amend Rule 7 of the Special Rules
7 and Regulations for the Basin-Fruitland Coal Gas Pool for
8 purposes of changing well location requirements for coal
9 gas wells, San Juan, Rio Arriba, McKinley and Sandoval
10 Counties, New Mexico.

11 EXAMINER ASHLEY: Call for appearances.

12 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
13 the Santa Fe law firm of Kellahin and Kellahin, appearing
14 on behalf of the Applicant, and I have two witnesses to be
15 sworn.

16 EXAMINER ASHLEY: Any additional appearances?
17 Will the witnesses please rise to be sworn in?
18 (Thereupon, the witnesses were sworn.)

19 MR. KELLAHIN: Mr. Examiner, I've handed you a
20 green booklet that contains Burlington's exhibits in this
21 case. In addition, I have given you a copy of the Division
22 Order R-10,987-A. This is an order entered by Examiner
23 Stogner, effective February 1st of 1999. I've turned the
24 order for you back to Exhibit A.

25 This was an application by Burlington that

1 accomplished, among other things, a relaxation of the well-
2 location requirements for the Blanco-Mesaverde Pool. You
3 can see in Exhibit A down in Numeral 1B that there are some
4 changes for well-location requirements in the Blanco-
5 Mesaverde. The outer boundary setbacks went from 790 to
6 660, and there was an interior quarter-quarter setback of
7 130 feet, and that went to 10.

8 In addition, there's a special category of well
9 flexibility for federal exploratory units. As you may
10 remember, there are a number of federal exploratory units
11 in the San Juan Basin. They often contain an entire
12 township. We maintain these rules to the outer boundary of
13 the unit, but within the unit itself there's additional
14 flexibility so that a spacing unit within the unit could be
15 standard, even if it's ten foot off the boundary line.

16 The reason that was done, among other things, was
17 to recognize that there was need for additional
18 flexibilities, not only for topographic reasons but for
19 taking the best opportunity for a location based upon
20 infill drilling the Mesaverde, there were geologic-based
21 reasons.

22 In addition, it recognized the fact that Mr.
23 Stogner, processing unorthodox well locations
24 administratively in the Mesaverde, did hundreds of these,
25 and seldom if ever was there any objection. So the rule

1 was changed.

2 After this was done, Mr. Stogner suggested that
3 if Burlington would accommodate the Division, that we would
4 sponsor rule changes for certain other pools so that they
5 would all be consistent. One of the pools being considered
6 is the Basin-Dakota, and that case is currently being
7 processed by Mr. Stogner.

8 This one we have before you today is for the
9 Basin-Fruitland Coal Gas Pool, the notion being that the
10 future in the San Juan Basin is principally driven by using
11 a single wellbore and commingling one or more of these
12 formations. It's not unusual to see the coal commingled
13 with PC. And you know from the rule changes to Rule 104
14 that were accomplished this summer that PC rules are 660.
15 So we're looking for uniformity of well-location
16 requirements. That's the only thing we're changing in the
17 coal gas rules. We're not changing any of the other rules.

18 As part of this process, then, with the
19 assistance of the Aztec office, we obtained a list of what
20 we believe to be all the operators in the coal gas pool,
21 and we sent notices to those interest owners. The notices
22 were back in October of this year. To the best of my
23 knowledge, there is no objection from any of the operators
24 to changing the rules.

25 Our presentation this morning, then, is to have

1 Mr. Alexander go through the details of what we're
2 proposing to accomplish, and then we'll have an engineering
3 witness that will talk to you about what is the opportunity
4 in the coal gas and why it's necessary and appropriate to
5 relax the location requirements.

6 With that introduction, Mr. Examiner, I direct my
7 attention to Mr. Alexander.

8 ALAN ALEXANDER,
9 the witness herein, after having been first duly sworn upon
10 his oath, was examined and testified as follows:

11 DIRECT EXAMINATION

12 BY MR. KELLAHIN:

13 Q. For the record, sir, would you please state your
14 name and occupation?

15 A. My name is Alan Alexander. I'm currently
16 employed as a senior land advisor for Burlington Resources
17 in their Farmington, New Mexico, office.

18 Q. On prior occasions, Mr. Alexander, have you
19 testified as an expert petroleum landman before the
20 Division?

21 A. Yes, sir, I have.

22 Q. And as part of your employment with your company,
23 are you responsible for knowing and understanding the
24 various pool rules for the wells and pools in the San Juan
25 Basin?

1 A. That is correct.

2 Q. In addition, you have assisted me in trying to
3 present a case before the Division to change the Fruitland
4 Coal Gas rules with regards to well locations?

5 A. Yes, sir.

6 MR. KELLAHIN: All right, we tender Mr. Alexander
7 as an expert witness.

8 EXAMINER ASHLEY: Mr. Alexander is so qualified.

9 Q. (By Mr. Kellahin) Let's turn to the exhibit
10 book, Mr. Alexander, and show the Division what you and I
11 have prepared for his consideration. What is behind
12 Exhibit Tab Number 1?

13 A. Behind Exhibit Tab Number 1 we have the
14 Application that requests the setback change for the Basin-
15 Fruitland Coal Pool.

16 Q. Is Burlington Resources knowledgeable and
17 experienced about drilling producing Fruitland Coal Gas
18 wells in the Basin-Fruitland Coal Gas Pool?

19 A. Yes, sir, we are.

20 Q. The Application indicates that you operate
21 approximately 908 Fruitland Coal Gas wells; is that true?

22 A. That's correct.

23 Q. Let's turn to Exhibit 2. As part of processing
24 this Application, did you locate what you believe to be a
25 complete list of the operators in the San Juan Basin that

1 have Basin-Fruitland Coal Gas operations?

2 A. Yes, sir, as you mentioned before, we worked with
3 the Aztec office of the OCD to determine what the proper
4 list for the Fruitland Coal Operators might be. Since we
5 were doing applications for both the Basin-Dakota and the
6 Fruitland Coal, we found it more economic, and there's
7 quite a few owners to -- operators to notify, we found it
8 more economic to put both applications in the same list.
9 So that's why you will see behind Exhibit Tab Number 2 the
10 heading of that list as Basin Dakota and Basin Fruitland
11 Coal operator list.

12 Q. This list was compiled from the records of the
13 OCD office in Aztec?

14 A. Yes, sir, that's correct.

15 Q. And to the best of your knowledge, it's complete?

16 A. Yes, sir.

17 Q. The notice for hearing and these applications
18 were sent by certified mail, were they not?

19 A. Yes, sir, they were.

20 Q. And behind the tabulation of lists of operators
21 are copies of the green return receipt cards for the
22 certified mailing?

23 A. That is correct.

24 Q. To the best of your knowledge, are you aware of
25 any objection by any of the operators to changing the well-

1 location requirements in Basin-Fruitland Coal Gas Pool?

2 A. I have received no objections to date.

3 Q. Let me turn your attention to the configurations
4 of the pools. If you'll look behind Exhibit Tab Number 3,
5 let's fold out the first map display and have you describe
6 for me what you're attempting to illustrate with this first
7 map.

8 A. The first map shows with a green border, as you
9 will see down in the legend, the Basin-Fruitland Coal Pool
10 outline. This pool is like the Dakota Pool, but it's a
11 little different than normal pools in that the pool was
12 described by order, and it doesn't expand according to the
13 drilling activity in the region. That's why you will
14 notice the well spots that are on the map do not
15 necessarily coincide with the pool boundaries.

16 And on that map we have also delineated the
17 overpressured area of the Basin-Fruitland Coal Pool, which
18 we would like to discuss. We have some considerations
19 along with our Application that they address specifically
20 to the overpressured area.

21 Q. It's well recognized by the industry, including
22 Burlington, that there is an area within the coal gas that,
23 when initially drilled, was overpressured?

24 A. Yes, sir.

25 Q. And that has been generally defined by

1 development at this point?

2 A. That's correct.

3 Q. And the -- it looks like a blue -- is this a --

4 A. It's a blue outline.

5 Q. The blue outline would indicate what Burlington
6 believes to be the approximation of the overpressured,
7 underpressured line?

8 A. That is correct.

9 Q. If you're outside of that area, you're in the
10 area known as the underpressured area of the coal gas pool?

11 A. That's correct.

12 Q. Do the current coal gas rules that the Division
13 has for the pool make any distinction in terms of rules
14 between the overpressured and underpressured area?

15 A. No, sir, they do not.

16 Q. Do you propose that there be any distinction in
17 well-location requirements based upon the overpressure-
18 underpressure issue?

19 A. We do not.

20 Q. Okay. Generally describe for me what you mean
21 when you talk about the overpressured coal area. What is
22 that intended to mean?

23 A. Well, in layman terms and to the outside world it
24 essentially means that a portion of the Basin-Fruitland
25 Coal Pool that is very prolific and has produced

1 considerable amounts of gas and an area that is probably,
2 as Mr. Nelms can testify to, is probably being adequately
3 drained on a spacing of one well per 320 acres at this
4 time.

5 Q. In the underpressured area, you're still on 320-
6 acre coal gas spacing?

7 A. Yes, sir.

8 Q. The future opportunity for wells to be drilled by
9 Burlington is generally in what area of the coal gas pool?

10 A. It would generally be in the underpressured
11 portion of the pool, since the overpressured portion of the
12 pool has been to a large degree already developed, and
13 there's very little opportunity left in that area.

14 Q. What's the advantage to Burlington and the
15 industry of having the Division rules for the Blanco-
16 Mesaverde, Basin-Dakota and Basin-Fruitland Coal Gas have
17 the same well-location requirements?

18 A. Since it is becoming more and more difficult to
19 locate wellbores in the Basin, mostly due to surface and
20 geologic and archaeologic constraints, it becomes very
21 important, along with the fact that we are in a very mature
22 basin and we are depleting the basin, and the opportunity
23 to drill a stand-alone well really doesn't exist much
24 anymore, therefore with all of those considerations it's
25 probably appropriate that we look in the future to

1 combining reservoirs into a single wellbore.

2 And if we combine reservoirs into a single
3 wellbore, we need the setback requirements to be similar,
4 if not exactly the same, for all of those reservoirs, to
5 eliminate the need for nonstandard location administrative
6 orders being filed with the Division.

7 Q. Let me have you explain the plat that shows the
8 outline for the Basin-Fruitland Coal Gas Pool. The outline
9 of the pool was defined by Division order, was it not?

10 A. Yes, sir, that's correct.

11 Q. And so an entire area of the Basin was initially
12 included in the pool?

13 A. That's correct.

14 Q. It does not follow the convention of pool
15 expansion utilized in southeastern New Mexico where you
16 would start with a small area, you could drill a well
17 within a mile, you began to link up and expand your spacing
18 units?

19 A. It does not follow that convention.

20 Q. Let's turn to the next display. Identify and
21 describe what you're showing here.

22 A. The next display is a map also, and on it we
23 would like to present the concept of how these pools
24 overlie each other, therefore the applicability of
25 combining reservoirs in the same wellbore.

1 In the red outline we have the Blanco-Mesaverde
2 Pool, in the blue outline we have the Basin-Dakota
3 producing area. And I would like to point out that this is
4 a producing area, as opposed to the Basin-Dakota Pool
5 outline. The pool outline for the Dakota expands out much
6 larger, similar to the coal outline.

7 Q. Describe for us how that happened.

8 A. It was set by order in the Basin-Dakota Pool
9 rules, and it generally conforms to all of San Juan and all
10 of Rio Arriba and one section down in Sandoval, less and
11 except two or three other Dakota gas pools. So that
12 outline is set by order.

13 But it's more helpful to look at the producing
14 area, as opposed to the Dakota Pool outline, I believe, in
15 this Application this morning.

16 And again we have some of the Basin-Fruitland
17 Coal Pool outlined on this same map to show you how these
18 reservoirs tend to overlies each other.

19 Q. What was the source of the data to generate these
20 maps?

21 A. These maps came from the working committee, a
22 committee of the NMOCD, that is currently considering new
23 commingling rules, and that is the source of these maps,
24 and most of the information was either taken from OCD or
25 from R.W. Byram's books.

1 Q. All right. Let's turn to the final map.

2 A. The final map, since it is a fairly busy map, we
3 chose not to display as an overlay on the other maps. It's
4 a map of the Pictured Cliffs pools that are in the San Juan
5 Basin. As you can see, there are several of those pools,
6 and that's one reason we didn't attempt to overlie those.
7 On the others, it's just too busy.

8 The Pictured Cliffs formation is one of the
9 primary pools that we believe industry will use in the
10 future to commingle with the Fruitland Coal to recover the
11 remaining reserves in both pools.

12 Q. The purpose of showing this display is what, sir?

13 A. It's, again, to show how these pools tend to
14 overlie each other in their proximity, one to the other,
15 and to show the great opportunity that there is to combine
16 pools in a single wellbore.

17 Q. Let's go to Exhibit 4 and look at an illustration
18 of what you're proposing the Division do in terms of a rule
19 change.

20 A. This is a dramatic land plat that shows the
21 actual changes in the areas available to be drilled in for
22 both of the pools. The blue-hached area are the current
23 rules for the Basin-Fruitland Coal Pool, and they prescribe
24 setbacks of 790 feet from the outer boundaries of the GPU,
25 the gas proration unit, and 10 feet from the internal

1 boundaries, and also 130 feet from the half-section line.

2 What we would propose would match the Blanco-
3 Mesaverde Pool, and that would be to establish setbacks 660
4 feet from the GPU units, the outer boundaries, and then ten
5 feet from all internal boundaries, including the half-
6 section line. What that does from a surface standpoint is,
7 it gives you an increase in acreage available to locate
8 wellbores without being nonstandard, and it moves that
9 amount of acreage up from 84 acres to about 119 acres that
10 would be available to an operator to locate a standard gas
11 well.

12 Q. Describe for the Examiner the basis for changing
13 the Blanco-Mesaverde Pool to give additional flexibility
14 for wells located within federal exploratory units.

15 A. Within Federal exploratory units, we have a
16 unique ownership situation in those units where the units
17 provide for the ways and means that all parties share in
18 production inside a federal exploratory unit. So you do
19 not have any significant correlative-rights issue in a
20 federal exploratory unit within the boundaries.

21 Therefore, if we have ways and means of providing
22 for correlative-rights issues and the proper sharing of
23 production, then we saw the need to have additional area to
24 locate wells without going nonstandard, since you do not
25 get into those issues.

1 And we requested and obtained in the Blanco-
2 Mesaverde Pool order permission to locate wells ten feet
3 from any boundary within a federal exploratory unit, as
4 long as we were not encroaching to the outside of the unit.
5 And if you get within a half-mile buffer zone of the
6 outside of the unit, which would encroach upon non-unit
7 acreage, then we follow the standard setbacks for the
8 Blanco-Mesaverde Pool. In other words, you would have to
9 be 660 feet off of those lines.

10 But we feel that as long as you're internal to
11 the federal exploratory unit and we do not have
12 correlative-rights problems, then the added flexibility to
13 locate wells because of topography and archeological and
14 geological reasons is well worth having.

15 Q. Let's turn to the exhibit book where the tab is
16 marked Exhibit 6. Identify and describe what you're
17 including in this portion of the book.

18 A. Behind Exhibit Tab 6 is a listing of the wells
19 that Burlington drilled during 1999. We just wanted to
20 show to the Commission that we had substantial activity in
21 the Fruitland and the Dakota Pools, and the Mesaverde
22 pools, which are really the subject of these kind of
23 hearings.

24 And the other operators have had substantial
25 activity, and we forecast substantial activity in the years

1 to come for all of those pools.

2 Q. In your position as a petroleum landman for your
3 company, Mr. Alexander, are you aware of any issue that
4 would cause the impairment of correlative rights or the
5 occurrence of waste if these rules are changed to conform
6 to the Blanco-Mesaverde pool rule changes?

7 A. No, sir, I am not. And we did take the
8 opportunity to talk with the working committee that is
9 currently underway with the Aztec office to investigate
10 proper density for the Basin-Fruitland Coal Pool. We gave
11 them this issue, and the committee reported back to us that
12 they favored adoption of these rules for the setback
13 changes.

14 Q. That's a working group that's being sponsored by
15 the OCD office in Aztec?

16 A. Yes, sir, that's correct.

17 Q. It includes Division personnel and operators in
18 the Fruitland Coal Gas Pool?

19 A. Yes, sir, that is correct.

20 MR. KELLAHIN: Mr. Examiner, that concludes my
21 examination of Mr. Alexander.

22 We move the introduction of his Exhibits 1
23 through 4 and Exhibit 6.

24 EXAMINER ASHLEY: Exhibits 1 through 4 and 6 will
25 be admitted as evidence at this time.

EXAMINATION

BY EXAMINER ASHLEY:

Q. Mr. Alexander, could you restate again how this is going to relate to the overpressured and underpressured areas within the pool --

A. Yes, sir.

Q. -- for the entire pool?

A. We're proposing adoption of the setback change for the entire pool, and we did consider the application of these changes to the overpressured area. And Mr. Nelms can talk further about that to give you a comfort factor that making these changes in the overpressured area, which historically has been very prolific, will not cause any substantial correlative-rights issues.

I can go over the main merits with you of the reasons, that if you would like to follow up with him, you can do so.

Q. Okay.

A. There's several things going on, and we talked with the working committee about this situation also.

Number one is that nearly all of the acreage up there that can be developed has been developed already, and therefore there will be very few new wells drilled in the overpressured area.

The second reason, I believe, to consider the

1 adoption of these rules up there is that we have
2 substantially drained the overpressured area. Pressures up
3 in that are, I believe, range from 1300 to 1600 pounds per
4 square inch. Currently you will probably not see any area
5 up there that's above 500 pounds per square inch.

6 So that area has already been substantially
7 drained, and any new well that would be drilled in those
8 areas up there would be drilling into a depleted reservoir,
9 and therefore I do not believe that you would see a
10 correlative-rights issue because of that.

11 The third reason I think that we can consider
12 here is the completion type in the overpressured envelope
13 is very important to getting the prolific production out of
14 that area, and the completion type is an open-hole
15 recavitation, as compared to a cased, perforated and
16 fracture-stimulation method.

17 The recavitation is practically no longer
18 available to operators in that area because of the
19 depletion of the reservoir. In order to really
20 successfully recavitate the well, you need the higher
21 pressures.

22 Therefore, we do not seek future completions in
23 that area, being the open-hole recavitation, and they will
24 most likely have to be cased, perforated and fracture-
25 stimulated, which is not the most efficient completion for

1 the Fruitland Coal reservoir. And therefore the drainage
2 factor will be much lower, and again we see that we
3 probably will not have a correlative-rights issue because
4 of that situation also.

5 That's the reason that we don't recommend to the
6 Commission that we carve out the overpressured area. We
7 just don't see any major correlative-rights issues up there
8 by changing the setbacks 130 feet.

9 Q. Okay. How does -- Let me change that. You're
10 aware of the downhole commingling committee that's been
11 working on changing some of the pools that are currently
12 downhole commingled to have a more streamlined approval
13 process, that they have documented downhole commingling in
14 the particular pools that are being commingled?

15 A. Yes, sir. I'm not on that committee but I'm
16 aware of its existence, or the rules that are being
17 formulated.

18 Q. Are any of these, like the Blanco-Mesaverde or
19 the Basin-Dakota or the Basin-Fruitland Coal, being
20 considered as pools that have already been substantially
21 commingled, therefore you don't have to go through the
22 full-blown process of downhole commingling?

23 A. Yes, my understanding, that is correct. And it's
24 my understanding that they probably will classify one of
25 those pools in the Fruitland Coal -- that would include the

1 Fruitland Coal also.

2 I do not know for a fact that that will be
3 presented at the next Division hearing, but I was visiting
4 with Mr. Ken Collins who is on that committee, and he is
5 developing the maps and the statistics to get approval for
6 the Fruitland Coal as one of those pre-approved commingling
7 areas. But I have not heard the final result, if the
8 committee will adopt that at this point or not.

9 EXAMINER ASHLEY: Okay. I have nothing further.
10 Thank you.

11 RALPH L. NELMS,
12 the witness herein, after having been first duly sworn upon
13 his oath, was examined and testified as follows:

14 DIRECT EXAMINATION

15 BY MR. KELLAHIN:

16 Q. Mr. Nelms, for the record, sir, would you please
17 state your name and occupation?

18 A. My name is Ralph Nelms. I'm a senior reservoir
19 engineer with Burlington Resources in Farmington, New
20 Mexico.

21 Q. Mr. Nelms, on prior occasions have you testified
22 before the Division as an expert petroleum engineer?

23 A. I have.

24 Q. Pursuant to your employment, have you been
25 investigating on behalf of your company the proposed rule

1 changes for the Basin-Fruitland Coal Gas Pool?

2 A. I have.

3 Q. Specifically, have you examined the issues
4 concerning the overpressured and underpressured areas of
5 the pool?

6 A. I have.

7 Q. In your opinion, is it appropriate to change the
8 rules for the pool for well locations as we're proposing
9 without regard to making a distinction between the
10 overpressured and underpressured area?

11 A. It is appropriate.

12 Q. Let's turn to the map that Mr. Alexander left us
13 with, which has the overpressure/underpressure line.
14 Describe for us from an engineering perspective what was
15 the original explanation for the difference.

16 A. In the area shown on Exhibit 3, within the blue
17 outline, that area we refer to as the overpressured
18 Fruitland Coal area. That area is characterized by initial
19 reservoir pressures of as high as 1600 p.s.i. These wells
20 flowed naturally on their own, there was no stimulation
21 required. The completion technique was cavitation. And
22 that area is now spaced 320 acres, and we feel that on 320
23 acres that is being sufficiently drained.

24 The area has a high permeability. If you'll look
25 on Exhibit Number 5, we show average permeability in the

1 Fruitland Coal and San Juan Basin of approximately 1.35.
2 That's effective permeability to gas, based on pressure
3 transient test analysis and simulation results.

4 We present a range here of .3 to 4.5 millidarcy.
5 The 4.5 millidarcy would represent the overpressured
6 Fruitland Coal permeabilities in the reservoir, and the .3
7 millidarcy would represent the permeability we'd expect in
8 the underpressured areas.

9 Q. If we have a well in the underpressured area,
10 describe for us its typical characteristics.

11 A. In the underpressured Fruitland Coal area we
12 rarely see pressures more than 600 pounds. Those wells
13 must be completed by a hydraulic fracture and normally foam
14 fracturing. It's very common now, since that pressure has
15 been pulled down from 500 or 600 pounds, to see pressures
16 in the 200- or 300-pound range. Almost all of these wells
17 in the underpressured Fruitland Coal area require
18 compressors.

19 Q. When we look at the future opportunity for
20 additional Fruitland Coal Gas Pool wells, where will that
21 opportunity be exercised?

22 A. I believe primarily in the underpressured
23 Fruitland Coal area. If we look at the economics of
24 development in the underpressured Fruitland Coal area,
25 those wells have to have reserves in excess of 500 million,

1 600 million standard cubic feet, for a stand-alone new-
2 drill well.

3 The thing that's attractive about making the
4 spacing equivalent for the underpressured Fruitland Coal
5 and the PC and the Mesaverde is that areas where marginal
6 reserves now exist and wells cannot be drilled as a stand-
7 alone Fruitland Coal would be economic for dual completion
8 as a PC-Fruitland Coal or a Fruitland Coal-Mesaverde.

9 In those particular areas where the
10 underpressured Fruitland Coal reserves are marginal, that's
11 probably the only way that you'd be able to economically
12 recover those reserves. And you can go down as low as
13 about 200 million on a dual-completed Mesaverde -- or dual-
14 completed Fruitland Coal, PC or Mesaverde and recover those
15 reserves.

16 So essentially by making these setbacks the same,
17 that will allow operators to plan for development for both
18 reservoirs at the same time and prevent waste by recovering
19 those reserves that would not be recovered if they had to
20 be economic stand-alone underpressured Fruitland Coal
21 wells.

22 Q. Is there any question in your mind as a reservoir
23 engineer that the Fruitland Coal Gas wells in the
24 underpressured area have drainage radiuses that would be
25 comparable to 160 acres or less?

1 A. Right now the committee is studying that, the
2 industry committee. And because the reservoir is so much
3 tighter and because the pressure there is so much lower,
4 the probability that we're draining in excess of 160 or
5 much less in the underpressured Fruitland Coal area.

6 Q. When the overpressured area was initially
7 developed, there would have been potential concern about
8 drainage areas initially, would it not?

9 A. That's correct.

10 Q. Is it any longer an issue of concern?

11 A. The reservoir pressures have been pulled down
12 substantially. We're seeing lower pressures at this point
13 in time, and at the overpressured area we're also seeing
14 application of compression to accelerate development of
15 those reserves.

16 The overpressured reservoir is declining at about
17 20 percent per year exponentially, so that reservoir is
18 pulled down. And with those lower pressures, the
19 likelihood of increased correlative-right problems is very
20 minimal, due to the effect of making these offsets the
21 same.

22 Q. Do you have any reservations as an engineer in
23 recommending to the Division that they uniformly change the
24 well-location requirements for the entire pool to be
25 consistent with those requirements now approved for the

1 Blanco-Mesaverde Pool?

2 A. I have no reservation with the recommendation to
3 make the setbacks the same for the underpressure-
4 overpressure as the Mesaverde and the PC.

5 MR. KELLAHIN: That concludes my examination of
6 Mr. Nelms.

7 We move the introduction of his Exhibit Number 5.

8 EXAMINER ASHLEY: Exhibit 5 will be admitted as
9 evidence at this time.

10 EXAMINATION

11 BY EXAMINER ASHLEY:

12 Q. Mr. Nelms, you said in the overpressured area
13 initially pressures were about 1600?

14 A. Correct.

15 Q. And now they're currently --

16 A. -- in the range of 400 to 500. We haven't seen
17 much in excess of 500 at this point. Normally 400 is about
18 what we see.

19 Q. Is that for a new completion?

20 A. That would be for a new completion. For a clean-
21 out we've gone back into wells and we've cleaned about --
22 Most of those wells were completed by cavitation, and every
23 four or five years it's necessary to go clean them out, and
24 when we do that we'll see pressures now at about 400
25 pounds, 450 pounds.

1 Q. Are there currently any wells being drilled, new
2 wells being drilled, in the overpressured area?

3 A. Not to my knowledge. It's pretty much been fully
4 developed at this point. It's mainly recompletions and
5 clean-up of existing wells.

6 Q. It was mentioned earlier by Mr. Alexander that
7 the recavitation is not really used anymore, because you've
8 essentially developed that area. If there was to be a well
9 drilled out there, a new well that was drilled, would you
10 use the cavitation process again?

11 A. We probably would not at this point in time
12 because it wouldn't be effective. There wouldn't be enough
13 bottomhole pressure to really cavitate that coal.

14 What we're doing now is, we're going in and
15 cleaning out the open-hole completions or pulling the old
16 liners, milling out the old liners and then casing and
17 cementing and fracturing those wells.

18 Q. And initial pressures in the underpressured area
19 were 600?

20 A. That's probably about the highest we're seeing in
21 the underpressured.

22 Q. And what are they currently?

23 A. They're in the range of 200 to 300 p.s.i. There
24 are some areas where wells see those higher pressures, but
25 that's kind of unusual at this point. There hasn't been as

1 much drainage in the underpressure as there has been in the
2 overpressure because of the low permeability. There
3 probably still are some areas in the underpressured where
4 you'll see those higher pressures. But again, the
5 permeabilities are so low and the production rates are so
6 low that it requires compression to produce those wells.
7 They'll come in at 120 a day, maybe 200 a day.

8 Q. And back to the overpressure area, the drainage
9 is approximately, or was, or is approximately 320 acres?

10 A. It was set at 320 because of the higher
11 permeabilities and the higher pressures. At that time it
12 was thought that the one well per 320 would drain the 320
13 effectively.

14 Q. And the underpressured area is approximately 160,
15 the drainage?

16 A. Well, there's kind of a debate going on right now
17 on what that is. The Committee that's doing the research
18 on the 160 is thinking about in the underpressured areas
19 160 may be required to efficiently drain the gas from those
20 underpressured coal reservoirs.

21 There hasn't been a full consensus at this point
22 in time, but because of the lower permeabilities and lower
23 pressure it may be more likely that it will be required to
24 go to 160s on the underpressure. But at this time that's
25 not a definite --

1 Q. Okay. Move down to 160 or move up to 160?

2 A. Well, move down from 320s to 160s in the
3 underpressure. That's being investigated right now.

4 Q. Okay. Now, in your Exhibit 5, the average
5 permeability for the Fruitland Coal is 1.35 millidarcies?

6 A. Correct.

7 Q. That's overall average, including underpressured
8 and overpressured?

9 A. That would be overall average, underpressure and
10 overpressure.

11 Q. And could you break that out for me again as far
12 as what the permeability is in the overpressured versus the
13 underpressured?

14 A. In the overpressured, we estimated about 4.5
15 millidarcies would be a good average, in the underpressured
16 about .3. There are some exceptions to that number, when
17 you have -- In the overpressured zones some of those wells
18 that were very highly productive and very overpressured
19 probably exceeded that number. But that's kind of an
20 average number for the overpressure.

21 Q. And you feel that in the overpressured area the
22 changing of the setback requirements will not affect -- or
23 not encroach or violate correlative rights?

24 A. I think the impact would be very, very minor,
25 very insignificant at this point in time, because of the

1 low reservoir pressures.

2 EXAMINER ASHLEY: Okay. I have nothing further.

3 Thank you.

4 THE WITNESS: Thank you, sir.

5 MR. KELLAHIN: That concludes our presentation,
6 Mr. Ashley.

7 EXAMINER ASHLEY: There being nothing further in
8 this case, Case 12,296 will be taken under advisement.

9 (Thereupon, these proceedings were concluded at
10 11:10 a.m.)

11 * * *

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 12296.
heard by me on 1-20-2000
Mark Kellahin, Examiner
CWA Conservation Division


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter
and Notary Public, HEREBY CERTIFY that the foregoing
transcript of proceedings before the Oil Conservation
Division was reported by me; that I transcribed my notes;
and that the foregoing is a true and accurate record of the
proceedings.

I FURTHER CERTIFY that I am not a relative or
employee of any of the parties or attorneys involved in
this matter and that I have no personal interest in the
final disposition of this matter.

WITNESS MY HAND AND SEAL January 25th, 2000.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 2002

CASE 12296: Continued from December 2, 1999 Examiner Hearing

Application of Burlington Resources Oil & Gas Company to amend Rule 7 of the Special Rules and Regulations for the Basin-Fruitland Coal Gas Pool for purposes of changing well location requirements for coal gas wells, San Juan, Rio Arriba, McKinley and Sandoval Counties, New Mexico. Applicant seeks to amend Rule 7 of the Special Rules and Regulations for the Basin-Fruitland Coal Gas Pool to (a) change the well location boundary requirements from not closer than 790 feet to not closer than 660 feet to any outer boundary of a spacing unit and from not closer than 130 feet to not closer than 10 feet to any quarter-quarter section line or subdivision inner boundary; and (b) to add well location requirements for federal exploratory units.

CASE 12328: **Application of John L. Cox for an Unorthodox Oil Well Location, Lea County, New Mexico.** Applicant seeks an exception to Division Rule 104.B (1), revised by Division Order No. R-11231, issued by the New Mexico Oil Conservation Commission in Case No. 12119 on August 12, 1999, to drill its State "14-A" Well No. 1 at an unorthodox Pennsylvanian oil well location 1330 feet from the North line and 2530 feet from the East line (Unit G) of Section 14, Township 12 South, Range 33 East. The SE/4 NE/4 of Section 14 is to be dedicated to this well in order to form a standard 40-acre oil spacing and proration unit for the Undesignated Bagley-Pennsylvanian Pool. This unit is located approximately 16 miles west of Tatum, New Mexico.

CASE 12003: Reopened - Continued from December 16, 1999 Examiner Hearing

In the matter of Case 12003 being reopened pursuant to the provisions of Division Order No. R-11053-A, which order established temporary special rules and regulations for the Featherstone-Bone Spring Pool in Lea County, New Mexico, including a provision for 80-acre spacing units. Operators in the Featherstone-Bone Spring Pool may appear and show cause why the temporary special rules for the pool should not be rescinded.

CASE 12319 Continued from January 6, 2000 Examiner Hearing

Application of Nearburg Exploration Company, L.L.C. for Compulsory Pooling, Eddy County, New Mexico. Applicant seeks an order pooling all mineral interests from the surface to the base of the Morrow formation in the following manner: the N/2 for all formations/pools developed on 320-acre spacing including the Logan Draw Morrow Gas Pool, the NE/4 for all formations/pools developed on 160-acre spacing, the S/2 NE/4 for all formations/pools developed on 80-acre spacing, and the SE/4 NE/4 for all formations/pools developed on 40-acre spacing, all in Section 30, Township 17 South, Range 27 East. Applicant proposes to dedicate these pooled units to a well to be drilled at a standard gas well location in the SE/4 NE/4 of Section 30. Also to be considered will be the cost of drilling and completing the well and the actual operating costs and charges for supervision, designation of applicant as the operator of the well and a charge for risk involved in drilling the well. The area is located approximately 4 miles southeast of Artesia, New Mexico.

CASE 12285: Continued from January 6, 2000, Examiner Hearing.

Application of Nearburg Exploration, Company, I.L.C. for Compulsory Pooling, Lea County, New Mexico. Applicant seeks an order pooling all mineral interests from the surface to the base of the Morrow formation underlying the N/2 for all formations developed on 320-acre spacing including but not limited to the Undesignated San Simon Wolfcamp Gas Pool, the NW/4 for all formations developed on 160-acre spacing, the N/2 NW/4 for all formations developed on 80-acre spacing, and the NW/4 NW/4 for all formations developed on 40-acre spacing, all in Section 17, Township 22 South, Range 35 East. Applicant proposes to dedicate these pooled units to a well to be drilled at a standard gas well in the NW/4 NW/4 of Section 17. Also to be considered will be the cost of drilling and completing the well and the allocation of the cost thereof, as well as actual operating costs and charges for supervision, designation of Nearburg Producing Company as operator of the well, and a charge for risk involved in drilling and completing the well. The area is located approximately 10.5 miles southwest of Oil Center, New Mexico.

CASE 12329: **Application of EOG Resources, Inc. for a Unit agreement, Lea County, New Mexico.** Applicant seeks approval of a unit agreement for its proposed Red Hills North Unit Area containing 4198.20 acres, more or less, of Federal and State lands comprising all or portions of Sections 6, 7, 8, 17 and 18, Township 25 South, Range 34 East, and all or portions of Sections 1, 12 and 13, Township 25 South, Range 33 East. Said unit area is located approximately 19 miles west by north of Jal, New Mexico.

CASE 12330: **Application of Ameristate Oil and Gas, Inc. for Compulsory Pooling, Lea County, New Mexico.** Applicant seeks an order pooling all mineral interests from the surface to the top of the Mississippian formation or 12,900 feet, whichever is lesser, in the E/2 for all formations developed on 320-acre spacing including but not limited to the Undesignated South Shoe-Bar-Mississippian Gas Pool, the NE/4 for all formations developed on 160-acre spacing, the N/2 NE/4 for all formations developed on 80-acre spacing, and the NE/4 NE/4 for all formations developed on 40-acre spacing including but not limited to the Undesignated West Lovington-Upper San Andres Pool, the Undesignated Vacuum Grayburg-San Andres Pool, and the Undesignated Vacuum Abo Reef Pool, all in Section 13, Township 17 South, Range 35 East. Applicant proposed to dedicate these pooled units to its State 13 Well No. 1 to be drilled at a standard gas well in the NE/4 NE/4 of Section 13. Also to be considered will be the cost of drilling and completing the well and the actual operating cost thereof as well as actual operating costs and charges for supervision, designation of applicant as the operator of the well and a charge for risk involved in drilling the well. The area is located approximately 9 miles southwest of Lovington, New Mexico.

CASE 12313: Continued from December 16, 1999 Examiner Hearing

Application of David H. Arrington Oil & Gas, Inc. for compulsory pooling and directional drilling of a horizontal well, Lea County, New Mexico. Applicant seeks an order pooling all mineral interests from the surface to the base of the Strawn formation, Northeast Lovington-Pennsylvanian Pool, underlying the following described acreage in Section 10, Township 16 South, Range 37 East in the following manner: (a) the NW/4 SW/4 for any formations and/or pools developed on 40-acre spacing and (b) the SW/4 in order to form a 160-acre Project Area, as defined by Division Rule 111.A(9), by combining two standard 80-acre oil spacing and proration units in order to accommodate a horizontally drilled wellbore. The applicant proposes to vertically drill its H & L Variance "10" Well No. 1 at a surface location 2130 feet from the South line and 330 feet from the West line (Unit L) of Section 10 to an approximate depth of 11,600 feet, kick-off, and then drill horizontally in an easterly direction a lateral distance of 1400 feet through the Strawn formation. The applicable drilling window or producing area [see Division Rule 111.A(7)] for the proposed wellbore is to be standard for any 40-acre unit and 80-acre units per the outer setback requirements for 80-acre units in the subject pool. Also to be considered will be the cost of drilling and completing this wellbore and the allocation of the cost thereof as well as actual operating costs and charges for supervision, designation of applicant as the operator of the well and a charge for risk involved in drilling and completing the well. The location of the proposed well is approximately six miles east of Lovington, New Mexico.

CASE 12272: Continued from December 16, 1999, Examiner Hearing.

Application of Falcon Creek Resources, Inc. for authority to inject water into six wells in the proposed Teas-Yates Seven Rivers Unit Waterflood Project Area, Lea County, New Mexico. Applicant seeks approval to inject water into the Yates and Seven Rivers formations, West Teas-Yates Seven Rivers Pool, through 6 wells in its proposed Teas-Yates Seven Rivers Unit Waterflood Seven Rivers Pool, located in the following area:

Township 20 South, Range 33 East:

Section 4: SE/4

Section 9: N/2

Section 16: NE/4

This area is located approximately 5 miles northeast of the intersection of New Mexico Highways 176 and 62/180.

CASE 12331: **Application of Falcon Creek Resources, Inc. for Statutory Unitization, Lea County, New Mexico.** Applicant seeks an order unitizing, for the purpose of establishing an enhanced recovery project, all mineral interested in the Yates and Seven Rivers formations, West Teas (Yates-Seven Rivers) Pool, underlying 1,320 acres, more or less, of Federal, State and Fee lands in the following acreage:

TOWNSHIP 20 SOUTH, RANGE 33 EAST, NMPM

Section 4: SE/4

Section 9: S/2, NE4, S/2 NW/4, NE/4 NW/4

Section 16: N/2, N/2 SW/4, NW/4 SE4

Section 17: E/2 NE4, NE/4 SE/4

Said unit to be designated to the West Teas (Yates-Seven Rivers) Unit. Among the matters to be considered at the hearing will be the necessity of unit operations; the designation of a unit operator; the designation of horizontal and vertical limits of the unit area; the determination of the fair, reasonable; and equitable allocation of production and costs of production, including capital investment, to each of the various tracts in the unit area; the determination of credits and charges to be made among the various owners in the unit area for their investment in wells and equipment; and such other matters as may be necessary and appropriate for carrying on efficient unit operations; including but not limited to, unit voting procedures, selection, removal or substitution of unit operator, and time of commencement and termination of unit operations. Applicant also requests that any such order issued in this case include a provision for carrying any non-consenting working interest owner within the unit area upon such terms and conditions to be determined by the Division as just and reasonable. The unit area is located approximately 30 miles west by southwest of Hobbs, New Mexico.

CASE 12332: **Application of Falcon Creek Resources, Inc. for Approval of a Waterflood Project for its West Teas (Yates-Seven Rivers) Unit Area and Qualification of Project for the Recovered Oil Tax Rate pursuant to the Enhanced Oil Recovery Act, Lea County, New Mexico.** Applicant seeks an order approval of its West Teas (Yates-Seven Rivers) Unit Waterflood Project for injection of water in the Yates and Seven Rivers formations, West Teas-Yates Seven Rivers Pool through six injection wells located in the following described area:

TOWNSHIP 20 SOUTH, RANGE 33 EAST, NMPM

Section 4: SE/4

Section 9: S/2, NE4, S/2 NW/4, NE/4 NW/4

Section 16: N/2, N/2 SW/4, NW/4 SE4

Section 17: E/2 NE4, NE/4 SE/4