

STATE OF NEW MEXICO
 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
 OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
 THE OIL CONSERVATION DIVISION FOR THE)
 PURPOSE OF CONSIDERING:)

CASE NO. 12,325

APPLICATION OF CHESAPEAKE OPERATING,)
 INC., FOR COMPULSORY POOLING AND AN)
 UNORTHODOX SUBSURFACE LOCATION,)
 LEA COUNTY, NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MARK ASHLEY, Hearing Examiner

January 20th, 2000

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MARK ASHLEY, Hearing Examiner, on Thursday, January 20th, 2000, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

OIL CONSERVATION DIV.
 CO FEB -7 PM 4:44

I N D E X

January 20th, 2000
 Examiner Hearing
 CASE NO. 12,325

	PAGE
EXHIBITS	3
APPEARANCES	4
APPLICANT'S WITNESSES:	
<u>LYNDA F. TOWNSEND</u> (Landman)	
Direct Examination by Mr. Kellahin	6
Cross-Examination by Mr. Carr	37
Redirect Examination by Mr. Kellahin	48
Recross-Examination by Mr. Carr	49
Examination by Examiner Ashley	51
Examination by Mr. Carroll	56
Further Examination by Examiner Ashley	57
Further Examination by Mr. Kellahin	58
Further Examination by Mr. Carr	59
<u>ROBERT A. HEFNER, IV</u> (Geologist)	
Direct Examination by Mr. Kellahin	60
Cross-Examination by Mr. Carr	72
Examination by Examiner Ashley	88
ALTURA WITNESSES:	
<u>STELLA WELSH</u> (Engineer)	
Direct Examination by Mr. Carr	94
Voir Dire Examination by Mr. Kellahin	96
Direct Examination (Resumed) by Mr. Carr	98
Cross-Examination by Mr. Kellahin	103
Redirect Examination by Mr. Carr	109
Examination by Examiner Ashley	110
<u>ROBERT S. LIGHT</u> (Secretary, Southeast Royalties, Inc.)	
Direct Testimony	113
Examination by Examiner Ashley	120

(Continued...)

APPLICANT'S WITNESS (Recalled):

LYNDA F. TOWNSEND (Landman)

Examination by Examiner Ashley

123

CLOSING STATEMENTS

By Mr. Carr

126

By Mr. Kellahin

133

REPORTER'S CERTIFICATE

140

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	7	37
Exhibit 2	17	37
Exhibit 3	9	37
Exhibit 4	10, 63	37
Exhibit 5	-	37
Exhibit 6	25	37
Exhibit 7	31, 64	37
Exhibit 8	26	37
Exhibit 9	36	37
Exhibit 10	37	37
Exhibit 11	64	72
Exhibit 12	93	93

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

FOR ALTURA ENERGY, LTD., and
SOUTHEAST ROYALTIES, INC.:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 1:07 p.m.:

3
4 EXAMINER ASHLEY: This hearing will now come to
5 order, and the Division calls Case 12,325.

6 MR. CARROLL: Application of Chesapeake
7 Operating, Inc., for compulsory pooling and an unorthodox
8 subsurface location, Lea County, New Mexico.

9 EXAMINER ASHLEY: Call for appearances.

10 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
11 the Santa Fe law firm of Kellahin and Kellahin, appearing
12 on behalf of the Applicant, and I have three witnesses to
13 be sworn.

14 EXAMINER ASHLEY: Additional appearances?

15 MR. CARR: May it please the Examiner, my name is
16 William F. Carr. I'm with the Santa Fe law firm Campbell,
17 Carr, Berge and Sheridan. We represent Altura Energy,
18 Ltd., and Southeast Royalties, Inc., in opposition to the
19 Application, and I have two witnesses.

20 EXAMINER ASHLEY: Any more appearances?

21 Will the witnesses please rise to be sworn in?

22 (Thereupon, the witnesses were sworn.)

23 MR. KELLAHIN: Mr. Examiner, our first witness is
24 Lynda Townsend. Mrs. Townsend is a petroleum landman with
25 Chesapeake Operating, Inc.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

LYNDA F. TOWNSEND,

the witness herein, after having been first duly sworn upon
her oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q. Ms. Townsend, for the record would you please
state your name and occupation?

A. My name is Lynda Townsend. I'm a landman with
Chesapeake Operating in Oklahoma City. I handle the
Permian Basin for Chesapeake, and have for the last two,
two and a half years.

Q. On prior occasions have you testified as a
petroleum landman before the Division?

A. Yes, I have.

Q. And you have done so in previous compulsory
pooling cases?

A. Yes, I have.

Q. As part of your employment with Chesapeake, are
you familiar with the land ownership within the south half
of Section 17 that is the subject of this hearing?

A. Yes, sir.

Q. In addition, were you involved in some of the
permitting processes for the well?

A. Yes, I was.

Q. In addition to the ownership knowledge and the

1 permitting for the well, were you also the individual for
2 your company responsible for contacting the various working
3 interest owners and attempting to reach voluntary
4 agreements with them?

5 A. Yes, sir.

6 MR. KELLAHIN: We tender Mrs. Townsend as an
7 expert petroleum landman.

8 EXAMINER ASHLEY: Ms. Townsend is so qualified.

9 Q. (By Mr. Kellahin) Let me have you turn to the
10 exhibit book, Mrs. Townsend. If you go to the very back of
11 the book, there is going to be a locator plat. It's marked
12 as Chesapeake Exhibit 1.

13 A. Yes.

14 Q. If you'll unfold that plat for me, let's give the
15 Examiner some of the basic factual information before we
16 get into the specific details.

17 A. All right.

18 Q. When I look at this map, it is color-coded with a
19 light yellow background?

20 A. Yes.

21 Q. What is that intended to represent?

22 A. That indicates Chesapeake leasehold.

23 Q. Leasehold insofar as that you have some
24 percentage interest in that particular tract?

25 A. Yes.

1 Q. It would not be an indication of the percentage
2 of interest that you would have?

3 A. No.

4 Q. Within the south half of 17, you have identified
5 three separate tracts, have you not?

6 A. Yes.

7 Q. Describe for us how you've numbered the tracts.

8 A. All right. The tracts have been numbered. Tract
9 1 is the north half of the southwest, Tract 2 is the south
10 half of the southwest, and Tract 3 is the entire southeast
11 quarter.

12 Q. When you had the title examined for the south
13 half of Section 17, did you learn that not only was the
14 proposed spacing unit horizontally divided into three
15 separate tracts, it is also vertically subdivided, is it
16 not?

17 A. Yes, sir.

18 Q. So as you go down from the surface to various
19 depths, you're going to have different combinations of
20 owners and percentages?

21 A. Exactly.

22 Q. There is a dryhole symbol down in the southwest
23 southwest of 17. Do you see that?

24 A. Yes.

25 Q. And then there is a line connecting the dryhole

1 symbol to an open circle; do you see that?

2 A. Yes.

3 Q. What is that intended to represent?

4 A. The dryhole well is the original Barbara Fasken
5 Barry Hobbs 1-17. We've re-entered that well. Now, the
6 circle --

7 Q. What was the purpose of the re-entry?

8 A. The re-entry was to test the Strawn formation.

9 Q. Okay. As part of the permitting process for the
10 Strawn in this area, can you identify for us what is the
11 Strawn oil pool for which that well would be subject to?

12 A. Yes, the Strawn oil pool is in the Northeast Shoe
13 Bar-Strawn. It is -- You have to be 330 from the quarter-
14 quarter lines for the field rules.

15 Q. What is the spacing per well in that pool?

16 A. Eighty acres.

17 Q. You have in your table of information, do you
18 not, behind Exhibit Tab Number 3, you've provided for the
19 Examiner a copy of the rules for the Northeast Shoe Bar-
20 Strawn Pool, have you not?

21 A. Yes, uh-huh.

22 Q. Okay. Let's talk about the permitting for the
23 re-entry as a Strawn oil well on 80-acre spacing. What was
24 the proposed dedication of acreage for the well?

25 A. South half, southwest.

1 Q. All right. It would have been all of Tract
2 Number 2?

3 A. Right.

4 Q. To the best of your knowledge, at the time that
5 well was permitted had you had, Chesapeake, consolidated
6 all of the working interest ownership under some various
7 types of voluntary agreements?

8 A. Yes.

9 Q. All right. That was your belief, was it not?

10 A. Yes.

11 Q. Would that have included obtaining leases from
12 Altura?

13 A. Yes, in that south half, southwest.

14 Q. All right. Let's look at the permitting, then,
15 for the re-entry as a Strawn attempt. If you'll turn
16 behind Exhibit Tab Number 4 -- let's look at this portion
17 of the book -- the first display here is a map and a
18 vertical view of the deviation of the wellbore, is it not?

19 A. Yes.

20 Q. Have you had your technical people review this
21 for you?

22 A. Yes.

23 Q. And when we look at the wellbore proposal, it is
24 the black line, is it not?

25 A. Yes.

1 Q. That was the presumed or the planned profile for
2 the well, and then the red line data shows the actual
3 results of what happened?

4 A. Yes.

5 Q. Okay. Let's talk, then, about the next page. On
6 September 24th of 1999, the Division issued an approval.
7 What is this approval for?

8 A. This was the application to re-enter the well and
9 take it horizontally.

10 Q. Okay. The purpose of doing this was for what?
11 To obtain approval for an unorthodox location?

12 A. Well, it was to obtain approval to re-enter the
13 well at what we thought was an unorthodox location.
14 However, come to find out, in the Northeast Shoe Bar-Strawn
15 we were not unorthodox.

16 Q. All right. So this was filed in September,
17 anticipating that it might be unorthodox --

18 A. Right.

19 Q. -- Mr. Stogner's approved it as a directional
20 wellbore?

21 A. Right.

22 Q. All right, let's turn to the next display. What
23 does the C-101 show?

24 A. This is the actual permit for the re-entry of the
25 College of the Southwest.

1 Q. All right. Beyond that, what's the next page?

2 A. The next page is the Application for the -- I'm
3 sorry, it's the plat for the directional, showing the
4 surface location and the bottomhole location.

5 Q. All right, this is the target in the Strawn?

6 A. Right.

7 Q. At this point in time, then, operations are
8 commenced on the wellbore, a re-entry takes place, and the
9 well is kicked off, and you're trying to hit this
10 bottomhole target in the Strawn, correct?

11 A. Right.

12 Q. What happens in terms of field operations for the
13 well once the field personnel penetrate the Strawn
14 formation? What do they decide to do?

15 A. They decide at that point to either try to
16 complete it as a Strawn well or, if not, what they want to
17 do from that point on.

18 Q. And what did they decide to do then?

19 A. They decided to drill deeper, since the Strawn
20 was nonproductive, and to go to the Atoka.

21 Q. All right, that was a decision made in the field
22 about deepening the well --

23 A. Yes.

24 Q. -- to see if there was any potential Atoka
25 production?

1 A. Right.

2 Q. All right. In terms of checking as to whether or
3 not the spacing and the ownership were consolidated for
4 purposes of an Atoka attempt, what is your understanding
5 for an appropriate spacing for a well at that depth?

6 A. The appropriate spacing for a well at that depth
7 would be 320 acres.

8 Q. All right. What was the understanding of
9 Chesapeake's field personnel with regards to consolidation
10 of all the working interest owners in the 320, then?

11 A. At the point that the original Altura lease was
12 taken, it was exploration's understanding that all of
13 Altura's lease had been taken in the south half, which was
14 not a correct assumption.

15 Q. Once you became involved, then, in recognizing
16 operational personnel had taken the choice to deepen the
17 well to the Atoka and had become informed that the
18 information that certain of your employees were utilizing
19 in terms of ownership was not correct, then did you contact
20 those interest owners who had not yet voluntarily committed
21 to the wellbore?

22 A. I did not contact them, I had our broker contact
23 them.

24 Q. All right. We'll come back to the sequence of
25 getting the additional parties proposed at the wellbore.

1 So now you've got the well approved in the
2 Strawn.

3 A. Uh-huh.

4 Q. Do you go back and do anything about amending
5 your reports with the Division concerning deepening the
6 well to the Atoka?

7 A. Yes, we sent in an amended report as far as the
8 Atoka. We were told at the time -- We were going to have
9 it walked through. The gentleman took the application
10 there. We were told at that time it was unorthodox in the
11 Atoka.

12 Q. All right. So when I look at this next C-102,
13 there has been handwritten in an amended bottomhole
14 location; do you see that?

15 A. Right.

16 Q. It says 580 feet from the south line?

17 A. Uh-huh.

18 Q. That would have been at what vertical distance in
19 the wellbore? Is that at total depth or somewhere else?

20 A. That's at total depth.

21 Q. Okay. At total depth, then, the closest the
22 wellbore is to the southern boundary is 580 feet?

23 A. Right.

24 Q. In terms of contacting the offsetting operators
25 or working interest owners, did you contact those

1 individuals and obtain waivers of objection for the
2 location?

3 A. Yes, we did.

4 Q. Let's take a moment and go back to Exhibit 1 in
5 Section 20.

6 A. Uh-huh.

7 Q. The wellbore is moving towards the south
8 boundary. What are the working interest owners or
9 operators that you contacted and obtained waivers from in
10 Section 20?

11 A. We obtained waivers from Texaco and from Yates
12 Petroleum. Texaco owns in the west half of the southeast
13 and in the southeast of the southwest. Yates owns in the
14 west half -- I mean east half of the east half.

15 Q. To the best of your knowledge, you believe you've
16 gotten waivers from all of the interest owners affected by
17 the unorthodox location?

18 A. Exactly.

19 Q. All right, let's move back to Exhibit 4 and look
20 at the next plat after this amended C-102. What do you
21 have next in the book? Yeah, you're --

22 A. Vicinity map?

23 Q. -- with me.

24 A. Vicinity map?

25 Q. Right.

1 A. Okay.

2 Q. You have simply two vicinity locator maps, right?

3 A. Right, uh-huh.

4 Q. All right. At this point in time, then, you've
5 got a potential wellbore in the Strawn, it's on 80-acre oil
6 spacing --

7 A. Right.

8 Q. -- and it would be the south half, southwest
9 quarter?

10 A. Yes.

11 Q. You potentially have an Atoka well which would be
12 dedicated to the south half?

13 A. Right.

14 Q. Are there any other formations that are
15 potentially involved within this wellbore?

16 A. Yes, there's the Wolfcamp, which is a 160-acre
17 unit, which takes in the whole southwest quarter, which
18 would be the north half, southwest and the south half,
19 southwest.

20 Q. All right, and that is the North Shoe Bar-
21 Wolfcamp?

22 A. Yes.

23 Q. And it's a 160-acre oil pool?

24 A. Yes.

25 Q. Behind Exhibit Tab Number 3 have you provided the

1 Examiner with a copy of the special pool rules for the
2 North Shoe Bar-Wolfcamp Pool?

3 A. Yes, and that's right behind the Strawn pool.

4 Q. And the Atoka pool, then, would be on statewide
5 spacing?

6 A. Yes.

7 Q. Okay. Let's turn, now, to Exhibit Number 2, and
8 let's identify for the Examiner the details of the
9 ownership as they affect each of those three spacing units
10 for those formations, all right?

11 A. All right.

12 Q. Let's start with the tabulation of formation
13 information for the Wolfcamp pool if that is eventually
14 determined to produce oil. If I look at your table and
15 look at the final column in here where you summarize
16 working interest in the Wolfcamp unit --

17 A. Right.

18 Q. -- what are you representing here?

19 A. These are all the working interest owners in the
20 160-acre Wolfcamp unit.

21 Q. Of those four entities or individuals, do you
22 have leases or agreements with any of them?

23 A. With Fasken and Bonneville.

24 Q. All right. The Altura interest?

25 A. It's unleased --

1 Q. The Altura interest was --
2 A. -- in half of the unit --
3 Q. All right.
4 A. -- in the north half, southwest.
5 Q. The Altura interest is subject to a lease from
6 Altura to Chesapeake for Tract 2?
7 A. Right.
8 Q. But there was no lease for Tract 1?
9 A. I'm sorry, it's the other way around.
10 Q. The other way --
11 A. We have the lease in Tract 1 and we do not have
12 them leased in Tract 2.
13 Q. All right, as to the Wolfcamp?
14 A. Right.
15 Q. In Tract 2, you had them leased as to the Strawn?
16 A. No, the Strawn is the south half, southwest.
17 Q. That's what I'm saying. In Tract 2, the south
18 half, southwest --
19 A. In Tract 1 is the south half, southwest. Oh, on
20 the map?
21 Q. On my map.
22 A. Where are you looking?
23 Q. I'm looking at the map.
24 A. I'm looking at the -- I'm sorry -- I'm looking at
25 the --

1 Q. Well then, I've thoroughly confused you.

2 EXAMINER ASHLEY: Exhibit 2, there's something
3 wrong with Exhibit 2.

4 THE WITNESS: It's backwards on the tracts.

5 Q. (By Mr. Kellahin) All right. When we look at
6 the map --

7 A. Uh-huh.

8 Q. -- then Tract 2 on the map, the Altura interest
9 in Tract 2, is subject to a lease?

10 A. Right.

11 Q. And the lease is broad enough to include not only
12 the Strawn but the Wolfcamp as to that 80 acres?

13 A. Right.

14 Q. To consolidate the 160-acre spacing unit for the
15 Wolfcamp, though, Altura's interest in Tract 1 was not
16 subject to a lease?

17 A. Right.

18 Q. Okay, so you made the calculation, and they have
19 13 percent, give or take, if this is a Wolfcamp spacing
20 unit?

21 A. Uh-huh.

22 Q. All right. In the Strawn, when we look at the
23 next portion of this display, you had all interests
24 committed to the Strawn?

25 A. Yes.

1 Q. Let's go to the second page and have you describe
2 the status of the Atoka, which would be a south-half
3 spacing unit?

4 A. Uh-huh.

5 Q. Let's go to the bottom tabulation and have you
6 tell me what the status is.

7 A. All right. Fasken is a participating entity,
8 Bonneville, Southeast Royalties is unleased, Altura is
9 unleased.

10 Q. Okay. As part of your negotiations, then, with
11 Altura --

12 A. Uh-huh.

13 Q. -- in order to get a commitment as to the
14 interests that were not committed for the Wolfcamp and the
15 Atoka, did you make proposals to them?

16 A. Yes.

17 Q. Let's turn to the correspondence that is an
18 effort to accomplish that. If we look behind Exhibit Tab
19 8, are we looking in the right part of the book?

20 A. Yes.

21 Q. Describe for us what you're doing, when you're
22 doing, and what's occurring.

23 A. All right, I had written a letter to Altura, to
24 Donnie Champlin, on October the 13th, basically offering to
25 lease the remainder of their acreage in the south half of

1 the Atoka unit at the same terms that we had taken the
2 original lease at.

3 Q. Okay. What if any response did you receive from
4 Altura to your proposal?

5 A. Well, I had gotten a letter from them, and I
6 notice that it has not been included. It was a letter of
7 October the 15th when Donnie explained to me that they were
8 in the middle of a sale and they weren't granting any
9 leases or term assignments at that point, that they
10 basically were not conducting any business.

11 Q. At the time Chesapeake obtained from Altura the
12 lease for the interests in Tract 2 --

13 A. Uh-huh.

14 Q. -- what's the approximate time period that that
15 occurred? Do you remember?

16 A. Probably about 18 months to two years before.

17 Q. But as of this time in October of 1999, then,
18 they are unwilling to execute a lease as to any other
19 interest?

20 A. Right.

21 Q. Did you discuss with Altura's representatives any
22 other possible way for a voluntary agreement, other than a
23 lease?

24 A. Participation --

25 Q. All right.

1 A. -- in the well.

2 Q. And did you do that?

3 A. Yes.

4 Q. Let's turn to the correspondence that deals with
5 that. There's an October 21st, 1999, letter.

6 A. Right.

7 Q. Are you still talking about lease terms?

8 A. We are talking about lease terms, but also we
9 talked about the possibility of their participating. And
10 an AFE was sent to them at that time, with this letter.

11 Q. Did you advise Altura or is Altura well aware
12 that this is a drilled well?

13 A. Yes.

14 Q. What does Altura propose back to you?

15 A. I believe that on October the 27th I was sent
16 back a letter where they proposed that -- basically that
17 they would like to participate and they'd like to fairly
18 resolve this issue and proposed to pay their 20-percent
19 working interest share of the completion costs on specific
20 AFE numbers.

21 Q. All right. They're dealing with an Atoka working
22 interest, 20 percent, that agrees with what you believe
23 their interest to be in that zone, right?

24 A. Yes.

25 Q. In order to participate with their 20-percent

1 working interest in the well, how much money do they
2 propose to pay Chesapeake to do that?

3 A. By taking the line item numbers and taking it
4 back to their interest, I think it came to about \$27,800.

5 Q. So for \$27,800, they want to have a 20-percent
6 interest in the Atoka if the Atoka produces?

7 A. Yes.

8 Q. As part of your proposals to Altura, did you
9 include an AFE?

10 A. Yes.

11 Q. And what is the total AFE cost for this well?

12 A. Total dryhole costs are \$503,000, I believe.
13 Dryhole costs were \$503,000, completed well costs were
14 \$856,000.

15 Q. Okay. Was their proposal acceptable to
16 Chesapeake?

17 A. No.

18 Q. Why not?

19 A. Well, it wasn't quite enough money.

20 Q. What then did you do?

21 A. Went to management and talked with them, and then
22 talked with Altura again, that we would certainly
23 entertain, you know, actual cost basis, if we could bill
24 them just on actual costs, we'd certainly entertain that
25 idea.

1 Q. Okay. This fan is blowing right over my head, so
2 it's hard for me to hear you. Would you --

3 A. I'm sorry.

4 Q. -- speak up for me?

5 So on November 23rd, there's a letter from you to
6 Altura?

7 A. Yes.

8 Q. All right. What are you proposing on November
9 23rd in your correspondence to Altura?

10 A. That we go by the formula that's set out in the
11 COPAS Bulletin Number 2, which is the determination of
12 values for well-cost adjustments on joint operations.

13 Q. In accordance with the formula proposed by the
14 COPAS bulletin, and based upon the AFE estimates, what had
15 you calculated to be Altura's share of the dryhole cost?

16 A. It would have been 12.796 percent on -- Well,
17 that's on the intangibles.

18 Q. Right. Reduced to a dollar amount, what would
19 that number be?

20 A. Dollar amount would have been around \$64,000.

21 Q. All right. And the letter shows that number --

22 A. Uh-huh.

23 Q. -- for Altura?

24 A. Yes.

25 Q. In addition, what would be their share of a

1 completed well, using the COPAS bulletin method of
2 apportioning costs?

3 A. Okay, it would have been \$110,300, about 11.349
4 percent.

5 Q. So Altura's proposal to pay \$27,800 is
6 substantially less than what you calculate would be
7 required under the COPAS bulletin?

8 A. Yes, sir.

9 Q. Let's talk about the COPAS bulletin. Is a copy
10 of that bulletin included in the exhibit book?

11 A. Yes, it is.

12 Q. And where would we find that?

13 A. It is in Exhibit 6, right behind Exhibit 6.

14 Q. Is this a complete copy of the bulletin?

15 A. Yes.

16 Q. Based upon the methods of allocation in the
17 bulletin, have you prepared a tabulation of how this is to
18 be calculated?

19 A. Yes.

20 Q. And did you provide that tabulation to Altura?

21 A. I did.

22 Q. Let's go to your November 23rd letter.

23 A. Uh-huh.

24 Q. Look just past that one-page letter.

25 A. Uh-huh.

1 Q. Is this the tabulation?

2 A. Yes, it is.

3 Q. Let's take a moment and show the Examiner --
4 we're in Exhibit Tab 8, we're in the correspondence pages,
5 and we're looking at the tabulation just behind the
6 November 23rd letter.

7 The COPAS bulletin divides costs between
8 intangibles and tangibles, right?

9 A. Yes.

10 Q. Okay. When you're dealing with the intangible
11 portion of well costs, they have a method by which you can
12 allocate those costs, do they not?

13 A. Yes.

14 Q. The method is described as what?

15 A. Using the drilling day ratio.

16 Q. All right. How many total days were involved in
17 drilling this well to total depth from the surface to TD at
18 the base or below the Atoka?

19 A. Nineteen.

20 Q. Did you determine how many days were involved
21 from the surface to the base of the Wolfcamp?

22 A. Yes.

23 Q. And what was that number?

24 A. That was 12 days.

25 Q. So 12 divided by 19 gives you the 63 percent?

1 A. Yes.

2 Q. How did you calculate the days attributable to
3 the Strawn?

4 A. Three days --

5 Q. Okay, and --

6 A. -- out of the 19, which gave me the 15.79
7 percent.

8 Q. All right, and how did you determine the days
9 attributable to the Atoka?

10 A. It was four days of the 19, which gave us 21.05
11 percent.

12 Q. So from the base of the Strawn to total depth is
13 four days, right?

14 A. Yes.

15 Q. Using those percentages, what does COPAS tell you
16 then to do?

17 A. Since it's a three-formation wellbore, you take
18 the three formations, and each formation is allocated a
19 third. You take the percentages for those formations. The
20 Wolfcamp was at 63.16 percent, so a third of that is 21.05.

21 Q. So each of the three get a third?

22 A. Right, they get a third of what their percentage
23 allocation was.

24 Then we come down, and the allocation to Altura,
25 they have 13.333 percent of the Wolfcamp. So you take the

1 13.333 percent of the Wolfcamp, which is the 21.05, and
2 come out with the 2.806 percent for Altura.

3 Q. Okay. How do you handle sharing of costs from
4 the base of the Wolfcamp down to the base of the Strawn?

5 A. Well, that's where you take the one-half, because
6 there are only two formations -- The Strawn only has the
7 two owners.

8 Q. All right, so you divide that in half, and --

9 A. Right.

10 Q. -- each has a percentage?

11 A. Uh-huh.

12 Q. All right. So how do you allocate, then, the
13 intangibles to the Atoka ownership?

14 A. They have a third of the 63.16, which was their
15 percentage allo- -- their 21.05, which is their percentage
16 allocation; one-half of the 15.79, which was the Strawn,
17 because there were two owners; and then 100 percent of
18 21.05, because everyone was there.

19 Q. All right. So when you sum those up for the
20 Atoka, it's about 50 percent?

21 A. Right.

22 Q. And then you take Altura's percentage in the
23 Atoka?

24 A. Their 20 percent --

25 Q. -- times the 50 percent?

1 A. -- of 49 percent, or the 50 percent.

2 Q. And it gets the 9.99?

3 A. Yes.

4 Q. All right. How do you handle under the COPAS
5 bulletin the tangibles?

6 A. You do that on a footage ratio.

7 Q. All right, go through the calculation and show us
8 what to do.

9 A. All right, the total footage for the well was
10 12,050 feet. So from 11,050 feet, 12,050 feet -- 11,050
11 feet was to the base of the Wolfcamp.

12 Q. Right.

13 A. The formula is the 11,050 feet over the 12,050
14 feet, which gives you 91.7 percent of the footage rate goes
15 to the Wolfcamp formation.

16 It was 600 feet to base of the Strawn, which
17 gives you a 4.97-percent ratio. And another 400 feet to TD
18 or the base of the Atoka, which was the 3.32-percent ratio.

19 And then the allocation to the owners in each
20 zone was the same. One-third of the 91.75 was 30.566
21 percent.

22 The Strawn had one-third of 91.7, plus one-half,
23 because there were only two owners, and their percentage
24 there was the 33.051.

25 The Atoka working interest was one-third of the

1 91.7 plus a half of the Strawn, plus 100 percent of the
2 Atoka, for the 36.37. And there again, Altura had 13.333
3 percent of the Wolfcamp and 20 percent of the Atoka. So
4 you take their 13.333 percent of the 30.566, which is the
5 Wolfcamp, and you get a 4.075 percent.

6 Q. Okay.

7 A. And the same with the Atoka.

8 Q. Did Altura agree to accept the allocation
9 participation as calculated by you using the COPAS Bulletin
10 Number 2?

11 A. No.

12 Q. Did they give you any counterproposal?

13 A. Their counterproposal was that they would pay --
14 they would like to pay out of production, their share out
15 of production if it were a producing well.

16 Q. They would accept this allocation formula, but
17 they wanted to have you recover it out of future
18 production?

19 A. Yes, but not the dryhole cost, only the producing
20 cost.

21 Q. Oh, they didn't want to pay dryhole cost?

22 A. No.

23 Q. Okay. Was that acceptable to Chesapeake?

24 A. No.

25 Q. Let's leave this section and have you identify

1 another section for me. If you go to Exhibit 7, you have
2 the documentation here that supports what you have just
3 described, right?

4 A. Yes.

5 Q. Including the calculation as to day in depths and
6 then another copy of the tabulation of allocation costs?

7 A. Right.

8 Q. All right. Now, let's go and see what you have
9 done with the Southeast Royalty interest that your trying
10 to get committed to the well. Have you made similar
11 proposals to Southeast Royalties?

12 A. Basically the offer to partici- -- or to take a
13 term assignment from them or to have them participate in
14 the well.

15 Q. Is there correspondence in the book that
16 confirms --

17 A. Yes.

18 Q. -- that activity? And where do we find it?

19 A. It would be in Exhibit 8, behind the Altura
20 letters.

21 Q. All right, let's look at that.

22 A. Okay, the first letter was written by Chalfant
23 Properties, who's our broker, to Mr. --

24 Q. All right, now let me remind you, I think some of
25 these are not in chronological order.

1 A. Right. These are in -- from back to front.

2 Q. All right, so let's go --

3 A. So this is the very last letter.

4 Q. Let's go to Exhibit Tab 9 and start looking at
5 the last pages of Exhibit 8, and we'll go backwards in the
6 book, all right?

7 A. Right.

8 Q. You had a broker attempt to --

9 A. Yes.

10 Q. -- resolve participation for Southeast Royalties?

11 A. Yes.

12 Q. And who was that individual?

13 A. Well, it was Bill Chalfant with Chalfant
14 properties.

15 Q. Okay.

16 A. And I believe he had talked with him by phone
17 before, and he did send a letter on October the 21st.

18 Q. And that's in your book here?

19 A. Yes. He wanted to purchase a term assignment.
20 They have the 1.666 percent below 11,870 feet.

21 Q. Within the various spacing units, they only have
22 an interest in the Atoka?

23 A. Yes.

24 Q. And that interest is this 1.6-percent interest?

25 A. Yes.

1 Q. It is -- They hold a lease?

2 A. Yes.

3 Q. What kind of lease do they have?

4 A. I believe it's a 60-acre lease with a 75-percent
5 net.

6 Q. All right, so there's 25-percent royalty. Are
7 there any overrides in that 25 percent, do you know?

8 A. No, the overrides go into shallower depths.

9 Q. All right, so --

10 A. They don't go to the deeper depths, below the
11 eleven thousand --

12 Q. So at the Atoka, then, Southeast Royalties' lease
13 carries a 25-percent royalty?

14 A. Yes.

15 Q. So all they have left is a 75-percent net revenue
16 interest?

17 A. Exactly.

18 Q. All right. Did you talk to them about -- either
19 through your broker or through you, about purchasing a
20 lease?

21 A. Not --

22 Q. That's what Bill's doing here, right?

23 A. Yeah.

24 Q. He's proposing that?

25 A. Yeah.

1 Q. And did they accept these terms?

2 A. A term assignment, no, they did not.

3 Q. All right. Did you offer them an opportunity to
4 participate in the well?

5 A. Yes, on November the 29th I wrote them a letter,
6 offering them either to participate or take the term
7 assignment with a little better terms. I think it was two
8 years, rather than a three-year lease.

9 Q. Okay. Were you able to reach an agreement with
10 Southeast Royalties as to committing their interest, either
11 by way of lease or participation in the well?

12 A. No.

13 Q. When we turn to the last letter, then, the
14 November 30th letter --

15 A. Uh-huh.

16 Q. -- from Southeast Royalties back to you --

17 A. Yes.

18 Q. -- what is Southeast Royalties proposing?

19 A. They had faxed this letter to me on November the
20 30th, they were proposing either a bonus and 10 percent of
21 8/8 overriding royalty interest or a carried working
22 interest based upon the 1.667 working interest, less the
23 carried portion of the expense.

24 Q. All right, let's look at the first option. It's
25 a bonus plus they want a 10-percent override?

1 A. Uh-huh.

2 Q. Why is that not acceptable?

3 A. Chesapeake neither delivers nor do they recover
4 anything less than a 75 percent. It's just company policy.

5 Q. All right, so 75 percent is the bottom line on a
6 net-revenue interest --

7 A. Yes.

8 Q. -- either to sell or acquire --

9 A. Yes.

10 Q. -- an interest, and by a 10-percent override, it
11 now reduces Southeastern Royalties to 65 percent?

12 A. Exactly.

13 Q. All right, and that's below the threshold that
14 you're able to do business?

15 A. Right.

16 Q. Let's look at the second option. Why is that not
17 acceptable?

18 A. We don't -- We have never given a carried revenue
19 interest --

20 Q. Okay.

21 A. -- and don't want to start that.

22 Q. All right. But you did give them an opportunity
23 to participate in the well?

24 A. Yes.

25 Q. All right. And Southeast Royalties, to the best

1 of your knowledge, knew that this was a drilled well?

2 A. Yes.

3 Q. You provided both Altura and Southeast Royalties
4 copies of the AFE?

5 A. Yes.

6 Q. Let's turn to Exhibit 9. Describe for me what
7 you're showing in Exhibit 9.

8 A. I have taken this sheet that shows the overhead
9 rates directly out of one of the JOAs that we have
10 presently in place with Fasken and with Bonneville. It
11 shows drilling well rate of \$6000 and a producing well rate
12 of \$600.

13 Q. What is your recommendation to the Examiner for
14 inclusion in the pooling order for an overhead rate?

15 A. That we would be consistent with our JOAs and
16 follow the same pattern that we have done up till now.

17 Q. All right, and this is the JOA that's been
18 executed by Bonneville and Fasken --

19 A. Yes.

20 Q. -- for this very well?

21 A. Yes.

22 Q. And so you would like to have all the working
23 interest owners being subject to the same monthly cost
24 charge?

25 A. Yes.

1 Q. All right. Exhibit 10 is the package of waivers
2 with regards to the unorthodox well location?

3 A. Yes.

4 Q. All right. And that completes your portion of
5 the book, doesn't it?

6 A. Uh-huh.

7 MR. KELLAHIN: Mr. Examiner, we propose the
8 introduction of Chesapeake's Exhibits 1 through 10.

9 EXAMINER ASHLEY: Exhibits 1 through 10 will be
10 admitted as evidence.

11 Mr. Carr?

12 CROSS-EXAMINATION

13 BY MR. CARR:

14 Q. Ms. Townsend, initially I want to talk about the
15 spacing unit for the Strawn well, the south half of the
16 southwest quarter of 17.

17 A. Uh-huh.

18 Q. If I understand your testimony, you proposed some
19 time ago to lease from Altura additional acreage, other
20 than just that spacing unit in Section 17; is that correct?

21 A. I was not handling New Mexico at the time, but
22 that is my understanding.

23 Q. And is it your understanding that Altura was only
24 willing to lease to Chesapeake the acreage that would be
25 encompassed within the spacing unit dedicated to the well?

1 A. That I cannot answer,

2 Q. The 80 acres that was leased was, in fact, the
3 spacing unit --

4 A. Yes.

5 Q. -- correct, for the Strawn?

6 A. Yes.

7 Q. So you had acquired by lease the Altura interest.
8 Did Southwest -- or Southeast Royalties, Inc., have an
9 interest in the south half of the southwest quarter?

10 A. At below 11,870 feet, yes.

11 Q. And what depth was the Strawn?

12 A. The Strawn was eleven thousand, five -- eight
13 hundred --

14 MR. KELLAHIN: It's in the book here somewhere.

15 Q. (By Mr. Carr) The point is, did you have to
16 acquire some interest from Southeast Royalty for this
17 Strawn proposed well?

18 A. No.

19 Q. Their interest was always below that depth?

20 A. Yes.

21 Q. When you proposed and drilled the well to test
22 the Strawn, did Chesapeake actually own 100 percent of that
23 80 acres over their other working interest ownership?

24 A. There were other working interest owners.

25 Q. And who were they? Bonneville?

1 A. Bonneville Fuels and --

2 Q. -- Fasken?

3 A. -- Fasken.

4 Q. Now, were you involved in the decision to
5 originally drill the well to the Strawn?

6 A. Yes.

7 Q. At that time, Chesapeake had information on the
8 Barbara Fasken well that they were going to re-enter, did
9 they not?

10 A. Uh-huh.

11 Q. Were you present when there were discussions as
12 to whether or not you should drill the well to, say, the
13 Atoka-Morrow? Was that discussed?

14 A. No.

15 Q. You only viewed this as a Strawn prospect at that
16 time?

17 A. At that time.

18 Q. Was there any discussion about there being shows
19 in the Wolfcamp?

20 A. No.

21 Q. Do you know if there's Wolfcamp production in the
22 immediate area?

23 A. I don't know. I think there's only a couple
24 wells, and I really can't testify as to the production. I
25 don't know what it is.

1 Q. So when you started putting the acreage together,
2 you're really viewing it as a Strawn test; isn't that
3 correct?

4 A. Uh-huh.

5 Q. And the OCD approval that you got was for this
6 well on an 80-acre Strawn unit?

7 A. Yes.

8 Q. Your land efforts were to put together an 80-acre
9 Strawn unit?

10 A. Uh-huh.

11 Q. And originally the well was drilled based on an
12 AFE for an 80-acre Strawn well, okay? Is that correct?

13 A. Yes.

14 Q. At the time that this was going forward -- and if
15 I'm asking you questions that are out of your area, just
16 cut me off -- there was a log available on the Fasken well,
17 was there not?

18 A. I do not know.

19 Q. Okay. And will there be a witness who will know
20 that?

21 A. I hope so.

22 Q. I do too. Okay.

23 You then proceeded to drill the well?

24 A. Uh-huh.

25 Q. And it was a dry hole or noncommercial in the

1 Strawn?

2 A. Right.

3 Q. If you had stopped at that point in time and not
4 drilled on, that well -- There would have been no interest
5 in that well owned by Altura; isn't that right?

6 A. If we had stopped.

7 Q. At the Strawn, the zone --

8 A. There would be no working interest owned by
9 Altura.

10 Q. Would there be any working interest owned by
11 Southwest [sic]?

12 A. No.

13 Q. If you had stopped at that point in time, Altura
14 would have been responsible for none of the well costs;
15 isn't that right?

16 A. Right.

17 Q. Southwest was not responsible for well costs to
18 the Strawn?

19 A. Right.

20 Q. And so you got to the Strawn and a decision was
21 made in the field to take the well deeper?

22 A. Yes.

23 Q. When that decision was made, there was no contact
24 made with the OCD prior to just going forward down to the
25 Atoka-Morrow --

1 A. No.

2 Q. -- is that right?

3 At what depth was the Strawn formation that you
4 were targeting, do you know?

5 A. I believe it was 11,800, and the cutoff in the
6 lease problem would have been 11,870.

7 Q. So you were at 11,800, subject to check?

8 A. Uh-huh.

9 Q. And how deep was the Atoka?

10 A. Oh, what did we say the Atoka came in at? I'm
11 not really sure it was below 11,870.

12 Q. Would you agree with me that it was just several
13 hundred feet below that?

14 A. Probably.

15 Q. So we had 11,800 feet of wellbore that Altura had
16 no interest in and no obligation to pay for if you had
17 stopped at the Strawn?

18 A. If we had stopped at the Strawn.

19 Q. And so by drilling an additional 300 or 400 feet,
20 you then were in a position where you could look to Altura
21 to pay for a portion of that wellbore; isn't that right?

22 A. Uh-huh.

23 Q. How much would it cost to drill 300 or 400 feet?
24 Do you know?

25 A. I have no idea.

1 Q. Would it cost a lot less than, say, the \$100,000,
2 or do you know, that you're looking to Altura to pay?

3 A. Well, I'm sure it would have cost less,
4 hypothetically, yes.

5 Q. Hypothetically less?

6 A. Well, I mean, are we talking about a hypothetical
7 wellbore, or what are we --

8 Q. In this particular wellbore, to drill from 11,800
9 to the Atoka-Morrow --

10 A. Uh-huh.

11 Q. -- do you know whether that would cost more or
12 less than the \$100,000?

13 A. That would cost -- Or, it would have cost less
14 than to the Strawn.

15 Q. So by deciding to go down the extra 300 or 400
16 feet, you were actually going to be in a better position
17 financially on the well, because you could look to somebody
18 else to pay \$100,000, right?

19 A. Well, we had already paid it, though.

20 Q. But you were going to then look to somebody else
21 to contribute \$100,000 --

22 A. Yes --

23 Q. -- for the wellbore?

24 A. -- but we would have lost production also.

25 Q. You don't know how much production you could

1 lose, do you?

2 A. No.

3 Q. You do know that you have had gas shows in the
4 Morrow, correct? Or do you know that?

5 A. I don't know that.

6 Q. Do you know if you've cased in the Morrow?

7 A. I think we have run casing.

8 Q. Okay. In any event, when you went 300 or 400
9 feet deeper, you had other people that you were going to --
10 that you could look to, to pay part of the cost of the
11 well, correct?

12 A. Yes.

13 Q. Now, were you responsible for putting together
14 the AFE?

15 A. No.

16 Q. If I get into an area that's not yours, just --

17 A. All right.

18 Q. -- say "foul", okay?

19 In terms of the AFE, do you know if any costs
20 were included for the wellbore that you utilized, the old
21 Barbara Fasken wellbore?

22 A. I don't know.

23 Q. Okay, I should ask somebody else that?

24 A. Please.

25 Q. You talked about the negotiations between

1 Chesapeake and Altura --

2 A. Uh-huh.

3 Q. -- and you talked about the October 27 letter
4 where Altura proposed to pay completion costs, and that was
5 unacceptable?

6 A. Uh-huh.

7 Q. And you also talked about a proposal by Altura
8 that they also participate and that you take their share
9 just out of production --

10 A. Uh-huh.

11 Q. -- and that was unacceptable?

12 Wasn't there also an offer in mid-December
13 whereby Mr. Champlin suggested that based on your November
14 23rd letter, they would split the difference and they might
15 be willing to pay, oh, 8.76 percent of the actual cost?

16 A. Yes, that was all a verbal telephone
17 conversation, yes.

18 Q. And that was unacceptable to you as well,
19 correct?

20 A. Right.

21 Q. Now, when we go to the COPAS bulletin that you
22 discussed --

23 A. Uh-huh.

24 Q. -- on the numbers that you've run, that's based
25 on the assumption that Altura should pay a share of the

1 cost of the wellbore through the Strawn; isn't that right?

2 A. I'm sorry, repeat that please.

3 Q. I mean, before we get to the COPAS bulletin --

4 A. Okay.

5 Q. -- we're allocating costs between people who are
6 required to pay?

7 A. Uh-huh.

8 Q. And if Altura was not required to pay between,
9 say, where you kicked out of the Fasken well to the Strawn
10 formation, then we don't get any of this COPAS stuff; we
11 would be looking at the portion of wellbore they should be
12 required to pay for?

13 A. No.

14 Q. Not?

15 A. No, because we have now gone deeper and it's a
16 completely different deal. It's no longer a Strawn.

17 Q. And it's a completely different deal because you
18 decided to drill deeper 300 feet, right?

19 A. Yes.

20 Q. Doesn't that change the deal? It's a completely
21 different deal because you drilled without first getting
22 OCD approval, right?

23 A. Right.

24 Q. It's a completely different deal because you
25 didn't do your land work for a 320-acre unit before you

1 drilled to a 320-acre pool, right?

2 A. Well --

3 Q. If you had done it before, we wouldn't be here
4 now; isn't that right?

5 A. Right.

6 Q. You didn't do your land work for a 160-acre
7 Wolfcamp until you had already drilled the well, right?

8 A. Right.

9 Q. And we're now being asked to pay for a well where
10 the Strawn has been condemned, right?

11 A. Uh-huh.

12 Q. That's the primary objective. We're being asked
13 to pay for a well based on what you now see in the section
14 you now have in the Morrow, right?

15 A. (Nods)

16 Q. Do you know if that's anywhere near as good as
17 what you can see in the old Barbara Fasken well that they
18 didn't complete in?

19 A. I have no idea.

20 Q. All right, I'll go with somebody else.

21 A. Okay.

22 Q. I talked about the depths, you may have answered
23 this. Do you know the total depth of the well?

24 A. I think the total depth is 12,050 feet.

25 Q. Okay, 12,050 feet?

1 A. Uh-huh.

2 MR. CARR: That's all I have, thank you.

3 MR. KELLAHIN: Mr. Examiner?

4 EXAMINER ASHLEY: Mr. Kellahin?

5 REDIRECT EXAMINATION

6 BY MR. KELLAHIN:

7 Q. Let's go back and clarify a couple of points, Ms.
8 Townsend. If you turn to Exhibit 7 --

9 A. Uh-huh.

10 Q. -- there is a tabulation of spud date and rig
11 release --

12 A. Yes.

13 Q. -- and then there's formations by footage?

14 A. Yes.

15 Q. If you turn back to Exhibit 2 now, we have a
16 tabulation of ownership by formations, do we not?

17 A. Uh-huh.

18 Q. In response to Mr. Carr's question about Altura
19 having no interest in this wellbore down through the
20 Strawn, you indicated they would not. But look at the
21 table here. It says Altura's got 13 percent in the
22 Wolfcamp.

23 A. Right.

24 Q. Which is correct?

25 A. They do have 13 percent of the Wolfcamp.

1 Q. All right. Let's assume that the Atoka fails and
2 doesn't produce. Then you come back uphole in the
3 Wolfcamp, and if that is successful, they're going to have
4 13 percent of the production out of the Wolfcamp?

5 A. Right.

6 Q. And the COPAS bulletin deals with how to allocate
7 those costs to a party that is going to share in that
8 production?

9 A. Right.

10 Q. If Altura doesn't want to share in the costs of
11 this well, they could have given you a lease, couldn't
12 they?

13 A. Right.

14 Q. And that would have freed you up of all these
15 expenses, true?

16 A. Yes, and that was one of my last conversations.

17 Q. And they've chosen not to do that?

18 A. Right.

19 MR. KELLAHIN: No further questions.

20 EXAMINER ASHLEY: Mr. Carr?

21 MR. CARR: Just a couple of questions.

22 RECROSS-EXAMINATION

23 BY MR. CARR:

24 Q. Can you tell me whether or not you intend to
25 attempt a completion in the Wolfcamp?

1 A. I don't know.

2 Q. You don't know if that is actually a bona fide
3 plan down the road?

4 A. I think it may be down the road. It depends.
5 That's a different department from mine.

6 Q. You do know that Altura was in a position they
7 were not able to give you a lease; that's their company
8 position?

9 A. Right.

10 Q. And so they weren't in a position to do that, and
11 you knew that when you made the last offer to them, right?

12 A. Well, the last offer I made to them, I think the
13 reply was, no, they don't want a lease, they would rather
14 participate.

15 Q. As to Southeast Royalty --

16 A. Uh-huh.

17 Q. -- it was your company policy, I think you
18 stated, that you couldn't go below a 75-percent interest?

19 A. No.

20 Q. Now, this isn't a typical situation, this whole
21 matter we're dealing with today for Chesapeake, is it?

22 A. No.

23 Q. I mean, it's not company policy to be in this
24 kind of a situation?

25 A. It is not.

1 MR. CARR: Thank you, that's all I have.

2 EXAMINATION

3 BY EXAMINER ASHLEY:

4 Q. Ms. Townsend, looking at Exhibit 2, first of all,
5 before I ask any other questions, are the acreage
6 dedications to Tract 1 and Tract 2 correctly stated in
7 these?

8 A. Tract 2 should be the south half of the
9 southwest, should correspond with the map, the locator map.

10 Q. Okay, so Tract 1 is the north half of the
11 south- --

12 A. -- is the north half, southwest, yes.

13 Q. Is that the same for the Atoka on page 2 of
14 Exhibit 2?

15 A. Yes, uh-huh. And it will also be -- The Strawn
16 formation should be Tract 2 rather than Tract 1, down at
17 the bottom of the first page.

18 Q. Should be -- Say that again?

19 A. It should be Tract 2 rather than -- It's labeled
20 as Tract 1, and it should be Tract 2.

21 Q. Now, what was this well originally TD'd in when
22 it was a Fasken well?

23 A. I believe it was the Strawn.

24 Q. It was already in the Strawn?

25 A. I think so.

1 Q. So you re-entered the well to test the Strawn?

2 A. Yes.

3 Q. Did you deepen the well at that time, or was the
4 plan to deepen the well or just to re-enter it and test the
5 Strawn?

6 A. I'm not for sure. I think probably what they did
7 was go use that pole and then kick off to maybe a different
8 spot. You probably need to ask Mr. Hefner.

9 Q. Okay.

10 A. He can probably give you a real clear answer.

11 Q. Now, regarding the Wolfcamp formation, Altura was
12 the only one that had not agreed to participate --

13 A. Right.

14 Q. -- is that correct?

15 A. In half of the unit.

16 Q. In Tract 2?

17 A. Right. We had them leased in Tract 2 in the
18 Wolfcamp, and they were unleased in Tract 1.

19 Q. Wait just a second.

20 A. Okay, Tract 2 is the south half of the southwest.
21 We had them leased in that tract.

22 Q. You have them leased in that tract?

23 A. Yes, uh-huh. That's the Strawn unit also.

24 That's the 80-acre Strawn unit. And it becomes a half of
25 the 160-acre Wolfcamp unit.

1 Q. Okay, and the Wolfcamp unit, they show up in
2 Tract 2, but they don't have any interest in Tract 1?

3 A. Okay, Tract 2 would be that first south half,
4 southwest.

5 Q. Right.

6 A. They're leased in that tract --

7 Q. Okay.

8 A. -- to Chesapeake. And then Tract 1 is the north
9 half, southwest. They are unleased in that tract, which
10 leaves them unleased in half of the Wolfcamp unit.

11 Q. They don't show up on Tract 1.

12 A. Under the Wolfcamp?

13 Q. Yeah.

14 A. See the north half, southwest?

15 Q. Right.

16 A. See underneath where it goes Fasken, Bonneville,
17 Altura Energy, 21.333 acres?

18 Q. Are you looking at the exhibit --

19 A. Uh-huh, the ownership detail by formation.

20 Q. Is Tract 1 the north half of the southwest
21 quarter?

22 A. Yes.

23 Q. Okay, if I look at Tract 1, it's showing Fasken,
24 Bonneville and Chesapeake.

25 A. Which Tract 1 are you --

1 MR. KELLAHIN: Let me see if I can straighten
2 this out. The typo here is confusing everybody.

3 THE WITNESS: Uh-huh.

4 MR. KELLAHIN: When you look at this Wolfcamp
5 table --

6 EXAMINER ASHLEY: Uh-huh.

7 MR. KELLAHIN: -- forget the tract number.

8 EXAMINER ASHLEY: Okay.

9 MR. KELLAHIN: The south half, southwest, has got
10 Fasken, Bonneville and Chesapeake.

11 EXAMINER ASHLEY: Uh-huh.

12 MR. KELLAHIN: Altura's interest in the south
13 half, southwest quarter doesn't show up as Altura's
14 interest because they leased it to Chesapeake, which
15 accounts for part of Chesapeake's 50-some interest. Are
16 you with me?

17 EXAMINER ASHLEY: I kind of am with you.

18 MR. KELLAHIN: All right, let me try it again.
19 I'll try it again.

20 Chesapeake's interest, they've got 72 percent.
21 See that?

22 EXAMINER ASHLEY: Uh-huh.

23 MR. KELLAHIN: The reason that gets to be that
24 number is, it includes a leasehold interest they got from
25 Altura. All right?

1 THE WITNESS: Reverse the tract numbers.

2 EXAMINER ASHLEY: So that's going to be Tract 2
3 you're talking about?

4 MR. KELLAHIN: I'm talking about Tract 2.

5 EXAMINER ASHLEY: Okay.

6 MR. KELLAHIN: So Tract 2, now, Altura has leased
7 to Chesapeake, and Chesapeake controls the working
8 interest.

9 EXAMINER ASHLEY: Okay.

10 MR. KELLAHIN: So in the 80-acre spacing unit,
11 everybody is committed. But when you move back uphole to
12 the Wolfcamp and pick up another 80-acre tract, you'll see
13 the next tabulation down shows Altura, because it is
14 unleased.

15 So if you follow the description and ignore the
16 tract number, I think it will straighten out the
17 discussion.

18 EXAMINER ASHLEY: Okay, thank you.

19 Q. (By Examiner Ashley) Everything is committed in
20 the Strawn?

21 A. Yes.

22 Q. Well, prior to deepening the well to the Atoka,
23 had you proposed using this COPAS Bulletin Number 2?

24 A. Prior to completing it?

25 Q. Yes.

1 A. No. No.

2 Q. Okay. It wasn't until you were deep into the
3 Atoka that that was decided?

4 A. Right.

5 Q. Prior to drilling to the Atoka, did you ever
6 consider using this COPAS Bulletin 2 to allocate costs?

7 A. As far as to the Strawn, it wouldn't have been
8 needed, because everyone was leased in the Strawn unit.

9 Q. But not in the Wolfcamp?

10 A. Well, but we just had a show in the Wolfcamp
11 drilling to the Strawn. At that point, the Wolfcamp, they
12 hadn't really decided what to do as far as the Wolfcamp was
13 concerned. We were looking at a Strawn well at that point.

14 Q. Well, it seems to me that if you're willing to
15 use the COPAS bulletin to allocate costs now that you've
16 decided to go to the Atoka, it seems like that would have
17 been the position you would have taken from the start,
18 since there's a potential for Wolfcamp production?

19 A. Well, I'm not too sure they expected to find the
20 Wolfcamp. I think that was a surprise.

21 EXAMINATION

22 BY MR. CARROLL:

23 Q. You could do this calculation again using the
24 COPAS and just limit it to the Wolfcamp and the Strawn,
25 couldn't you?

1 A. Uh-huh

2 Q. And what was the additional amount of cost to go
3 from the Strawn to the Atoka?

4 A. I'm not sure.

5 MR. KELLAHIN: We have a witness that can answer
6 that.

7 MR. CARROLL: Okay.

8 FURTHER EXAMINATION

9 BY EXAMINER ASHLEY:

10 Q. Can you tell me how deep the well originally was?

11 A. Before we re-entered it?

12 Q. Uh-huh.

13 A. I don't know what the old well was. I don't know
14 the exact footage on the old well.

15 MR. CARROLL: You have a witness that can tell
16 us, though, right?

17 THE WITNESS: Yes.

18 EXAMINER ASHLEY: I don't have anything further.
19 Thank you.

20 THE WITNESS: Thank you.

21 MR. KELLAHIN: May I follow up with a question,
22 Mr. Examiner?

23 EXAMINER ASHLEY: Sure.

24 MR. KELLAHIN: I'm not sure the sequence is
25 straight.

FURTHER EXAMINATION

1
2 BY MR. KELLAHIN:

3 Q. You have a desire from your technical people to
4 re-enter the old wellbore --

5 A. Yes.

6 Q. -- all right? They want to get to a bottomhole
7 target in the Strawn that's at a different bottomhole
8 target than the original wellbore?

9 A. Right.

10 Q. They want to get farther south, right?

11 A. Right.

12 Q. When you last touched this, this was to be a
13 Strawn oil well, true?

14 A. Exactly.

15 Q. You then get back into the picture and they have
16 drilled it to the Atoka?

17 A. Yes.

18 Q. You are told that the Strawn will not produce
19 oil?

20 A. Right.

21 Q. They say there's potential in the Atoka, and
22 there may be potential uphole in the Wolfcamp, true?

23 A. Yes.

24 Q. The well has been drilled, but it has never been
25 tested?

1 A. Right.

2 Q. Okay? They ask you, What do we do? Right?

3 A. Right.

4 Q. You find out that you have to have a Wolfcamp
5 160-acre spacing unit, right?

6 A. Yes.

7 Q. You need a 320-acre spacing unit for the Atoka,
8 right?

9 A. Yes.

10 Q. You called me and asked me what to do?

11 A. Yes.

12 Q. I sent you the bulletin?

13 A. Yes.

14 Q. And you proposed the bulletin solution to all the
15 interest owners?

16 A. Yes.

17 Q. And that's how we got where we got?

18 A. (Nods)

19 EXAMINER ASHLEY: Mr. Carr?

20 FURTHER EXAMINATION

21 BY MR. CARR:

22 Q. And we can ask your technical people if there's
23 Wolfcamp production in the area, correct?

24 A. I'm sure they'll know, yes.

25 MR. KELLAHIN: Yes, sir, we'll put those on.

1 Q. (By Mr. Carr) Okay. And is it the policy of
2 Chesapeake to try and put together the acreage for all
3 potentially prospective zones in a wellbore?

4 A. Normally.

5 MR. CARR: That's all.

6 THE WITNESS: Is that it?

7 EXAMINER ASHLEY: Just a minute.

8 Okay, I have nothing further. Thank you.

9 THE WITNESS: Thank you.

10 MR. KELLAHIN: Mr. Examiner, our next witness is
11 Robert Hefner. Mr. Hefner is a petroleum geologist.

12 Mr. Hefner and I are going to be discussing the
13 exhibits behind Exhibit Tab 11. They will consist of the
14 locator plat, the cross-section, and then there's a seismic
15 display on the Strawn, and we'll talk about all three of
16 those.

17 ROBERT A. HEFNER, IV,

18 the witness herein, after having been first duly sworn upon
19 his oath, was examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. KELLAHIN:

22 Q. Mr. Hefner, for the record, sir, would you please
23 state your name and occupation?

24 A. Yes, I'm Robert Hefner and I'm a geologist for
25 Chesapeake. I've been working the Permian Basin for them

1 for the last five years.

2 Q. On prior occasions have you testified as a
3 petroleum geologist before the Division?

4 A. I have.

5 Q. In addition, you have testified before the
6 Examiners utilizing 3-D seismic data --

7 A. Yes, sir, I have.

8 Q. -- as part of your exploration tools for the
9 Strawn formation?

10 A. That's correct.

11 Q. On prior occasions you've also testified as a
12 geologic expert concerning the risk factor penalty in other
13 compulsory pooling cases?

14 A. I have.

15 Q. So you're familiar with the concept as utilized
16 by the Division?

17 A. I am.

18 Q. And you were involved in the re-entry and the
19 directional drilling of the College of the Southwest 17
20 well?

21 A. Yes, sir.

22 MR. KELLAHIN: We tender Mr. Hefner as an expert
23 witness.

24 EXAMINER ASHLEY: Mr. Hefner is so qualified.

25 Q. (By Mr. Kellahin) Mr. Hefner, let's go to

1 Exhibit 1, the locator map. Was there a sole formation
2 target objective for the re-entry of this old well which we
3 now call the College of the Southwest?

4 A. Yes, there was, and --

5 Q. What is that? What was that objective?

6 A. That was the Strawn. We had been actively
7 drilling for Strawn in this township, and that had been our
8 primary objective.

9 Q. Did it occur to you at the time that you were
10 planning this re-entry that there was any possibility that
11 you might encounter Wolfcamp oil production?

12 A. Nothing that would have been economic. There was
13 a well on the northeast northeast quarter of that same
14 section that made some marginal reserves, and then there
15 was an attempt at a completion in the Wolfcamp by Yates in
16 the Robert AGX well. Those were our two closest attempts
17 in the Wolfcamp, which --

18 Q. All right. We've got a glitch in the color code
19 here, don't we? If you'll look on the map in Section 20,
20 in Unit Letter A, that is shaded blue as if it were Strawn.
21 It should be green as a Wolfcamp, right?

22 A. Right.

23 Q. All right. So you had two -- The closest
24 controls on the Wolfcamp is in Unit Letter A of 17, right?

25 A. Right.

1 Q. And Unit Letter A of 20?

2 A. Right.

3 Q. Okay.

4 A. And we had also attempted a DST on a Wolfcamp
5 interval in our Ruth well that we had operated to the south
6 in Section 20.

7 Q. All right. The re-entry well was originally
8 called the what? I forgot the name.

9 A. It was called the Barry Hobbs, and it was drilled
10 in 1986.

11 Q. The Hobbs well?

12 A. Yes, sir.

13 Q. Why were you proposing to use that wellbore for
14 re-entry to deviate to a different bottomhole location in
15 the Strawn?

16 A. To save us some costs, since the surface casing
17 had already been set, and our 3-D seismic indicated that
18 some Strawn reservoir potential existed nearby.

19 Q. Let's turn to the map plan and the vertical
20 profile for the deviation, just to give us a visual
21 reference. If you'll turn to Exhibit 4, let's look at the
22 vertical profile.

23 A. In that vertical profile you'll see represented
24 in black the plan that was developed by our vendor that was
25 helping us directionally drill this when we did our re-

1 entry. And the red line shows the actual path of that
2 wellbore. And then I think we also have a day curve under
3 one of the exhibits that kind of showed you -- behind
4 Exhibit 7 -- the different activities that were conducted
5 during those operations.

6 Q. All right, I think that's helpful. Let's do
7 that, let's turn to Exhibit 7, go past the first summary
8 sheet and fold out what it says, "Depth versus Days".
9 Okay? The wellbore is re-entered. At what vertical depth,
10 then, do you commence kicking off in the southerly
11 direction and start building that angle?

12 A. At about 8500 feet.

13 Q. So at 8500 feet you're going to stop utilizing
14 the old wellbore?

15 A. Yes.

16 Q. And the plan, then, is to control this and move
17 it in the southerly direction?

18 A. That's correct, to directionally drill in a south
19 and east direction from that original wellbore.

20 Q. All right. Let's look at the 3-D seismic display
21 behind Exhibit Tab 11 and look at this illustration.

22 A. Yeah, that illustration represents the
23 interpretation at the time that we made this attempt to
24 drill the Strawn. The borehole plan shows you the actual
25 results of the wellbore after the fact, and it has not been

1 reinterpreted based on what we found in the wellbore. This
2 was the interpretation prior to the operations in this
3 sidetrack.

4 Q. The plan, then, was to utilize this wellbore
5 which originally was too far north of this pod, this little
6 porosity pod in the Strawn, and it had not penetrated that
7 pod, if you will?

8 A. Right.

9 Q. And you were going to deviate that wellbore and
10 try to get into this pod?

11 A. That's correct.

12 Q. All right, what happened?

13 A. Our interpretation was wrong, and the Strawn was
14 tight.

15 Q. Let's save the locator map, Exhibit 1, so we can
16 keep track of where we're going, but let's unfold the
17 cross-section and talk about it.

18 A. What you also have in your booklet is a
19 stratigraphic cross-section that, if you look on your
20 Exhibit 1, goes from the Inexco Hobbs well that's in the
21 northeast northeast of Section 17, down to the original
22 Fasken Barry Hobbs well. It also has our sidetracked well
23 in that cross-section, and then we go over to the Yates
24 Robert AGX.

25 And to run through the nomenclature on this

1 cross-section, that first line going across is the datum
2 for Wolfcamp, and then we come down to a shaded area that's
3 slightly pink, that's highlighting a particular Wolfcamp
4 interval. You come down a little further, you'll see a
5 kind of a light orange interval in the Wolfcamp that's
6 highlighted.

7 Then you come down to this gray area which is
8 often referred to as the Penn shale or Cisco/Canyon. Then
9 in blue is the Strawn. The orange right underneath that
10 blue is the Strawn clastics. Then you go into the Atoka
11 shale by that green line and then the Atoka members that
12 are present in that part of the column.

13 And this cross-section is datumized to the top of
14 the Cisco/Canyon or Penn shales.

15 Q. Let's start the discussion with the Strawn
16 information. When you look at the Strawn correlations,
17 we're looking at the area that's shaded blue horizontally
18 on the logs?

19 A. That's correct.

20 Q. All right. And you know what about the Strawn
21 with the deviated wellbore?

22 A. That we did not get into reservoir quality rock
23 with that deviated wellbore.

24 Q. And how do you know that?

25 A. You can use the logs that are represented in this

1 cross-section, that if you see some deviation -- This log
2 happens to be a sonic log. If you see that deviation to
3 the left, it would indicate porosity, and we have none.
4 It's really a straight line all the way through.

5 Q. Does Altura have this log?

6 A. Yeah, they were given all the data on the well to
7 help them in making a decision.

8 Q. All right, let's talk about the status of the
9 wellbore. You drilled it, and that's it. You haven't
10 completed it, you haven't tested these intervals?

11 A. Right.

12 Q. It is just a standstill wellbore until we get
13 this issue resolved?

14 A. Exactly.

15 Q. You have given Altura a copy of the log?

16 A. Yes, we have.

17 Q. Based upon your analysis of the log, there is no
18 potential for doing any kind of testing or attempted
19 completion in the Strawn?

20 A. That's correct.

21 Q. You missed it?

22 A. That's right.

23 Q. All right. Does the fact that you have a drilled
24 well and log data for the Atoka diminish the risk that you
25 recommend be imposed against those interest owners to less

1 than the 200-percent maximum?

2 A. No, it doesn't lessen the risk at all. I guess
3 first of all, most of the risk penalties that we usually
4 get with other operators are much higher than what's ever
5 allocated in New Mexico. And two, our immediate offsets
6 were -- one, we had one that was considered to be a dry
7 hole, and then an offset where attempts were made in these
8 intervals proved to be uneconomic, so there's still a great
9 deal of risk.

10 Q. All right. So let's look at the log data, then,
11 on the Atoka and have you make the comparisons to the log
12 data for the College of Southwest, as compared to log
13 quality of the data.

14 A. The dry hole that Barbara Fasken originally
15 drilled has the two Atoka members highlighted in yellow.
16 They are substantially thicker than what we found in the
17 deviated wellbore. The petrophysics from the logs are
18 really, in essence, equivalent. And when Barbara Fasken
19 drilled this well, they considered that to be not economic
20 and then plugged the well.

21 And then if you look at the other offset, the
22 Yates well, to the right of this wellbore, you can see some
23 similar intervals that are also highlighted in yellow where
24 Yates made a DST attempt in both of those intervals and
25 only recovered mud, indicating that they were not economic

1 reservoir.

2 Q. Altura's got the log, they can analyze the log in
3 the Atoka. If they choose not to participate, then, what
4 is your recommendation as to a penalty?

5 A. That it would be a full penalty.

6 Q. The maximum --

7 A. The maximum, the maximum penalty.

8 Q. Let's move up the wellbore and look at the
9 Wolfcamp interval. That Wolfcamp interval is -- Help me
10 out. Is it the pink or the yellow?

11 A. Yeah, actually the Wolfcamp is fairly thick here.
12 It's from that top brown line down to where that gray
13 starts, would really kind of represent most of the
14 Wolfcamp. And there's lots of different members, but I've
15 highlighted for the benefit of our discussion here today
16 two intervals that would be an interval to attempt and also
17 where offset operators have made attempts for completion as
18 well.

19 Q. Okay. If you're analyzing the Wolfcamp interval,
20 then, you as a geologist have picked what you think are the
21 two best potential opportunities in the Wolfcamp?

22 A. Yes.

23 Q. And neither one of these has been tested, yet,
24 right?

25 A. Not in the wellbore in question, now.

1 Q. Yeah, that was my question.

2 Let's look at the yellow interval of the
3 Wolfcamp.

4 A. Uh-huh.

5 Q. As to that interval, what is your assessment or
6 recommendation of a risk factor penalty to be applied in
7 this case?

8 A. It would be the maximum. We have no production
9 from this interval in the immediate area.

10 Q. All right. Let's look at the Wolfcamp data that
11 is shown on Exhibit 1.

12 A. Yes.

13 Q. You've got a Wolfcamp producer in the northeast
14 northeast of 17, and then the well in the northeast
15 northeast of 20 was an Atoka well that failed in the Strawn
16 and then was completed in the Wolfcamp?

17 A. That's correct.

18 Q. Okay. Why does not either one of those control
19 points reduce the risk so it's less than the maximum
20 penalty?

21 A. The well that's producing in the northeast
22 northeast is in this cross-section also. It shows you the
23 interval that was perforated. It has not been a very good
24 well, probably wouldn't even pay for the costs of the well
25 to begin with.

1 Our closest offset, really, is the Yates well,
2 and that interval was perforated, that same interval that
3 produces from that wellbore, and --

4 Q. The Yates well is in the northeast northeast of
5 20?

6 A. That's correct.

7 Q. Okay.

8 A. And that only has a 10-percent oil cut and since
9 1996 has only made 1400 barrels of oil.

10 Q. Okay. Do you have enough control in the Wolfcamp
11 here that you could prepare an isopach map that would give
12 you any confidence as to trying to figure out how much oil
13 might be produced from your wellbore?

14 A. No, there's not --

15 Q. Why not?

16 A. There's not enough control points, one, and
17 there's no direct correlation between logs and producible
18 area.

19 Q. Let's move uphole to the pink area of the
20 Wolfcamp that's shaded. Again, that's not been tested yet?

21 A. Not in the subject wellbore.

22 Q. All right. What's your recommendation to the
23 Examiner concerning the risk factor penalty associated with
24 any attempt to produce oil out of that interval?

25 A. For the same reasons, the maximum penalty.

1 Q. And anything else in the Wolfcamp would even be
2 more speculative?

3 A. Absolutely.

4 MR. KELLAHIN: That concludes my examination of
5 Mr. Hefner. We move the introduction of his exhibits
6 behind Exhibit Tab Number 11.

7 EXAMINER ASHLEY: The exhibits behind -- Is there
8 just that one exhibit, Exhibit 11?

9 MR. KELLAHIN: Yes, sir, he had the 3-D seismic
10 display on the Strawn, is in the book, and then his cross-
11 section.

12 EXAMINER ASHLEY: Okay, Exhibit 11 and the cross-
13 section behind Exhibit 11 will be admitted as evidence.

14 Mr. Carr?

15 MR. CARR: Mr. Ashley.

16 CROSS-EXAMINATION

17 BY MR. CARR:

18 Q. Mr. Hefner --

19 A. Yes, sir.

20 Q. -- were you involved in the decision to drill
21 this well?

22 A. Yes.

23 Q. Were you involved in the initial decisions to
24 confine the original proposal to the Strawn interval?

25 A. That's correct.

1 Q. At the time that decision was made, you had
2 reviewed the log on the Barbara Fasken well you were going
3 to re-enter, had you not?

4 A. Right.

5 Q. And at that time you had determined, based on the
6 information from that well, that the Atoka-Morrow was not
7 worth a test of that zone; isn't that fair to say?

8 A. Yeah.

9 Q. It wasn't worth drilling an extra 300 or 400 feet
10 below the Strawn to test it?

11 A. Yeah, because our objective was the Strawn.

12 Q. Wasn't your objective really any producing zone
13 in that well, the Strawn being the principal objective?

14 A. Well, you always welcome serendipity, but the
15 objective and the purpose of that well was for the Strawn.

16 Q. And the Atoka-Morrow looked like serendipity?

17 A. Yes.

18 Q. So did the Wolfcamp, to you?

19 A. Right.

20 Q. And the nearest Wolfcamp producers included a
21 well in Unit A of Section 17; isn't that right?

22 A. That's right.

23 Q. Did you look at the production information on
24 that well?

25 A. Yes.

1 Q. Would you agree with me that it produced over
2 76,000 barrels of oil?

3 Q. And you did not think that a well in the same
4 section with that kind of producing rate would suggest to
5 you that maybe the Wolfcamp would be prospective at this
6 location?

7 A. We have drilled several wellbores in that area
8 that have not offered anything in the Wolfcamp, and even
9 attempted a DST, so no.

10 Q. Would 76,000 barrels pay for the Wolfcamp test?

11 A. I don't think so.

12 Q. If you were drilling all the way to the Strawn,
13 do you think that the 76,000 barrels would be worth coming
14 back up the hole at some time and trying to complete?

15 A. Well, if you know you can get 76,000 barrels of
16 oil, yes, that would be worthwhile.

17 Q. And you have a well in the section that had
18 produced that much?

19 A. Yes.

20 Q. Now, in putting this prospect together, it seems
21 to me that what I understood you to say was, even looking
22 at the logs and the data you available now, the Atoka-
23 Morrow looks like a high-risk venture?

24 A. Right.

25 Q. Would you have drilled or recommended drilling a

1 well stand-alone to the Atoka-Morrow? You would not, would
2 you, based on this information?

3 A. That's correct.

4 Q. But when you get to a point where you're only 300
5 or 400 feet above it, does it make some sense to go ahead
6 and take a look?

7 A. Yes.

8 Q. And so for Chesapeake, by drilling 300 or 400
9 feet you could look at the Morrow; isn't that right?

10 A. Look at the Atoka, yes.

11 Q. You already had your costs in the ground to the
12 Strawn?

13 A. That's correct.

14 Q. So for 300 or 400 more feet you could look at the
15 Atoka. How much did that cost you to go down?

16 A. I don't have what those costs are.

17 Q. Is someone going to testify about that?

18 A. I assume we can give estimates.

19 Q. Do you know if it would cost \$100,000 to go down
20 400 feet?

21 A. I'd just be guessing.

22 Q. In any event, the cost to Chesapeake to go from
23 where you were to the Atoka-Morrow was whatever the costs
24 would be for drilling about 300 or 400 feet, whatever it
25 is; isn't that right?

1 A. What was your question?

2 Q. I mean, if I understand the testimony, you're at
3 the Strawn and you've decided to go to the Atoka-Morrow.
4 The only additional costs are what you're going to incur to
5 get to that depth, right?

6 A. That's correct.

7 Q. And yet the proposal and the options available
8 for Altura or for Southeast Royalty is to look at that, the
9 cost, from where you started drilling in the Barbara Fasken
10 well all the way to the Atoka; isn't that right?

11 A. If they're wanting to participate in the
12 completion attempt of any of that stratigraphic column,
13 yes.

14 Q. That's right, so they're paying a lot more point
15 forward from when you were at the base of the Strawn than
16 you had to?

17 A. I think the decision is in whether they want to
18 participate in the Atoka or the Wolfcamp.

19 Q. And pay the \$100,000 to take the well?

20 A. If they're wanting to participate in it, yes.

21 Q. Do you --

22 A. They have all the information to make a decision.
23 That's all we're asking them to do.

24 Q. Based on the information you have available to
25 you now, do you believe Chesapeake will, in fact, attempt a

1 completion in the Wolfcamp?

2 A. Yes.

3 Q. You would never have drilled a Wolfcamp stand-
4 alone based on those kind of figures, would you?

5 A. No.

6 Q. It's just because the hole was there?

7 A. Correct.

8 Q. And that is something that you didn't anticipate
9 when you drilled this well to the Strawn?

10 A. No, I mean -- No.

11 Q. Were you involved in the preparation of the AFE
12 in any way?

13 A. No.

14 Q. Would you be making -- involved in any decision
15 to include or not include costs in an AFE?

16 A. No, I'm not.

17 Q. Who does that?

18 A. That's done by management.

19 Q. You would have no say whether or not, say,
20 seismic costs were included in this AFE?

21 A. I don't, no.

22 Q. Do you work with AFEs?

23 A. No.

24 Q. You don't know if that's normal to include it or
25 not?

1 A. I believe Chesapeake normally does.

2 Q. Is it normal to include in a gas well the cost
3 for, say, a pumping unit?

4 A. For a gas well?

5 Q. This was going to be a gas well, was it not?

6 A. The Strawn, no, it was going to be an oil well.

7 Q. So we have a pumping unit there, and that's still
8 in there. Now we're looking at a gas well --

9 A. Right.

10 Q. -- in the Morrow?

11 A. We hope.

12 Q. You have cased the hole through the Atoka-Morrow,
13 have you not?

14 A. Correct.

15 Q. You've got a mud log on that interval?

16 A. Correct.

17 Q. There are gas shows in it?

18 A. Correct.

19 Q. So with the information you have now from the
20 well you've recently drilled in that interval, plus the
21 Barbara Fasken information, isn't it fair to say you do
22 have a reservoir?

23 A. There is potential. But as you can see, the
24 Barbara Fasken was plugged, and the Yates well made a DST
25 attempt that showed it was not productive and has the same

1 shows and the same log characteristics, so --

2 Q. But you are in the reservoir -- the reservoir --

3 A. There's some sandstone there. There's a question
4 on whether we've got reservoir or not.

5 Q. And you have had gas shows?

6 A. Right.

7 Q. Now, when you initially started drilling the
8 well, there's a certain amount of risk of being able to
9 make a successful well in the Atoka-Morrow; you would agree
10 with me?

11 A. Yeah, there's a risk in drilling any well, that's
12 correct.

13 Q. Now, when you already have a wellbore to total
14 depth -- which you do, correct? -- some of the risk has
15 already been assumed; isn't that fair to say?

16 A. Looking at those offsets doesn't help me much.

17 Q. So having a well doesn't help you much in terms
18 of risk?

19 A. You know you have some intervals that you can
20 attempt some perforations at, but I -- You have both those
21 sets of information there that didn't help you either in
22 those cases. So I would say no. Plus the penalties that
23 New Mexico offers are not high enough to begin with, so --

24 Q. Okay, but we know those are the penalties we're
25 working with, right?

1 A. Right, so I think --

2 Q. Is it your testimony --

3 A. -- the maximum penalty would be fair.

4 Q. Is it your testimony that there's as much risk
5 today of making a completion in the Atoka-Morrow as when
6 you started this well?

7 A. In essence, yes.

8 Q. That having a hole available to you does not
9 reduce the risk of a well?

10 A. I mean, no one re-entered that Barbara Fasken
11 well to go complete that, so I guess Altura could have done
12 that if they saw no risk in that.

13 Q. So it is your testimony that you haven't reduced
14 the risk by having the wellbore --

15 A. In essence, no.

16 Q. It doesn't reduce the risk that you now have a
17 log on it --

18 A. Perception --

19 Q. -- that you can take a look at the formation on
20 the log, right?

21 A. What was your question? I'm sorry.

22 Q. Having the log to take a look at in this
23 interval, that doesn't have any bearing on the risk
24 associated with making a well?

25 A. In essence, no.

1 Q. Having gas shows on the mud log doesn't make
2 any -- have any bearing on the --

3 A. It doesn't remove the risk in the two offset
4 wells at all, so that's my response, I've said three times.

5 Q. Well, I was talking once about the gas shows --

6 A. Right.

7 Q. -- talking another time about having a favorable
8 wellbore, another time about having an opportunity to look
9 at the formation.

10 A. And we have --

11 Q. You have testified that --

12 A. And Altura had that same information with the
13 Barbara Fasken well, and they chose to not make an attempt
14 with that well.

15 Q. You understand, we're talking about the risks
16 associated with the well you have drilled?

17 A. I know, there's nothing different between the
18 two.

19 Q. Nothing different between the two at all?

20 A. Right.

21 Q. Are they comparable sections in the Morrow?

22 A. Even less so, actually.

23 Q. So there --

24 A. Even more risk than if you're trying to change
25 that perception around.

1 Q. You've said no indication as to how you view the
2 risk that you're going to have to case the hole?

3 A. What was your question?

4 Q. I mean, Chesapeake still says it's a 200-percent
5 risk, it's a full-risk situation, right?

6 A. Absolutely.

7 Q. You've gone ahead and cased the hole. That still
8 doesn't have any -- doesn't reflect any way on how you
9 value your chances of making a --

10 A. Maybe in your perception, someone's perceptions.
11 But in reality, no. Not until those perforations are made
12 and attempt is --

13 Q. And you're not going ahead with the completions;
14 isn't that right?

15 A. We are.

16 Q. But you've delayed it pending the outcome of this
17 hearing, have you not?

18 A. That's correct.

19 Q. How much is it going to cost you to complete the
20 well?

21 A. I did not prepare those estimates, so I don't
22 have an answer for that.

23 Q. More than \$100,000?

24 A. I'd only be guessing.

25 Q. Is it fair to say that as a geologist, you are

1 really not a person to ask about costs associated with any
2 portion of this well?

3 A. That's correct.

4 Q. When you make a recommendation -- Making a
5 recommendation to your management concerning your efforts
6 to attempt a completion in this well by drilling to the
7 Strawn and going off to the -- I guess to the south?

8 A. Right.

9 Q. -- was a factor in your decision, the fact that
10 you had an existing wellbore that would reduce your costs
11 of getting to that depth?

12 A. Right.

13 Q. That was a factor?

14 A. Yeah, that was a factor.

15 Q. And if we go to the day you have a dry hole in
16 the Strawn, isn't it fair to say that at that moment you
17 also have a situation where you have a wellbore that would
18 make it possible to, for much less cost, take a look at the
19 Atoka-Morrow?

20 A. Sure.

21 Q. That's much less cost for you, Chesapeake,
22 correct?

23 A. No, I mean, it didn't change how much it was
24 going to cost us to get there, but --

25 Q. The incremental cost for you was just the cost of

1 that extra drilling; isn't that right?

2 A. There is an incremental cost to go from one depth
3 to another, yes.

4 Q. And if you got somebody else to pay that amount,
5 it wouldn't cost you anything?

6 A. We're just asking whether they want to
7 participate or not.

8 Q. And if they do, they're going to pay that cost,
9 right? More than that cost?

10 A. There's a COPAS way to get to those costs that
11 we've offered.

12 Q. That's a nice, easy solution, right?

13 A. It is.

14 Q. For a complicated problem?

15 A. Absolutely. I think that's why the COPAS
16 bulletin exists.

17 Q. Does that COPAS bulletin exist -- Do you know the
18 purposes it was designed for? Was it designed for a
19 situation where -- Do you know whether or not it was when
20 someone had put together a spacing --

21 A. I did not author it, so I do not know.

22 Q. For -- The day you decided to go deeper, test the
23 Atoka, you were looking at drilling so many feet and your
24 cost to do that, right?

25 A. Was I looking at that?

1 Q. Your company.

2 A. The company was, yes.

3 Q. And today, if Altura wants to take a look at this
4 zone, they pay not only that additional amount but a share
5 of the wellbore all the way up?

6 A. I think all we're proposing through the COPAS
7 formulas is to move their cost of the Strawn -- And
8 actually, we allocated three days to that where in essence
9 we only drilled one day. And so part of that burden has
10 been removed, even more so than what the COPAS suggests.
11 And with the COPAS, we're dividing between three parties
12 where one party is only one percent. And so that ratio is
13 skewed to begin with.

14 So I think the COPAS is very fair.

15 Q. Why is it that if when you decide to re-enter the
16 Fasken well and go to the Strawn, if you have the benefit
17 of the wellbore as an owner in the Strawn interval --

18 A. What was your -- Start again?

19 Q. I mean, why is it that -- The question I have is,
20 you've said that when you are able to test the Strawn --
21 where you've tested the Strawn in this well you've had an
22 economic benefit by virtue of having that Fasken well,
23 right?

24 A. By not having to set surface and --

25 Q. Right.

1 A. Right.

2 Q. And all the owners in the Strawn interval derive
3 that benefit; isn't that right?

4 A. Any working interest partner in that well would
5 benefit, yes.

6 Q. When you go and have a well that is dry in the
7 Strawn, why shouldn't everyone below that interval have the
8 benefit of having a wellbore that goes to the Strawn?

9 A. Because there's also some Wolfcamp potential.

10 Q. Wolfcamp potential that you did not see?

11 A. Right, but they have the information --

12 Q. Wolfcamp --

13 A. -- it's right there, it's --

14 Q. And so by --

15 A. We're asking them to make a decision to
16 participate in that or not.

17 Q. By now taking the Wolfcamp and saying, Oh, yes,
18 we find something now we didn't see before, you're now
19 changing the game so that to see what the Morrow looks
20 like, we have to pay the cost of the entire wellbore,
21 right? Our share?

22 A. If you want to participate in it, yes.

23 Q. Why wouldn't it be appropriate to let you make an
24 election -- You think this is funny? We don't. Why don't
25 you --

1 A. I've answered the question several times. I
2 don't know how to answer it any different.

3 MR. KELLAHIN: Mr. Carr is being argumentative
4 and he's arguing with the witness.

5 MR. CARR: I'd like to have --

6 MR. KELLAHIN: I object.

7 MR. CARR: -- the witness answer the question
8 that I asked him. My question is, if I can be allowed to
9 ask it --

10 EXAMINER ASHLEY: Go ahead, Mr. Carr.

11 MR. KELLAHIN: And please don't talk over his
12 answer, Mr. Carr.

13 MR. CARR: If we could finish an answer sometime,
14 Mr. Kellahin, and not go into an endless narrative, maybe I
15 could.

16 MR. KELLAHIN: Can you get to the point? Let's
17 go.

18 MR. CARR: I'd like to ask a question if you'd
19 shut up.

20 MR. KELLAHIN: I'm waiting for you.

21 Q. (By Mr. Carr) The question is this: If you
22 someday actually do decide to make a completion in the
23 Wolfcamp, wouldn't that be the time to let these other
24 people make an election?

25 A. That would be -- Sure, that sounds reasonable.

1 MR. CARR: That's all I have.

2 EXAMINER ASHLEY: Mr. Kellahin?

3 MR. KELLAHIN: No, sir, that's it.

4 EXAMINATION

5 BY EXAMINER ASHLEY:

6 Q. Mr. Hefner, has a JOA been signed between any of
7 the parties to this well regarding the 320-acre --

8 A. I wouldn't know the answer to that. I --

9 EXAMINER ASHLEY: Mr. Kellahin?

10 MR. KELLAHIN: Let me see if I can find out. I'm
11 not sure I know.

12 My understanding, Mr. Examiner, is that the --
13 Bonneville and Fasken, either they have agreed to modify
14 the operating agreement to cover the 320, or they've
15 committed to do that. They've either signed the revisions
16 or are in the process of doing so.

17 EXAMINER ASHLEY: And that revision would include
18 COPAS Bulletin Number 2?

19 MR. KELLAHIN: I don't know.

20 Mr. Examiner, that has not yet been included in
21 the joint operating agreement.

22 Q. (By Examiner Ashley) Okay, Mr. Hefner, I need
23 you to help me summarize the events that led us to this
24 point. Okay, first of all, you re-entered this well to
25 drill horizontally or laterally in the Strawn well,

1 complete it as a Strawn well?

2 A. Yeah, we wanted to penetrate the Strawn well at a
3 different location than the existing wellbore, so we came
4 up at a certain depth and then kicked off to directionally
5 drill to a target in the Strawn that was south and east of
6 that original wellbore.

7 Q. Okay. And then when you got to that point, that
8 was tested and it was deemed to be --

9 A. No, it was not, it was not tested. It appeared
10 from the rock description that it wasn't reservoir quality.

11 Q. Okay, so at that point you decided to go on to
12 the Atoka-Morrow?

13 A. Right.

14 Q. And that was a decision made in-house?

15 A. Right.

16 Q. Were any of the working interests notified of
17 that?

18 A. Yes. I don't know if we had a formal -- I think
19 I probably verbally spoke with them, with Fasken and
20 Bonneville.

21 Q. And Altura?

22 A. No, I had no idea that Altura would have had an
23 interest. I thought we had them leased in this entire
24 section, that this would not have been an issue, but --

25 MR. KELLAHIN: Mr. Examiner, by letter agreement

1 Bonneville and Fasken agreed to participate in the
2 deepening of the well. There is an agreement about that,
3 if you'd like to have it.

4 EXAMINER ASHLEY: Sure.

5 MR. KELLAHIN: Okay.

6 Q. (By Examiner Ashley) Well, what happened to
7 Altura then?

8 A. I wasn't --

9 Q. Don't they have an interest in the 320?

10 A. I wasn't aware that they have interests, so I
11 never made contact with them. It was land that came back
12 after that, saying that we did not have a lease with them.
13 It was my understanding that we had leased all their
14 interest in that section.

15 Q. So it was not after the well was TD'd that Altura
16 even knew that the well had been deepened; is that correct?

17 MR. KELLAHIN: That's right, and it was
18 Chesapeake's belief, with the operational people, that
19 everything had been leased in the 320. And that turned out
20 not to be true.

21 Q. (By Examiner Ashley) Is Southeastern included in
22 the 320 --

23 A. Yes, sir.

24 Q. -- heir interest in the 320?

25 A. Yes, sir.

1 Q. Just the deep?

2 A. Right.

3 Q. Okay. So then what happened when you --

4 A. So I made contact with both the other working
5 interest owners. They concurred with the idea of going
6 deeper, and we went to the agreed-upon total depth and
7 logged the well and ran casing.

8 And land came back saying that we have some
9 unleased parties that we need to try to reach an agreement
10 with, and we've been doing that since October.

11 Q. And now the well is shut in; is that correct?

12 A. Nothing has been done.

13 Q. So what's the status of completing in the Atoka
14 and Morrow right now?

15 A. It's waiting the outcome of this hearing.

16 Q. So where does the Wolfcamp play into this?

17 A. It plays in on whether the Atoka is successful or
18 not.

19 Q. So you're banking on the Atoka-Morrow right now?

20 A. Right now, just one step at a time.

21 Now, Altura has brought to our attention their
22 desire to make some completion attempts in the Wolfcamp,
23 but we have concurred with those desires. We'll look at
24 that if we fail.

25 Q. On your cross-section, the Inexco Oil Hobbs B

1 Number 1 --

2 A. Yes, sir.

3 Q. -- doesn't Bonneville Fuels --

4 A. Yeah, I think they now operate that, that's
5 right.

6 Q. What did that DST in the Wolfcamp show there?

7 A. It recovered some oil, and that's why those
8 perforations were made, that completion was made.

9 Q. I'm having a hard time locating the Fasken Hobbs
10 B Number 1 well, number two on the cross-section.

11 A. That's -- This is the second well on the cross-
12 section.

13 Q. Where is that on your --

14 A. It's that dryhole symbol that's on Tract 2 on
15 your map.

16 Q. Okay, so these are essentially the same wellbore,
17 the second and third well are the same wellbore?

18 A. No, one -- On your map plan you seen how that
19 line takes you to a different bottomhole location.

20 Q. Okay.

21 A. So this wellbore that's right next to it that
22 we're referring to as the College of the Southwest is
23 representative of that wellbore, that directional
24 wellbore --

25 Q. Okay.

1 A. -- which is 400 feet away from that original
2 wellbore.

3 EXAMINER ASHLEY: Okay. I have nothing further.
4 Thank you.

5 THE WITNESS: Thank you.

6 MR. KELLAHIN: May we have a short recess, Mr.
7 Examiner? Perhaps five minutes?

8 EXAMINER ASHLEY: Let's go ahead and take a 15-
9 minute recess. We'll come back at five after three.

10 (Thereupon, a recess was taken at 2:50 p.m.)

11 (The following proceedings had at 3:15 p.m.)

12 EXAMINER ASHLEY: This hearing will now come to
13 order.

14 Mr. Kellahin?

15 MR. KELLAHIN: Mr. Examiner, the certificate of
16 notification to the parties that we were asking to be
17 pooled is marked as Exhibit 12. We would move its
18 introduction at this time.

19 EXAMINER ASHLEY: Exhibit 12 will be admitted as
20 evidence at this time.

21 MR. KELLAHIN: And that concludes my
22 presentation, Mr. Examiner.

23 EXAMINER ASHLEY: Mr. Kellahin, this is just
24 notification of the hearing; is that correct?

25 MR. KELLAHIN: Yes, sir.

1 EXAMINER ASHLEY: Okay. Mr. Kellahin, there was
2 a mention of another witness that would testify on drilling
3 costs?

4 MR. KELLAHIN: And I apologize, the witness I
5 have available is not an expert in drilling costs and AFE
6 costs, so I have the wrong witness today to talk about that
7 issue. So that is why I've chosen not to put him on.

8 EXAMINER ASHLEY: Mr. Carr?

9 MR. CARR: May it please the Examiner, at this
10 time we would call Stella Welsh.

11 EXAMINER ASHLEY: Mr. Carr?

12 STELLA WELSH,
13 the witness herein, after having been first duly sworn upon
14 her oath, was examined and testified as follows:

15 DIRECT EXAMINATION

16 BY MR. CARR:

17 Q. Would you state your full name for the record,
18 please?

19 A. Stella Fleming Welsh.

20 Q. How do you spell your last name?

21 A. W-e-l-s-h.

22 Q. Where do you reside?

23 A. Houston, Texas.

24 Q. And by whom are you employed?

25 A. Altura Energy, Limited.

1 Q. And what is your position with Altura Energy?

2 A. I am a reservoir engineer.

3 Q. Ms. Welsh, have you previously testified before
4 this Division and one of its Examiners?

5 A. No, I have not.

6 Q. Could you summarize your educational background
7 for Mr. Ashley?

8 A. I have a bachelor of science in mechanical
9 engineering from Rice University in Houston, Texas. I
10 received that in 1979.

11 Q. And since graduation from Rice, for whom have you
12 worked?

13 A. Initially I worked in aerospace for McDonnell-
14 Douglas for about a year and a half. After that I worked
15 for Amoco Production Company from 1981 till 1997. At that
16 time Altura Energy, Limited, was formed between Amoco and
17 Shell. I became employed by Altura Energy in 1997, I am
18 still employed there.

19 Q. And while working for Amoco and Altura, have you
20 been employed as an engineer?

21 A. Yes.

22 Q. A reservoir engineer or petroleum engineer? What
23 type of engineering have you done?

24 A. I have done reservoir and production engineering.

25 Q. Are you familiar with the Application filed in

1 this case on behalf of Chesapeake Operating, Inc.?

2 A. Yes, I am.

3 Q. And are you familiar with the well and the
4 interest of Altura in this particular section?

5 A. Yes.

6 MR. CARR: We tender Ms. Welsh as an expert
7 witness in reservoir engineering.

8 EXAMINER ASHLEY: Ms. Welsh is so qualified.

9 MR. KELLAHIN: May I ask a few questions, Mr.
10 Examiner?

11 EXAMINER ASHLEY: Oh, that's fine, Mr. Kellahin.

12 VOIR DIRE EXAMINATION

13 BY MR. KELLAHIN:

14 Q. Mr. Carr tendered you as an expert in reservoir
15 engineering, Ms. Welsh. Do your current duties involve any
16 expertise in analyzing AFEs?

17 A. I examiner AFEs, I help prepare AFEs on occasion.

18 Q. So when I go to Altura as an employee and ask for
19 the drilling or production engineer, would that drilling or
20 production engineer be responsible for preparing AFEs for
21 your company?

22 A. Yes, I would work jointly with the drilling
23 engineer to prepare an AFE.

24 Q. What would be your participation in that
25 activity? What is it that you provide to that person so

1 that they can analyze an AFE?

2 A. I would provide the completion cost.

3 Q. The completion cost?

4 A. Uh-huh.

5 Q. Are there any other components of the AFE that
6 you would have expertise on, other than completion cost?

7 A. I have familiarity in looking at AFEs, what is
8 appropriate for inclusion or exclusion.

9 Q. Altura's prehearing statement indicated that they
10 were opposed to the risk-factor penalty. It made no
11 disclosure or indication that they were complaining about
12 the AFE. Are you here to oppose any of the AFE costs?

13 A. I disagree with some of the AFE costs. In a
14 verbal conversation with Mr. Gassaway I had pointed out
15 that there is quite a difference between the actual cost to
16 date and the referenced AFE.

17 Q. Are you here to testify with regards to the risk
18 factor penalty?

19 A. Yes, I am.

20 Q. So in addition to the reservoir engineering
21 aspects of the risk, you're here to talk about the
22 completion costs?

23 A. That's correct.

24 MR. KELLAHIN: All right. No further questions.

25 EXAMINER ASHLEY: Ms. Welsh is so qualified to

1 testify.

2 DIRECT EXAMINATION (Resumed)

3 BY MR. CARR:

4 Q. (By Mr. Carr) Could you briefly state why Altura
5 Energy is appearing in this case?

6 A. We are seeking an order that would limit Altura's
7 obligation to pay for the costs associated with drilling
8 the subject well to the Wolfcamp, to the Atoka-Morrow. And
9 further, we are seeking an order which limits the risk
10 penalty to the risk which remains. The well has already
11 been drilled, the well has already been cased.

12 Q. What remains, in your understanding, to be done
13 to the College of the Southwest 15 Well Number 1?

14 A. As I said, the well has been drilled, it's been
15 cased. What remains to be done is to actually complete the
16 well.

17 Q. In both the Atoka-Morrow and potentially the
18 Wolfcamp; is that correct?

19 A. Potentially the Wolfcamp, yes.

20 Q. Do you have any idea how much the completion cost
21 should run for a well in the Atoka-Morrow formation?

22 A. In the Atoka it would cost approximately \$90,000
23 on a gross basis.

24 Q. That includes tangible and intangible, right?

25 A. Yes, it does.

1 Q. And how much does Chesapeake seek from Altura if
2 it's to pay its share of estimated well costs?

3 A. In a letter dated October 21st they requested
4 about \$100,000 dryhole cost. In a letter dated November
5 23rd they requested \$110,000 on a completed well-cost
6 basis.

7 Q. So what is being proposed to you is, your share
8 of participation in the well exceeds your understanding of
9 what it would cost to complete the well now in the Atoka-
10 Morrow?

11 A. Yes, that's correct.

12 Q. How much will a Wolfcamp completion add to these
13 cost figures?

14 A. On a gross basis, about \$100,000.

15 Q. What interest did Altura own in the dryhole
16 drilled and completed by Chesapeake in the Strawn
17 formation?

18 A. Altura owned no working interest in that.

19 Q. And that is at approximately what depth, do you
20 know?

21 A. That's approximately 11,400 feet.

22 Q. And how deep is the well? Were you here when Ms.
23 -- I believe it was Ms. Townsend testified to that, or
24 maybe Mr. Hefner?

25 A. 12,050.

1 Q. So do you know how many feet it was drilled below
2 the Strawn attempt and the now-proposed completions in the
3 Atoka-Morrow formation?

4 A. They drilled about 600 feet.

5 Q. In your opinion, is the request or the
6 requirement that Altura contribute \$100,000 to the well to
7 participate in the Atoka-Morrow excessive?

8 A. Yes, it is.

9 Q. And why do you characterize it as that?

10 A. We're being asked to pay about \$100,000, which is
11 equivalent to what it would cost. The other reason I think
12 it's excessive is that if I look at Chesapeake's daily
13 reports, which include cost, they are substantially lower
14 than the referenced AFE cost.

15 Q. You've looked at the AFEs?

16 A. Yes, I have.

17 Q. And these are estimates of cost, correct?

18 A. They are estimates of cost.

19 Q. At this point in time, the well is at total
20 depth, right?

21 A. Yes.

22 Q. And you now have some actual figures?

23 A. Yes, we do.

24 Q. And those actual figures are taken from what
25 source? The daily activity report?

1 A. That's correct, from Chesapeake's daily.

2 Q. And when you compare those to the AFE costs, how
3 do they compare?

4 A. They are roughly 70 percent of the AFE cost.

5 Q. Now, when you look at these numbers, are you
6 including the seismic charge of \$50,000 that's reflected on
7 the AFE?

8 A. Yes, the daily report actually includes the
9 \$50,000 for the seismic, so that is included in that.

10 Q. There are also contingencies in the AFE, are
11 there not?

12 A. Yes, there are. For both the tangible and
13 intangible cost, a 20-percent contingency factor was
14 applied.

15 Q. In your opinion, is a 20-percent contingency now
16 appropriate since the well has been drilled?

17 A. Not at this time, no.

18 Q. In your experience reviewing AFEs, is it typical
19 to include the charge for seismic?

20 A. No, it is not.

21 Q. Are you prepared to make a recommendation to the
22 Examiner as to the risk penalty which should be assessed
23 against anyone, including Altura, who does not participate
24 in the well?

25 A. Yes, I am. I would recommend that no penalty be

1 applied on the well that is drilled to date. I think that
2 Chesapeake has drilled the well, they've set casing, they
3 have information on the formations. And the well was
4 drilled at its own risk.

5 Q. If a penalty is set on the remaining risk, what
6 do you recommend it be?

7 A. Well, I think it should be very small if it is
8 assessed. The well's drilled, there are gas shows in the
9 original wellbore, the Barbara Fasken well, there are shows
10 in Chesapeake's wellbore.

11 To me, that indicates two things. It's an
12 indication of productivity. Furthermore, because of the
13 difference in bottomhole locations of the two wells, it
14 also indicates the presence of a reservoir.

15 Q. Do you understand that under New Mexico statute,
16 a 200-percent penalty could be imposed?

17 A. Yes, I do.

18 Q. In your opinion, is there less risk once you've
19 drilled the wellbore than you had when you started the
20 project?

21 A. Yes, there's substantially less risk.

22 Q. Is the risk of making the well reduced by having
23 an opportunity to view the log on the section in question
24 and finding that there is reservoir present?

25 A. Yes, there is.

1 Q. Is the risk reduced by having gas shows on the
2 mud log?

3 A. Certainly.

4 Q. Do you have anything further to add to your
5 testimony?

6 A. No.

7 MR. CARR: That's all I have of this witness.

8 EXAMINER ASHLEY: Mr. Kellahin?

9 MR. KELLAHIN: Thank you, Mr. Ashley.

10 CROSS-EXAMINATION

11 BY MR. KELLAHIN:

12 Q. Ms. Welsh, did Chesapeake provide Altura and have
13 you examined the log on the directional well, the new
14 College of the Southwest 17 well?

15 A. Yes, that was provided.

16 Q. So you have that information?

17 A. Yes, I do.

18 Q. Are you able to analyze that yourself, or did you
19 have the assistance of a geologist with your company look
20 at it as well?

21 A. I had the assistance of a geologist.

22 Q. Have you and your geologist come to any
23 conclusion about whether Altura will participate in a
24 completion in the Wolfcamp?

25 A. We would consider participating.

1 Q. What about participating in the Atoka?

2 A. We would consider participating. We have
3 attempted to work with Chesapeake to reach an agreement to
4 do that.

5 Q. And we're stuck over the contribution for
6 participation, the dollar amount, right?

7 A. We're stuck over two things.

8 Q. Okay.

9 A. One is the dollar amount, and the other is the
10 costs that are being AFE'd.

11 Q. Okay. Let's look at the costs that are being
12 AFE'd. Regardless of the AFE cost, you understand that
13 Altura's obligation if they participate would be just their
14 share of the actual cost; that's true, isn't it?

15 A. I think that's been presented verbally --

16 Q. Have you read any of the compuls- --

17 A. -- to Mr. Champlin.

18 Q. Have you read any of the compulsory pooling
19 orders of the Division?

20 A. Have I read any of the compulsory -- No, I have
21 not --

22 Q. You haven't?

23 A. -- reviewed the records for compulsory pooling of
24 the Commission, no, I have not.

25 Q. Are you aware it's the practice of the Division

1 to require you to contribute only the actual cost? You
2 might prepay, or there may be some contribution based upon
3 the AFES, but there's a process in those orders by which
4 you will ultimately only pay your share of actual costs,
5 okay?

6 A. Mr. Kellahin, I understand that.

7 Q. All right. When you look --

8 A. Let me make one more point, if I might.

9 Q. Yes.

10 A. I think that in looking at the actual cost,
11 there's also a disparity there, in my opinion, that being
12 in the daily actuals as reported by Chesapeake. They have
13 already included the \$50,000 gross expenditure for the
14 seismic. Now, Altura has not had benefit of viewing the
15 seismic.

16 Q. Are you aware that the Division orders for
17 compulsory pooling provide a mechanism by which you can
18 also object to the actual cost? So after the cost bill,
19 the actual cost bill, is submitted to Altura, you have a
20 period of time to register a protest about any of those
21 costs?

22 A. Uh-huh.

23 Q. Doesn't that provide you full protection, then?

24 A. It would if we had been given the appropriate
25 opportunity to participate prior to the Morrow being

1 drilled.

2 Q. Aren't you being given a better opportunity now,
3 because you have the log data, you have some actual cost
4 information, and you're more fully informed about whether
5 you want to make your election to participate with this new
6 information? Is that not true?

7 A. Our choice at the outset was to not -- was to
8 retain the acreage for development. At this point, the way
9 I see it is that we have been placed in the position of our
10 formation being developed without being consulted, and I
11 think that is inappropriate.

12 Q. When you look at the actual cost comparison to
13 the AFE, Chesapeake has done substantially better with its
14 actual cost than with the estimated? There's some
15 substantial savings already realized; is that not true?

16 A. I don't know that I'd characterize them as
17 savings, no. Yes, it is less than the AFE cost. I think
18 the AFE was inflated.

19 Q. So you're going to pay actual costs, which are
20 less than the AFE costs, so what's your complaint?

21 A. My complaint is that Chesapeake developed a well
22 without the acreage to produce it --

23 Q. And you're now being --

24 A. -- Altura's acreage.

25 Q. You're now being afforded the opportunity to

1 participate, let's say on the Wolfcamp, and your choice for
2 participation, as you characterize it, is some share of the
3 completion costs, true?

4 A. Would you repeat that, please?

5 Q. Yes. You responded to Mr. Carr that 100 percent
6 of what you think are the justifiable completion costs
7 attributable to the Wolfcamp are about \$100,000; did I
8 understand that correctly?

9 A. Yes.

10 Q. That would be --

11 A. -- on a gross basis, uh-huh.

12 Q. -- on a gross basis, meaning that's the total for
13 all the working interest owners to divide up, right?

14 A. Uh-huh.

15 Q. Okay. If we look at your working interest in the
16 Wolfcamp, if Mrs. Townsend is correct, you've got 13.3
17 percent, right?

18 A. Uh-huh.

19 Q. You're proposing to pay \$13,000 in order to
20 participate in future production from the Wolfcamp, true?

21 A. It's a proportionate share.

22 Q. When we look at proportion to share, have you
23 ever utilized the COPAS Bulletin Number 2 for cost
24 allocations?

25 A. No, I have not.

1 Q. Were you aware of that bulletin until you came to
2 the hearing today?

3 A. Yes, sir, I was.

4 Q. So when we look at the Atoka, your participation
5 in the Atoka is 20 percent, right? Did Ms. Townsend get
6 that number right?

7 A. I believe she did.

8 Q. Okay. You're talking about the remaining
9 completion costs attributable to Atoka of about \$90,000,
10 true?

11 A. Yes.

12 Q. You propose to pay your 20 percent of the
13 \$90,000?

14 A. I have no problem with paying our proportionate
15 share of the completion cost.

16 Q. That's what I'm trying to get from you. You say
17 your proportionate share of the completion costs are going
18 to be \$18,000, right?

19 A. If that's -- Are you taking 20 percent of
20 \$100,000 --

21 Q. I'm taking 20 percent of \$90,000 that you gave
22 me.

23 A. Okay.

24 Q. All right, \$18,000, right?

25 A. Yes.

1 Q. Even a lawyer can do that math. And that's all.
2 You don't propose to pay for anything else in that
3 wellbore?

4 A. I think it would be appropriate for Altura to pay
5 for drilling the Morrow section. I don't have a problem
6 with that. But it would be the section from the point
7 where Chesapeake left their stated objective in the Strawn,
8 not from the point where they kicked off in the wellbore.

9 Q. Okay. So you're proposing that there is going to
10 be no contribution made by Altura for utilizing the
11 wellbore from the surface down to that particular depth;
12 it's just the remaining interval that you're proposing to
13 help pay for, right?

14 A. That's correct.

15 MR. KELLAHIN: No further questions.

16 EXAMINER ASHLEY: Mr. Carr?

17 REDIRECT EXAMINATION

18 BY MR. CARR:

19 Q. You're proposing that Altura not contribute
20 anything for the wellbore -- well, for the Fasken wellbore
21 from the surface to where Chesapeake kicked off, correct?
22 You're not going to be contributing to that?

23 A. No.

24 Q. And you're not going to be contributing to the
25 wellbore from where they kicked off for the Strawn,

1 correct?

2 A. That's correct.

3 Q. You had no interest in any of that?

4 A. No.

5 Q. You say you would be willing to contribute from
6 the base of the Strawn, the additional hole drilled to the
7 Atoka-Morrow; is that your testimony?

8 A. That's my testimony.

9 MR. CARR: Thank you.

10 EXAMINATION

11 BY EXAMINER ASHLEY:

12 Q. Ms. Welsh, can you tell me what Chesapeake is
13 wanting you to pay? Can you give me a dollar amount of
14 what they're expecting you to pay for this well?

15 A. They're asking us to pay -- Their correspondence
16 says reference the AFE cost. From listening to Mr.
17 Kellahin, and I think it's accurate to say they'd be
18 expecting us to pay the actuals, which would be, according
19 to the calculation they've submitted, about 11 to 12
20 percent of their total cost from their -- including the
21 seismic and the cost to drill from their kickoff point in
22 the Fasken well down to TD.

23 So if I estimate that, I think, from a verbal
24 conversation with Mr. Gassaway of Chesapeake, he was
25 anticipating a total cost of \$650,000 to \$680,000 actual,

1 if the Atoka completion was attempted and if they completed
2 in the Wolfcamp. So we'd be looking at paying about an
3 eighth of that. Mr. Kellahin may be able to help me with
4 the math there. I guess that would be about \$80,000?

5 Q. Excuse me?

6 A. I'm estimating about \$80,000.

7 Q. Okay. That was if they completed in the
8 Wolfcamp?

9 A. Yes. Now, if they completed in the Atoka, I
10 think the total cost we looked at, based on their actuals
11 to date, and the estimated cost, would be a gross cost of
12 about \$570,000. Using the COPAS calculation that they've
13 proposed, then that would be about \$70,000 net to Altura.

14 Q. Now, that \$70,000 includes part of the cost of
15 re-entering the well; is that correct? That's not just
16 from the kickoff point from the base of the Strawn into --

17 A. That's correct, it includes the seismic, it
18 includes the cost --

19 Q. Okay.

20 A. -- to re-enter the Fasken well.

21 Q. Now, if they had decided not to go to the Atoka-
22 Morrow and recompleted in the Wolfcamp, and say they were
23 proposing a cost of approximately \$80,000, just as a
24 reference point, would you have paid that?

25 A. \$80,000 net to Altura? In my opinion, the

1 appropriate cost would be the cost that they incurred from
2 drilling and completing from the base of the Strawn to TD.
3 The estimated cost for that, just back-of-the-envelope,
4 right, their actual cost to drill through the Atoka was
5 \$50,000 gross. Say the cost to case through that section
6 would probably be another, say, \$20,000. So we're looking
7 at \$70,000 plus the completion cost -- We're talking about
8 the Atoka; is that right?

9 Q. No, I was talking about the Wolfcamp.

10 A. Talking about the Wolfcamp, okay.

11 Q. Well, let me change that, rephrase that question.
12 You had already agreed -- Had you all already agreed to
13 participate if the well was recompleted in the Wolfcamp?
14 Is that -- Was the primary target the Strawn, and then
15 secondary being the Wolfcamp?

16 A. No, sir, from our standpoint their primary target
17 was Strawn. The Strawn was dry, or it did not look
18 prospective on the logs. So then their objective became
19 the Atoka.

20 Q. Okay.

21 A. Now, when we were contacted after the Atoka had
22 been drilled through and they had the mud log information
23 on it, then their objective became the Atoka.

24 Q. Right. But Altura already had an agreement with
25 Chesapeake if the well was completed in the Strawn; is that

1 correct?

2 A. Yes, we had leased the Strawn to them.

3 Q. Okay.

4 A. For the 80 acres.

5 Q. Okay.

6 A. When they came back to us and requested another
7 lease after they drilled through the Atoka, at that time
8 Altura was unable to grant a lease, because Altura is
9 currently for sale. And so our -- We were unable to do
10 that, we could not grant a lease. However, we did have
11 money where we could consider contributing. It was not our
12 intent to impede the completion of the well.

13 EXAMINER ASHLEY: I have nothing further. Thank
14 you, Ms. Welsh.

15 Mr. Carr?

16 MR. CARR: May it please the Examiner, at this
17 time we would call Robert Light.

18 ROBERT S. LIGHT,
19 the witness herein, after having been first duly sworn upon
20 his oath, testified as follows:

21 MR. LIGHT: Being duly sworn, I'd like to make
22 the following testimony, and I'd like you to know where I'm
23 coming from.

24 I am the secretary of Southeast Royalties. My
25 name is Robert S. Light. I've appeared before the Oil

1 Conservation Commission many years ago in expert testimony,
2 and now you're the Oil Conservation Division. But
3 nevertheless, it's the same group.

4 I thank you for allowing me to make a statement,
5 and I thank Mr. Carr and Mr. Kellahin for allowing me to
6 make a statement.

7 I am the secretary of the organization. And the
8 president, Mr. Garringer, who has been in contact with
9 Chesapeake on the purchase of our rights below 11,800 feet,
10 11,870 feet, we have not been able to come to terms. And I
11 want to say that it isn't anyone's particular fault, except
12 we deal only in royalty interests; we have no working
13 interests.

14 The reason for that is, in the past -- and I've
15 been in the business since 1949, I was with Continental Oil
16 Company for three years and then joined Barber Oil in
17 Carlsbad, New Mexico, in 1952, is approximately the date.
18 The reason for that is, we did participate in wells with
19 major companies and found it a bad experience.

20 For instance, we joined Getty in a \$3-million
21 Morrow well that should have probably cost about \$1.5
22 million. And in their casing program they came up with
23 ten-inch, 10-5/8 casing, and it was just double the price I
24 could have bought the same brand-new casing in Artesia for
25 on the price.

1 And so I called Getty and I said, Look, guys --
2 this is their Midland office -- you're charging double what
3 I can buy that same pipe for.

4 And he said, Look, we're the operators, and
5 that's our cost in our yard, and you will pay that cost.

6 Well, that kind of cooled me. The well was a dry
7 hole, and that even cooled me further. And it's kind of a
8 sad experience when you participate with other people and
9 you don't have any control. We're a small oil company and
10 produced -- We had about 150 wells through the years.
11 They're all sold now, we're completely out of production,
12 and we took our interest in cash for the wells and an
13 overriding royalty and everything, and we sold it. So
14 we're strictly a royalty company, and we do not want to re-
15 enter operations.

16 Now, I think we explained that to Chesapeake, but
17 nevertheless, in our operations with Chesapeake -- and if
18 you'll look at your -- because you have it in your
19 folder -- just before Tab 9, there are two pages there of a
20 letter that they proposed to us, which we were not
21 interested in at all, with the AFE, and it's at the end of
22 Section 8, Tab 8.

23 And Lynda Townsend was very kind, we were very
24 kind to them, we had no problems as far as any personality
25 problems. But we told them no, that we proposed -- and

1 you'll find in the page just ahead of Lynda's letter -- our
2 counterproposal was to do a bonus of some sort with a 10-
3 percent overriding royalty.

4 Now, let me say this, that Inexco took our
5 assignment of our lease some years back to drill the Barry
6 Hobbs Number 1 in the northeast of the northeast of 17, and
7 we kept a five-percent overriding royalty. It already had
8 a 25-percent royalty interest on it. So that was burdened
9 with a five-percent, and they paid us -- I don't even
10 remember what kind of bonus, but we made a deal with
11 Inexco, and they drilled the Barry Hobbs Number 1 in the
12 northeast corner.

13 Now, we kept everything below the Strawn, which
14 they set the depth after drilling, it was 100 feet below
15 the depth drilled, and that was the 11,870 feet. We have
16 everything below that, and have always had it for many
17 years. We get a royalty check from Bonneville every month
18 for our five-percent interest, overriding royalty interest.
19 We are not operating with anybody.

20 We wanted to do that with Chesapeake, and we just
21 felt like since they had drilled us a free well -- in my
22 opinion, they drilled a nice well down there, and it was
23 right into our zone, and my God, I wanted to thank them,
24 and I thought, Well, it isn't fair just to say thanks, so
25 we have proposed a 10-percent royalty interest and some

1 sort of a bonus. They offered \$250. I don't care what it
2 is, we're talking about \$1250. It's peanuts. It costs me
3 that much to come up here to talk to you.

4 So the bonus was not a big thing. If they have
5 something of value, we'd like to have a part of the
6 production. And so we suggested a 10-percent override
7 because that was just five percent over what we have with
8 Inexco, which is now Bonneville. And I didn't think it was
9 unreasonable.

10 They evidently did, because we never heard
11 another word from them.

12 And then we get Mr. Kellahin's letter stating
13 that you're being force pooled. Well, we didn't like that
14 at all because we don't want to be force pooled.

15 So we went to George Hunker in Roswell, and I
16 said, George, write us a response. I just do not want to
17 be force pooled.

18 So in our response -- and it was very well
19 written, I thought -- to the Oil Conservation Division, we
20 merely said that it's prejudicial to the philosophy of the
21 company and the way we do business, and that's what we put
22 in the letter.

23 Now that kind of, I guess, bothered Mr. Kellahin
24 just a little bit, and I don't know exactly why, but he
25 said, Would you advise me how you think the Division's

1 exercise of its authority -- we had nothing to say about
2 the Division's authority -- is prejudicial to the
3 philosophy of the company and the related method of doing
4 business?

5 Well, our way of doing business is strictly on an
6 overriding royalty basis, and we do not want to operate
7 with Chesapeake, don't care to operate with Getty ever
8 again, and we have had joint operations. But they've been
9 with people like us. J. Penrod Tolls, we operate with them
10 all the time, no problems. L.S. Hall years ago out of
11 Roswell -- I mean out of Albuquerque. We operated with
12 them, joint operations. Never a problem one. But we had a
13 relationship that was a lot different than you do with a
14 major company.

15 So I just plead with you to allow us not to be
16 force pooled but to send us back to the bargaining table
17 with Chesapeake and find out if 10 percent is a ridiculous
18 thing. I didn't think it was, but they never replied to
19 our letter. And I'm a little bit disappointed that we
20 didn't get together and hash out some sort of an override,
21 something better than five percent, because in my opinion
22 they've drilled us a neat well, if it makes production. We
23 don't know, they haven't completed it yet, but it's all
24 done, and they've got 12,050 feet of 5-1/2-inch casing all
25 set and cemented, ready to do something.

1 And I just feel like that I want to thank them.
2 And if they want me to be an operating partner, why, I'd
3 just like to do it on the basis that they'd take their
4 interest out and carry us for the operational costs. They
5 get their money back. But I don't want to give them 200
6 percent and it's -- may never get a dime out of it.

7 So I'd just like to say, we want to remain a
8 royalty interest company. That's all we have. We did used
9 to produce wells, and we've sold everything, we're no
10 longer in production and don't wish to return.

11 And that's why I'm here, is to make that
12 statement, and I do it with respect to Chesapeake and Lynda
13 Townsend and Mr. Kellahin. His father used to represent us
14 when we were up here in Santa Fe thirty -- forty years ago,
15 we were in Santa Fe doing oil and gas leases in the name of
16 Eugenia Bate, and you may remember Eugenia.

17 So these are all friends of mine. Bill Carr's a
18 friend of mine from the Legislature days. So I just want
19 to say that all of you are my friends, and I just don't
20 want to be force pooled.

21 Now I'd be glad to answer any questions. I hope
22 I didn't take too long -- make too long a statement.

23 EXAMINER ASHLEY: Mr. Kellahin?

24 MR. KELLAHIN: I have no questions for
25 Representative Light, thank you.

1 EXAMINER ASHLEY: Mr. Carr?

2 MR. CARR: I have no questions for my client Mr.
3 Light.

4 MR. LIGHT: Am I through?

5 EXAMINER ASHLEY: One minute, just a second.

6 MR. LIGHT: Okay.

7 EXAMINER ASHLEY: I just have a couple questions.

8 EXAMINATION

9 BY EXAMINER ASHLEY:

10 Q. You're a working interest owner, but you want
11 your working interest to be converted to an overriding
12 royalty interest; is that correct?

13 A. Well, we own the lease. We own the lease below
14 11,700 feet.

15 Q. Okay.

16 A. -- eight hundred, whatever -- It's a hundred feet
17 below the depth drilled in the Strawn in the Barry Hobbs
18 Number 1.

19 Q. Okay.

20 A. And we just own the rights, and we probably would
21 never -- We'll never go out there and drill it. I wouldn't
22 do what they're doing at all. But that's their business.
23 But I just want you to know that I don't want to be force
24 pooled, operating with someone that I hardly even know -- I
25 never heard of Chesapeake out of Oklahoma City until Lynda

1 Townsend darkened our door. And we told them at the time
2 we did not want to be a working interest partner.

3 And I can see flaws in some of their AFE too.
4 You know, authority for expenditure is supposed to be
5 something that everyone relates to. In fact, your partner
6 should understand that at the time, and it should be fair.

7 But I don't want to be their partner, really. I
8 really don't. And I don't want to be Altura's partner
9 either. But I do like both companies. Altura's a good
10 company. And Chesapeake, I don't know a thing about them
11 except they're out of Oklahoma City. I went to work in
12 Ponca City, Oklahoma, with Continental Oil, and I know a
13 little bit about Oklahoma oil, and I was with them for
14 three years.

15 EXAMINER ASHLEY: Okay, just a minute.

16 Mr. Kellahin?

17 MR. KELLAHIN: Sir.

18 EXAMINER ASHLEY: His response to Chesapeake's
19 letter was never answered; is that correct?

20 MR. KELLAHIN: Ms. Townsend testified for you
21 earlier this afternoon that the request for the 10-percent
22 additional burden put the interest at a 65-percent net
23 revenue interest, and it was below their company's policy
24 to do that.

25 EXAMINER ASHLEY: Did they ever contact Mr. Light

1 about that?

2 MR. KELLAHIN: I don't have a letter that
3 confirms that, and if there's not I apologize because there
4 should have been.

5 MR. LIGHT: We never heard another word till we
6 heard from Mr. Kellahin, really. That's to my knowledge.
7 I'm in and out of the office a lot. I'm very busy with
8 other items, and Mr. Garringer is president of the company
9 and he does run it, let me tell you, he runs it well. I'm
10 just the secretary, but I kind of own it.

11 MR. KELLAHIN: Mr. Examiner, to finish the point,
12 there is no written correspondence. Lynda Townsend
13 confirms that for me. If you want to recall her, she would
14 testify that she talked to Mr. Garringer -- is that --

15 MR. LIGHT: Mr. Garringer is --

16 MR. KELLAHIN: -- talked to Mr. Garringer and
17 informed him orally that the 10 percent was too big a
18 burden and they couldn't make a deal. So there was verbal
19 contacts between the president of the company and Mrs.
20 Townsend.

21 MR. LIGHT: There may be some question as to that
22 because Mr. Garringer said he had not heard from them since
23 -- He sent them the letter by fax, and they misplaced it
24 and called him later and said, Where is this return letter?
25 He said, I faxed it to you. And she had evidently given it

1 to the wrong person in the office, and so we faxed it
2 again. And that was the last we heard from Chesapeake, to
3 my knowledge.

4 MR. KELLAHIN: Ms. Townsend's testimony would be
5 different, Mr. Examiner, if you'd like to hear it.

6 EXAMINER ASHLEY: Is Mr. Garringer here? Is Mr.
7 Garringer here today?

8 MR. LIGHT: Yes, Mr. Garringer is president of
9 Southeast Royalties.

10 EXAMINER ASHLEY: Is he here today?

11 MR. LIGHT: Oh, no, he's working. We're a two-
12 man office. I'm in the office, he's in the office, we both
13 can't leave at the same time.

14 EXAMINER ASHLEY: Thank you, Mr. Light.

15 MR. LIGHT: My pleasure.

16 EXAMINER ASHLEY: I'd like for Ms. Townsend to
17 take the stand and testify to that, please.

18 LYNDA F. TOWNSEND (Recalled),
19 the witness herein, having been previously duly sworn upon
20 her oath, was examined and testified as follows:

21 EXAMINATION

22 BY EXAMINER ASHLEY:

23 Q. Ms. Townsend, can you go over again what happened
24 after you submitted the letter -- Let's see, can we refer
25 to the letters that you sent to Mr. -- or to Southeastern

1 Royalties?

2 A. May I get my book?

3 Q. That would be fine.

4 A. Sorry. All right, I had -- Let's see, the broker
5 had written in first, on October the 21st, he had tried to
6 take a term assignment, and they had 1.667 percent out of
7 the whole 320-acre unit.

8 We offered \$250 an acre for a three-year term
9 assignment.

10 I came back on -- After they had refused, I came
11 back on November the 29th and wrote Mr. Garringer a letter.
12 We offered to do the same thing with the \$250 bonus and
13 reduce it to two years. Or as an alternative -- or they
14 could participate in the well, and I sent the AFE at the
15 time.

16 Then on November the 30th I received the fax
17 letter from them wanting a bonus of 10 percent override on
18 8/8, plus the bonus. Or they wanted a carried revenue
19 interest.

20 I did not write back a response to this. I took
21 it to management, because I always take every offer,
22 regardless of what kind of offer it is, knowing that
23 management was going to tell me, no, we don't take anything
24 other than 75 percent. I did call Mr. Garringer and tell
25 him that.

1 When he refers to re-faxing me the letter, I did
2 have him re-fax me the letter. I had given the letter to
3 management in a meeting and told him it would be much
4 faster if he would fax me a copy of the letter. He did, I
5 went back and talked to them again. I asked him, could he
6 please come up with something else, could he lower it, that
7 10 percent we would not take -- or we would not give.

8 And that was basically the last time I talked to
9 him.

10 EXAMINER ASHLEY: Mr. Kellahin, do you have any
11 questions you want to ask Ms. Townsend?

12 MR. KELLAHIN: No, sir.

13 EXAMINER ASHLEY: Mr. Carr, do you have any
14 questions?

15 MR. CARR: No, I do not.

16 EXAMINER ASHLEY: Thank you.

17 Mr. Carr?

18 MR. CARR: That concludes our presentation.

19 I have a closing argument, unless Mr. Kellahin
20 has additional testimony.

21 MR. KELLAHIN: Nothing further, Mr. Examiner.

22 MR. CARROLL: Didn't you have three witnesses?

23 MR. CARR: No.

24 EXAMINER ASHLEY: Just one, or just two?

25 MR. CARROLL: You had three witnesses?

1 MR. KELLAHIN: Yes.

2 EXAMINER ASHLEY: One didn't --

3 MR. CARR: We could find one if you would like.

4 MR. CARROLL: No, no, no.

5 EXAMINER ASHLEY: Mr. Kellahin, do you have any
6 closing statements?

7 MR. KELLAHIN: Yes, sir. I believe the practice
8 is to let the opponents go first.

9 MR. CARR: That's the practice, I believe.

10 EXAMINER ASHLEY: Go for it.

11 MR. CARR: May it please the Examiner, today
12 we've heard a substantial amount of testimony about company
13 policy and how it impacts individuals' ability to
14 negotiate. We've heard about COPAS forms and touted them
15 as simple answers to complex solutions.

16 But what we really have here is a situation
17 which, if it isn't unique it's unusual. We have Chesapeake
18 coming before you, asking you to enter an order pooling the
19 interests of Altura, of Southeast Royalties, in the Atoka-
20 Morrow and in the Wolfcamp formations for a well that has
21 already been drilled, a well that already has established
22 that it is in a section in the Atoka-Morrow where there is
23 reservoir, where they have gas shows.

24 And they're here because they didn't form these
25 units when they first decided to drill the well. They

1 didn't come to you and obtain approval for the spacing
2 units they now want to dedicate to the well. They drilled
3 the well.

4 We have concerns about what they have done, we
5 have objections to what has happened. We believe the costs
6 and the offers that are now being made to us are excessive,
7 we believe their proposals are unreasonable, and Southeast
8 Royalties objects to being included in this prospect at
9 all.

10 When you look at what Chesapeake has come before
11 you with, I think you see first of all there is no dispute
12 they were proposing a Strawn well. That's what they
13 leased, that's what they acquired from both other parties,
14 that's what they came to you and sought approval for, and
15 that's what their initial AFE reflected.

16 And when that well was drilled, and if it had
17 been completed in the Strawn, Chesapeake and its partners
18 in that interval would have owned all the working interest,
19 they would have shared in the production; Altura, Southeast
20 Royalties would not have.

21 The costs of drilling that well were reduced, and
22 they were reduced because there was a usable wellbore on
23 this tract, and it provided them a vehicle by which they
24 could access the minerals in the Strawn for less cost. It
25 reduced their cost of drilling. But at any cost, you still

1 have a problem when you drill a dry hole.

2 And there they were with -- Chesapeake and its
3 partners, having to face the fact that they were going to
4 have to pay for the well. They had no one else that they
5 could bring in.

6 But they devised a new plan, they took the well
7 to the Morrow. They were at, say, 11,800 feet. They could
8 drill an additional 400 or 500 feet of hole, and they could
9 be in the Morrow. They could add just a small bit to the
10 well. And then because of what they had done, as they
11 testified, they changed the deal.

12 They changed the deal, they changed it to what
13 they had done. They, in essence, though, had set
14 themselves up to give really what amounts to a free look at
15 the Atoka-Morrow. They could drill and collect from other
16 people more than it would cost to go to that depth, and it
17 would, in effect, bail out part of the costs they had
18 incurred in drilling to the Strawn. They could get other
19 people to pay, and that is why we are here.

20 When you look at this case and you look at the
21 evidence, Mr. Kellahin and I have very different views.
22 Mr. Kellahin is surely going to say, Well, we're asking
23 people to pay a reasonable share, everyone benefits; if
24 they want in, pay their share and come in.

25 We see it differently. We see an action by

1 Chesapeake which was outside the rules of this agency,
2 which was inconsistent with their representations to us,
3 which was a radical change in the plans they had made to
4 access minerals in the Strawn, which contains a tremendous
5 benefit to them in the form of additional contribution for
6 their share for the costs that they incurred in drilling
7 the well.

8 You know, it's interesting. They may have a
9 reason to want to go and complete in the Atoka-Morrow, if
10 they can get there with a well they've already paid for and
11 the additional cost of getting to it being paid by somebody
12 else.

13 It's a very different situation for the rest of
14 us, and if we're going to share, we have to pay not only
15 what it costs to get from the Strawn down to the Atoka-
16 Morrow but what it costs to get from Barbara Fasken down to
17 the Strawn as well.

18 You know, the Fasken well was a benefit to
19 everyone. It provided a way to reduce cost to test the
20 Strawn. They proposed a well, they drilled a well to the
21 Strawn, they were unsuccessful. That wellbore, we believe,
22 ought to stand just like the Barbara Fasken well. And we,
23 at that point in time, all could benefit by drilling down
24 to Morrow and Atoka reserves that were risky because we had
25 existing wellbores that made it economically reasonable for

1 all of us, not just Chesapeake, to go down and take a look.
2 And that's why it's different.

3 And when you're asked to look at how we view the
4 case and compare it to how Chesapeake does, remember what
5 Chesapeake did. They proposed a Strawn well, they came to
6 you for an order for a Strawn well, they AFE'd an original
7 well.

8 And then what did they do? Well, they went to
9 the Morrow, and they didn't propose it to us. They went to
10 the Morrow, and they didn't get it approved by you. They
11 went to the Morrow, and they had not acquired the rights
12 for a Morrow spacing unit.

13 And the truth of the matter is, it's not very
14 different when you look at the Wolfcamp. Because although
15 now when we see the Wolfcamp, because maybe we can use that
16 to kick in the COPAS form, we didn't see the Wolfcamp as
17 much before we drilled the well. We didn't see it, even
18 though on this -- We knew we were going to have a wellbore
19 through it, at least Chesapeake should have. And they knew
20 there was a well on the section that had produced 76,000
21 barrels of oil out of that particular zone, that if you had
22 a wellbore to the Strawn someday you could complete it.
23 But oh, no, they didn't think the Wolfcamp was a
24 prospective interval.

25 Yes, for them COPAS is nice, the form is great.

1 It means tag costs on to us. And we believe, in fact, what
2 it is, it's really a way to share the costs of their bad
3 judgment and bad luck with somebody else. Under their new
4 plan we believe we're the ones that take the hit. We're
5 being asked if we're going to share in the reserves that
6 are there.

7 We're put in an untenable position in terms of
8 cost, because we have to pay much more to get there than
9 they did, because when we were going to the Atoka and
10 Morrow together was not when they were kicking out of the
11 Barbara Fasken well but when they decided to depart from
12 the Strawn and drill deeper. And that's what we believe is
13 appropriate.

14 We believe what we have to pay is an excessive
15 amount. Sure, it's a great remedy, we can come back and
16 have another hearing, another fun day, just like this one,
17 squabbling over whether seismic is appropriate, whether
18 what they say is actual really should include seismic and
19 other things.

20 But that's absurd. Right now there's confusion
21 about -- We don't even really know whether we're going to
22 pay dryhole costs -- we don't have a dry hole anymore;
23 we've cased it -- of whether we're going to pay completed
24 well costs. Well, that's a gas zone, but we've got a
25 pumping unit in the AFE and we've got surface equipment

1 that's for an oil well.

2 I mean, the fact of the matter is, every time you
3 turn around there's a way that Chesapeake is asking for
4 more money and asking you to excuse what they did, and that
5 was, they made a decision that was outside the rules and
6 inconsistent with what they had told everyone before they
7 were going to do. We think they're asking for a precedent
8 that you should not set.

9 We think they assumed the risk and they drilled
10 to the Strawn, and having done that, that's the point where
11 we go forward. They drilled a well. I think
12 Representative Light is correct, we should say thank you
13 for that.

14 And if you really recognize it when somebody goes
15 out and takes it on themselves to drill a well on somebody
16 else's property -- that's just what they've done -- then I
17 think what we should be obligated to pay is our share of
18 completion costs.

19 But if you take an alternative view and say, yes,
20 well, from the base of the Strawn down you're all in this
21 together and you can all share the benefits together, then
22 perhaps the alternative would be to pay our share from that
23 point down.

24 But I think when you look at this case you see
25 something that doesn't look right when it walks in the

1 door, and it has been supported by land work that was
2 incorrect, it didn't combine the spacing units. It was
3 combined by very unusual geology where you threw out the
4 Wolfcamp when you had 76,000 barrels of oil coming out of a
5 Wolfcamp well on the same section.

6 You have engineering -- Well, we didn't present
7 the engineering.

8 And what they want you to do is approve something
9 after the fact, which amounts to nothing more than
10 retroactively setting the clock in a way that impairs the
11 rights of Altura and changes the obligations to Chesapeake.

12 We ask you to enter an order that imposes a risk
13 penalty limited -- and a small risk penalty, because they
14 have a well where they have proven reservoir and have gas
15 shows, and that penalty should apply to completion costs
16 and certainly nothing more than drilling from the Strawn.

17 EXAMINER ASHLEY: Mr. Kellahin?

18 MR. KELLAHIN: It's always a treat and a thrill
19 to hear my friend Mr. Carr give a closing statement. And
20 sometimes he doesn't let the facts get in the way of a good
21 argument.

22 But let's talk to some of the facts that he wants
23 to ignore, which he wants to pretend don't exist. This is
24 not an abandoned wellbore. These are active operations,
25 ongoing in the field, with a well that is drilled.

1 Mr. Carr and I have been through this contest
2 with Santa Fe Energy and Landreth. We've talked about
3 force pooling, what happens with drilling wells. This is a
4 drilling well. The people in the field have penetrated
5 through the Strawn, it's unsuccessful, they make a field
6 decision to continue with the rig on location. This is a
7 drilling well with rig and personnel on site, doing the
8 work. The well is drilled.

9 They believe, incorrectly -- after checking with
10 Chesapeake, without Lynda Townsend's knowledge -- they
11 believe, incorrectly, that they have the 320 under lease.
12 And they're wrong.

13 And so what happens when you're wrong? We do
14 what the statute provides, Mr. Ashley. You can force pool
15 for a drilled well, you can take care of issues like this
16 that happen on occasion.

17 What Altura wants is a free well. Representative
18 Light says thank you for the free well, but Representative
19 Light doesn't want a free wellbore. He says it's not fair.
20 It's free, but it should not be fair.

21 And how do we resolve it? I didn't dream up the
22 COPAS bulletin, Mr. Ashley, I'm not smart enough to figure
23 out how to do this, but I was aware it was there. It's
24 been in existence since at least September, 1965. And if
25 you'll turn with me to the introduction before the COPAS

1 bulletin, let's look at the first sentence. You'll get
2 disputes like this. This is not an unusual dispute, it
3 will occur on occasion.

4 And what does the COPAS bulletin tell you? The
5 basic purpose of this bulletin is to set forth what is
6 considered by the industry in general to be the most
7 equitable basis for the determination of values to be used
8 in conjunction with well-cost adjustments. They answered
9 this question for you 30 years ago.

10 And you don't have to take this in a vacuum, Mr.
11 Ashley. All you have to do is rely on the past precedence
12 of this agency.

13 Mr. Carr wrongly suggests you're about to set a
14 new precedent. Let me remind him of a case that Yates had
15 against Chevron back in 1990, and let's look at what this
16 Division did in this precedent.

17 If you'll turn to page 2 of the order, it's Order
18 Number R-9093-C, and start with (5). Yates spuds the well,
19 and on February, 1990, they drill to a total depth of about
20 9000 feet, and they test the Bone Springs and it's
21 nonproductive. To get to that point, they had force-pooled
22 Chevron, only as to the Bone Springs interval. For
23 whatever reason, they failed to obtain a pooling order or
24 leases or agreements on the shallower San Andres.

25 When they failed to produce the Bone Springs,

1 they come back up the hole to about 4600 feet, and what do
2 they do? They complete the well. This is a completed
3 producing oil well at 82 barrels a day. Chesapeake hasn't
4 completed these formations, but Yates did. They've got a
5 completed zone in a formation where they haven't committed
6 Chevron's 25-percent interest. The Division tells both
7 Chevron and Yates to go back and figure it out.
8 Negotiations are unsuccessful.

9 And so we go back to hearing before Examiner back
10 in October of 1990, and if you turn to page 3 you'll see in
11 paragraph (11) what Yates proposed. They're proposing that
12 the total well costs for completing this well, including
13 all tests and all equipment and all materials down to and
14 through the Bone Springs be charged back to the San Andres.
15 That was their position.

16 Chevron came forward with the 1965 COPAS
17 bulletin, and Examiner Stogner adopted that bulletin for
18 cost allocation.

19 And so you have the precedent here of resolving
20 what happens between the Bone Springs and the San Andres.
21 You have it in the Chesapeake case today, to see what
22 happens between allocating costs back to the Wolfcamp. You
23 can use that same bulletin, if you read it, to allocate
24 costs among three zones so you have a shallow, intermediate
25 and a deep zone. It tells you exactly how to do this.

1 Mrs. Townsend did it for you, she's made the calculation
2 for you.

3 And what's interesting to note is, look at
4 finding (14). What is Yates awarded for drilling a
5 producing oil without pooling Chevron? Is it risk-free?
6 Is it a free ride? Is it a free well? No. They get their
7 costs back, plus 150 percent.

8 There's a means and a method by which you resolve
9 this, Examiner Ashley. We suggest that this is how you do
10 it. It's how the Division has done it in the past. It's
11 reasonable and appropriate. And if you look at this order
12 or any other order of the Division, then you can answer the
13 questions that concern Mrs. Welsh when you talk about
14 actual versus estimated costs.

15 We ultimately deal with actual costs. They're
16 going to enjoy the cost savings that Chesapeake achieved by
17 reducing the actual costs by \$100,000 less than the AFE
18 cost. If she doesn't like the 3-D seismic stuff being
19 AFE'd, there is a process by which we can have a hearing in
20 the event Mr. Carr and I can't resolve that issue.

21 I wasn't aware it was an issue. You couldn't
22 find that out in their prehearing statement. I did not
23 know about it until today. But we can talk about those
24 issues, we can figure that out. And if we can't solve it,
25 we can come back, because there is a method by which we do

1 that.

2 They get the advantage of taking advantage of the
3 risk we bore. We've paid for this wellbore, it's our
4 money. And now what they want to do is give us loose to
5 get 13 percent of production out of the Wolfcamp, or loose
6 change in terms of shares of completion cost to get 20
7 percent of the Atoka. That's a free wellbore, and they're
8 not entitled to it under the COPAS instructions, they're
9 not entitled to it under Division past precedent.

10 We say that they've got more information that
11 typically is provided. They've got the log, they can
12 analyze it. And if they don't want to pay and participate,
13 then the consequence ought to be they go nonconsent, and we
14 will recover our money that we advanced for their share of
15 these costs out of future production, if there's enough of
16 it to do so.

17 I'm sorry for Representative Light's difficulty
18 here with the royalty issue and not wanting to be a working
19 interest owner. You know that Chesapeake's practice is to
20 continue to try to negotiate solutions. In the interim
21 between orders and hearings, and even after orders are
22 issued, we will approach Representative Light and his
23 partner again to see if we can resolve it.

24 Ultimately, if we can't, it's not our fault that
25 the statutory process in New Mexico affords the opportunity

1 for him to participate with part of his share as a royalty,
2 one-eighth. The other part is a seven-eighths. And
3 there's a means and a mechanism by which that happens. If
4 he doesn't like it, I'm sorry, I can't do anything about
5 it. It's the statute. He's over at the Legislature; maybe
6 he can figure out a way to make the statute better. But
7 right now, this is what we have to work with.

8 We appreciate your time and attention to our
9 case. We believe we're entitled to the relief we've
10 sought, and we would ask that you enter an order in
11 accordance with our presentation.

12 EXAMINER ASHLEY: Okay, at this time I have
13 nothing further, but I would ask that both parties provide
14 me a draft order by February 1st.

15 MR. KELLAHIN: All right, sir.

16 EXAMINER ASHLEY: And with that in mind, there
17 being nothing further in this case, Case 12,325 will be
18 taken under advisement.

19 (Thereupon, these proceedings were concluded at
20 4:25 p.m.)

21 * * *

22 I do hereby certify that the foregoing is
23 a complete record of the proceedings in
24 the Examiner hearing of Case No. 12325,
25 heard by me on 1-20 192000.


_____, Examiner
Oil Conservation Division


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL January 28th, 2000.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 2002