

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:) CASE NO. 12,328
)
APPLICATION OF JOHN L. COX FOR AN)
UNORTHODOX OIL WELL LOCATION,) ORIGINAL
LEA COUNTY, NEW MEXICO)
_____)

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MARK ASHLEY, Hearing Examiner

January 20th, 2000

Santa Fe, New Mexico

OIL CONSERVATION DIV.
00 FEB - 7 PM 4:43

This matter came on for hearing before the New Mexico Oil Conservation Division, MARK ASHLEY, Hearing Examiner, on Thursday, January 20th, 2000, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

January 20th, 2000
 Examiner Hearing
 CASE NO. 12,328

	PAGE
APPEARANCES	3
APPLICANT'S WITNESS:	
<u>MITCHELL E. CHENEY</u> (Geologist)	
Direct Examination by Mr. Carr	4
Examination by Examiner Ashley	22
REPORTER'S CERTIFICATE	25

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	22
Exhibit 2	8	22
Exhibit 3	10	22
Exhibit 4	17	22

* * *

A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 9:26 a.m.:

3 EXAMINER ASHLEY: The Division calls Case 12,328.

4 MR. CARROLL: Application of John L. Cox for an
5 unorthodox oil well location, Lea County, New Mexico.

6 EXAMINER ASHLEY: Call for appearances.

7 MR. CARR: May it please the Examiner, my name is
8 William F. Carr with the Santa Fe law firm Campbell, Carr,
9 Berge and Sheridan. We represent John L. Cox in this
10 matter, and I have one witness.

11 EXAMINER ASHLEY: Additional appearances?
12 Will the witness please rise to be sworn in?
13 (Thereupon, the witness was sworn.)

14 EXAMINER ASHLEY: Mr. Carr?

15 MITCHELL E. CHENEY,
16 the witness herein, after having been first duly sworn upon
17 his oath, was examined and testified as follows:

18 DIRECT EXAMINATION

19 BY MR. CARR:

20 Q. Would you state your full name for the record,
21 please?

22 A. Mitchell E. Cheney.

23 Q. Mr. Cheney, where do you reside?

24 A. Houston, Texas.

25 Q. By whom are you employed and in what capacity?

1 A. I'm an independent geologist, self-employed.

2 Q. And what is your relationship with John L. Cox?

3 A. John L. Cox purchased the prospect idea which
4 this location is related to, from me.

5 Q. Have you previously testified before this
6 Division?

7 A. Yes.

8 Q. At the time of that testimony, were your
9 credentials as an expert in petroleum geology accepted and
10 made a matter of record?

11 A. Yes.

12 Q. Are you familiar with the Application filed in
13 this case on behalf of Mr. Cox?

14 A. Yes, I am.

15 Q. And are you familiar with the administrative
16 application and the action taken thereon by the Division
17 that has resulted in the matter being set for hearing?

18 A. Yes, I am.

19 Q. Have you made a geological study of the area
20 which is the subject of this Application?

21 A. Yes.

22 Q. Are you prepared to share the results of that
23 work with Mr. Ashley?

24 A. Yes.

25 MR. CARR: Mr. Ashley, we tender Mr. Cheney as an

1 expert witness in petroleum geology.

2 EXAMINER ASHLEY: Mr. Cheney is so qualified.

3 Q. (By Mr. Carr) Would you briefly state what it is
4 that John L. Cox seeks with this Application?

5 A. We'd like to drill a well in the southwest corner
6 of the northeast corner of Section 14, Township 12 South,
7 33 East, Lea County. It's an unorthodox location which we
8 applied for December 21st, 1999. Our letter of application
9 admittedly understates the geologic evidence that we really
10 had to support this application.

11 At the time we wrote the letter we were operating
12 under the terms and conditions of two or three years ago
13 when I last applied for a joint application. I understand
14 that during that time the policies regarding unorthodox
15 locations have changed, and I'm here today to provide the
16 additional evidence we need to justify this location.

17 Q. What is the name of the well which is the subject
18 of this Application?

19 A. It's the John L. Cox 14 A Number 1.

20 Q. And what is its footage location in Section 14?

21 A. It's 1330 from the north line and 2530 from the
22 east line of Section 14. And again, that's in the
23 southwest of the northeast in Section 14.

24 Q. Mr. Cheney, is Cox Exhibit Number 1 a copy of the
25 administrative application which was filed in this matter,

1 and attached to that as the last page of the exhibit, is
2 that the Oil Conservation Division's letter indicating that
3 the data submitted was insufficient and the case would be
4 set for hearing?

5 A. Yes.

6 Q. Could you review the additional work that you
7 have done since the last attempt to develop this acreage to
8 try and evaluate the reservoir and select a well location?

9 A. Well, our first mapping effort was based on a 3-D
10 survey we shot in 1996. That resulted in the drilling of
11 the John L. Cox 14 Number 1, located in the southeast
12 quarter of Section 14. We drilled that well and plugged it
13 in June, 1997. The well came in 200 feet low, it was a
14 velocity bust, we overran our AFE by 100 percent because we
15 twisted off, lost 5000 feet of drill pipe. It was just a
16 disaster.

17 It wasn't until June this year that I had the
18 fortitude to go back and take a second look at this thing.
19 At that time, we reloaded the data onto a higher powered
20 work station. We brought to bear a more sophisticated 3-D
21 interpretation program; it went from a 16-bit to a 32-bit
22 system. We also integrated the velocity control that the
23 dry hole provided, the John L. Cox 14, and there was some
24 show information from a drill stem test we ran in that dry
25 hole that we also integrated.

1 So in June we were able to use a new software
2 program, a higher powered work station, we had better
3 velocity control and a show in a shallower formation that
4 we heretofore had not mapped. From June to November, we
5 re-mapped it, tied it into nearby production and came up
6 with a portfolio of new maps, at which time I submitted it
7 to John L. Cox as a prospect idea. After some
8 consideration, they decided to take the idea, and at that
9 time they initiated the permit process.

10 And December 21st, of course, we filed our
11 letter. We were turned down December 22nd, and here we are
12 today.

13 Q. Would you go to what has been marked as Cox
14 Exhibit Number 2 and identify that, please?

15 A. This is an orientation land plat. It focuses on
16 Township 12 South, Range 33 East, and in yellow is
17 highlighted Section 14. The red dot with the arrow next to
18 it is our proposed location.

19 Q. Is the yellow acreage one State of New Mexico
20 lease?

21 A. Yes.

22 Q. And when does that lease expire?

23 A. That lease expires in 11 days.

24 Q. Do you have a rig available to drill this well?

25 A. It's waiting right now.

1 Q. And you're paying for the rig as we sit here?

2 A. Standby time.

3 Q. Now, this location is an interior location within
4 the State of New Mexico lease; is that correct?

5 A. Yes.

6 Q. On the dedicated 40 acres, it is only ten feet
7 from the north line of that tract; is that right?

8 A. That's correct.

9 Q. It's 110 feet from the west line; is that also
10 right?

11 A. Correct.

12 Q. Are there any offset operators that would be
13 adversely affected by this unorthodox well location?

14 A. No.

15 Q. Is the working interest 100-percent common?

16 A. Yes.

17 Q. And the royalty and overrides are also 100-
18 percent common?

19 A. Yes.

20 Q. There were no individuals to whom you had to
21 provide notice of this Application --

22 A. No.

23 Q. -- is that correct?

24 Now, this location has been selected based on the
25 data that you have recently acquired and the work you have

1 done integrating 3-D seismic into the other information you
2 had on the formation?

3 A. Correct.

4 Q. What is the primary objective in this well?

5 A. The Pennsylvanian formation.

6 Q. And is that in the Undesignated Bagley-
7 Pennsylvanian Pool?

8 A. Yes.

9 Q. As to well-location requirements and spacing
10 requirements, is this acreage governed by statewide rules?

11 A. Yes.

12 MR. CARR: There are special pool rules, Mr.
13 Examiner, in effect for the pool, but they do not address
14 spacing or well-location requirements; they address
15 basically the vertical intervals between the Bagley-
16 Pennsylvanian Pool and other Bagley-Pennsylvanian pools in
17 the area. It's a very old order, Order Number R-991.

18 Q. (By Mr. Carr) Mr. Cheney, are there secondary
19 objectives in the well?

20 A. Yes, there are, shallower objectives in the
21 Wolfcamp formation.

22 Q. Let's go to what has been marked for
23 identification as John L. Cox Exhibit Number 3. This is
24 your geologic montage, and it's a large exhibit. If you
25 would take it and spread it out, I would like first to

1 identify the component parts of the exhibit, and then we'll
2 work through it.

3 All right, Mr. Cheney, explain the various parts
4 of this exhibit.

5 A. This is a geologic montage that demonstrates the
6 prospect concept. It's what I showed John L. Cox to sell
7 the prospect idea.

8 Across the top is a geologic well-log cross-
9 section hung on a structural datum. And then there is a
10 3-D block diagram that puts this in a regional perspective.
11 It also places this in a depositional environment for our
12 primary objective. There is a structure map on top of the
13 primary objective, the Cisco/Canyon interval. And then
14 I've got two seismic lines on here, on the bottom right-
15 hand side of the montage.

16 Q. Let's go to the depositional model and just start
17 with that. Explain what that shows, and then move from
18 there to the cross-section.

19 A. Okay. This is more of a cartoon that I've
20 adapted from the literature for this prospect. It emplaces
21 our primary objective in a depositional framework to give
22 the viewer a sense of where we are geographically. We're
23 in northern Lea County. Geologically, we're on the edge of
24 the Tatum Basin. And we're on a trend with fields that
25 have produced out of Pennsylvanian- and Wolfcamp-aged

1 reservoirs that ring the Tatum Basin. The age of the
2 fields on this 3-D block diagram, as well as the primary
3 objective, are Pennsylvanian.

4 The cross-section across the top goes from the
5 north to the south. I'd like to draw your attention to the
6 John L. Cox well on the right-hand side of the cross-
7 section.

8 Q. Mr. Cheney, there's a trace for this cross-
9 section on the structure map, is there not?

10 A. Yes, there is.

11 Q. Okay.

12 A. And the John L. Cox State 14 Number 1 is located
13 on the structure map in the middle of the montage in the
14 southeast quarter of Section 14. And that, again, is a
15 well we drilled a couple years ago.

16 When we drilled that well, we encountered a show
17 in the Pennsylvanian section. It's highlighted in red with
18 that tall triangle there. And we drill stem tested it, it
19 recovered three barrels of free oil, some filtrate and some
20 formation water.

21 When we correlated that well into the field wells
22 north in Bagley, we found that that interval roughly
23 correlates to one of the main producing intervals in the
24 Bagley field.

25 Now, as we move north along the cross-section,

1 the next well we encounter is the Amerada Petroleum C.R.
2 Turner Number 1. It's a dry hole. I want to just briefly
3 point out a couple of things about the Turner well in
4 comparison to the John L. Cox well.

5 The interval between the blue marker and the
6 orange marker, the Cisco to the Canyon, is roughly the
7 same. The gamma-ray character is ratty, it's got some
8 carbonate and some what I've interpreted to be shale. It's
9 a mixed lithology section. They drill-stem tested the
10 Turner well and recovered water.

11 Now, as you move north to the next well, the
12 Western States Producing Company Simmon Number 1, a couple
13 things happen. You gain structure, the Cisco/Canyon
14 interval thickens, and you begin to see a change in
15 lithology from a ratty, mixed lithology section to a more
16 carbonate-dominated section. This well IP'd for 296
17 barrels a day from the Cisco/Canyon interval, 440,000 cubic
18 feet of gas. It cum'd 11,000 barrels and 20 million cubic
19 feet of gas.

20 As you can see on the cross-section, we move
21 further north into the field, we gain a little bit of
22 structure, and by the time we get to the last two wells on
23 the cross-section, our Cisco/Canyon interval has thickened
24 markedly from our John L. Cox well. The gamma-ray section
25 has gone from a ratty, mixed lithology section to a nice

1 clean carbonate signature, and you can see by the perf'd
2 intervals that we've developed porosity.

3 And so a lot of things have happened as we've
4 made the trek from the John L. Cox well north all the way
5 into the Bagley. We've thickened our interval, we've
6 increased the carbonate percentage, we've developed
7 porosity.

8 What the seismic in here has done is help us try
9 and model what might be happening to the reservoir between
10 Bagley and our Cox well.

11 The next two displays I want to -- or next two
12 pieces of this montage I want to draw your attention to are
13 these two seismic lines here. The first one, the John L.
14 Cox 14 line, which is on the bottom right-hand side of the
15 montage, is an east-west seismic line that goes through the
16 John L. Cox well.

17 There is a blue marker and an orange marker that
18 brackets a yellow-highlighted anomaly on this seismic line.
19 The blue-orange interval is the Cisco/Canyon interval that
20 we've just talked about on the well-log cross-section. The
21 drill stem test would be right in the middle of that
22 interval at the point of the John L. Cox well.

23 As we move west from that well, a couple things
24 start to happen in that interval. We see a sag on the
25 orange marker, we see the amplitude change from a high

1 amplitude black/white reflector to a dim low-amplitude
2 reflector, and we see the incipient beginnings of structure
3 on top of the blue, which is the Cisco marker.

4 We identified that anomaly when we went back and
5 did this re-work and started to look at different seismic
6 lines in this survey throughout the section and found this
7 signature actually improves significantly to the north.

8 The place where we optimize that improvement is
9 in this other seismic line I want to show you, and that's
10 the proposed well seismic line. That's an east-west line
11 that goes through our proposed location. Now, on this line
12 there are all the same attributes I just pointed out on the
13 Cox line, only they're a lot better developed. The sag is
14 significantly more, the structural change from the off-reef
15 facies to the reef facies is significant, and the amplitude
16 signature is remarkable compared to the Cox line. And the
17 isochron thickening is much thicker here.

18 These seismic attributes, I think, are
19 correlative to a change in lithology and a change in
20 porosity. And I think what it means is that we've gone
21 from a mixed lithology section to a carbonate section, and
22 that's what in part accounts for the amplitude anomaly.
23 What sets up high-amplitude reflectors is change in
24 lithology. If there's no change in lithology, there's no
25 change in amplitude.

1 And then secondly, if porosity develops it slows
2 down the velocity of the acoustic signal traveling through
3 the rock. And my hope is, and our interpretation is that
4 the reason we have this sag here is that we've developed
5 some porosity in there, and that's what's caused this thing
6 to sag on us, to give us an isochron thickening.

7 So these three attributes combined are what I've
8 used to find our best location on this prospect.

9 Q. When you look at these attributes, isn't it
10 possible that you have at this location reservoir that is
11 comparable to what you have shown to the north on the
12 cross-section, on the log to the left of the cross-section?

13 A. Yes.

14 Q. Now, you're talking about seismic attributes.
15 You're looking for the best attributes when you're trying
16 to pick a location; isn't that correct?

17 A. Yes.

18 Q. You've referenced three of them. What are those
19 three?

20 A. The three attributes are structure, isochron
21 thickening, which is the thickness of this carbonate
22 buildup, and amplitude, which is the signature that I think
23 is related to the lithology and development of porosity.

24 Q. Now, the first of those is structure. The
25 structure map, the seismic structure map, is shown on

1 Exhibit Number 3, correct?

2 A. Yes.

3 Q. And what does that show you?

4 A. The structure map is contoured on a 10-foot
5 interval. I've used the 3-D survey to generate this map,
6 as well as surrounding well data, and so it's a fully
7 integrated structure map.

8 The area highlighted in pink here is the area
9 that I think is prospective. You'll see three darker
10 pink -- or real prominent pink anomalies here, and those
11 are the three highest structural points in the section.
12 And the very highest structural point is where our proposed
13 location is, and this is one of the three criteria that
14 I've used to pick our location with.

15 Q. Are the other criteria shown on Exhibit Number 4?

16 A. Yes.

17 Q. Are you ready to go to that?

18 A. Yes, unless there are any questions on this.

19 EXAMINER ASHLEY: Not right now.

20 Q. (By Mr. Carr) Okay, let's take out John L. Cox
21 Exhibit Number 4, and again I'd ask you to identify what it
22 is, identify the component parts and then review it for Mr.
23 Ashley.

24 A. This is the other seismic montage on the
25 prospect. We've got three seismic lines on the bottom.

1 Two of them we've just reviewed, the seismic line going
2 through the John L. Cox 14 well and then the seismic line
3 going through the proposed well. And I've included a
4 seismic line further to the north going through a dry hole,
5 the Charles Turner well, which is there just for the
6 purpose to demonstrate that we think this anomaly pushes up
7 into the Bagley field.

8 At the top of the montage, I've got three maps on
9 here. Starting at the left, I've got an isochron map, and
10 an isopach and an amplitude map. And the point of this
11 display is to demonstrate that the prospect doesn't rest
12 solely on one attribute, on structure. On this particular
13 prospect, the key ingredients were structure, reservoir
14 development, which includes two features, really, the right
15 facies and then porosity developed within that facies.

16 So the first map is the isochron map, and it
17 measures the time interval between the blue marker, which
18 is the top of the Cisco, and the orange marker, which is
19 the top of the Canyon. And the thicker the time interval
20 is, the better developed I think the reef is and the more
21 prospective the acreage is.

22 And if you look on the contour map here, there
23 are several nice anomalies in this long, linear trend that
24 bisects the section. Again, our location is in one of the
25 most prominent of those anomalies, of those features.

1 So now we've got a structure map with three or
2 four bumps on it, an isochron map with three or four bumps
3 on it, we've optimized both the isochron now and the
4 structure map. When you convert the isochron to an isopach
5 by multiplying velocity times the time, a couple of those
6 nice features on the isopach get thinner.

7 At our location we expect to encounter 414 feet
8 of thickness between the Canyon and the Cisco. The next
9 anomaly to the south, by the number 14 there, is about 390
10 feet of thickness. The next anomaly is about 350 feet
11 thick, and then downdip about 325. And so, based on the
12 isopach map, there's only one location that exceeds 400
13 feet, and that's the location we've picked.

14 Now, the last attribute that I want to talk about
15 is this attribute regarding amplitude, which I think is
16 related to the amount of carbonate, the amount of reef we
17 have, and porosity development. And what that tries to
18 quantify is the amount of dimness we see, featureless,
19 thick character that's so prominent on the proposed well
20 line of seismic section here.

21 Now, on the amplitude map there's only one place
22 to drill, and that's within the 5000-foot contour. And so
23 when I sat down to pick this location a couple months ago,
24 I looked at the structure and I wanted to pick the highest
25 structural point, I wanted to get the best signature to

1 optimize what I thought was the reservoir, and then I
2 wanted to optimize isochron thickening and isopach
3 thickening.

4 And that's what this location does. There's no
5 other location that comes close to optimizing these
6 attributes like our proposed location does.

7 Now, if this thing comes in, you know, I'm
8 optimistic we can drill four or five more locations. But
9 right now our data set is production in Bagley two or three
10 miles away and one dry hole in our section that made three
11 barrels of free oil on a DST. So somewhere in between
12 there is a minimum threshold for commercial production, and
13 until we drill a well we aren't going to be able to
14 calibrate that. And I don't know if this entire feature is
15 productive or if our first well is going to find the only
16 commercial well on this trend.

17 And so it's got to be based on the geologic
18 attributes that I've tried to explain here.

19 Q. Mr. Cheney, in your opinion is this the absolute
20 best possible place to drill a well to test the
21 Pennsylvanian in this area?

22 A. Yes.

23 Q. There are no offset operators whose rights will
24 be adversely affected by the unorthodox location; is that
25 correct?

1 A. Yes.

2 Q. There are no owners. All working interest, all
3 royalty is all common?

4 A. That's correct.

5 Q. If you're able to drill and make a successful
6 well at this location, would it result in the recovery of
7 hydrocarbons that otherwise might be left in the ground?

8 A. Yes.

9 Q. In your opinion, will approval of this
10 Application be in the best interest of the conservation of
11 oil and gas?

12 A. Certainly.

13 Q. Do you have a rig you're paying for right now?

14 A. Yes.

15 Q. Do you request that the order in this case be
16 expedited?

17 A. I certainly do.

18 MR. CARR: Mr. Examiner, we would be happy to
19 provide a draft order following the hearing in this matter
20 if you desire.

21 EXAMINER ASHLEY: Yes, I would appreciate that.

22 Q. (By Mr. Carr) Mr. Cox -- Or Mr. Cheney, were
23 John Cox Exhibits 1 through 4 prepared by you or compiled
24 under your direction?

25 A. Yes.

1 MR. CARR: At this time, Mr. Ashley, we would
2 move the admission into evidence of John L. Cox Exhibits 1
3 through 4.

4 EXAMINER ASHLEY: Exhibits 1 through 4 will be
5 admitted as evidence.

6 MR. CARR: And that concludes my direct of Mr.
7 Cheney.

8 EXAMINATION

9 BY EXAMINER ASHLEY:

10 Q. Mr. Cheney, can you tell me how far from an
11 orthodox location this well is?

12 A. Well, I know we're ten feet, so it would be 220
13 and --

14 MR. CARR: 320.

15 THE WITNESS: And 220 and --

16 MR. CARR: 220 and 320, I believe. Yes.

17 THE WITNESS: There's something I might want to
18 mention at this point. I forgot to mention it earlier. I
19 drilled two wells in here with Mr. Cox. One of them was
20 further south and not germane to this discussion today.
21 But in both those wells we had difficulty keeping the
22 wellbore straight. And in the last well we had to put a
23 mud motor on it. These things -- I don't know if it's in
24 proximity to a major fault off to the east on the maps here
25 or what, but it's hard to keep our wellbore straight when

1 we drill these things.

2 And so the drilling contractor has committed to a
3 200-foot radius of deviation. And this location includes
4 that kind of error. I tried real hard to spot our location
5 in a legal location to prevent all this. When you add a
6 200-foot margin of error from drilling deviation and then
7 you add on top of that a couple hundred feet to get us to a
8 legal location, now we're moving up to 500 feet off of our
9 target.

10 And so it's not just a matter of moving a couple
11 hundred feet. We're already, quote, moving a couple
12 hundred feet just vis-a-vis the margin of error in making
13 sure we drill a straight hole. And when we push it over
14 another couple hundred feet or more, that expands it out to
15 almost 500 feet. And when you do that, when you draw a
16 circular radius around our optimum location of 500 feet,
17 we're out of the money, on the structure, on the isopach,
18 on the isochron and the amplitude.

19 So I kind of tried to think through that end.
20 What will it take to get us legal here? And I just felt
21 like the risk was unacceptable.

22 Q. (By Examiner Ashley) It looks like for this to
23 be a legal location you'd have to move to the east and to
24 the south --

25 A. Yes.

1 Q. -- is that correct?

2 On the isopach map, if you move to the east, you
3 might encounter more -- a different porous zone. But then
4 on the structure map, which is Exhibit 3, it looks to me
5 like if you move to the east you're going to be moving off
6 the structure. Is that the way you see that?

7 A. Yes.

8 EXAMINER ASHLEY: I have nothing further. Thank
9 you.

10 THE WITNESS: Thanks for your time.

11 MR. CARR: Mr. Examiner, that concludes our
12 presentation in this case.

13 With your permission, I will submit a proposed
14 order, depending on the length of today's hearing, either
15 late this afternoon or tomorrow morning.

16 EXAMINER ASHLEY: I would appreciate that.

17 There being nothing further in this case, Case
18 12,328 will be taken under advisement.

19 (Thereupon, these proceedings were concluded at
20 10:00 a.m.)

21 * * *

22 I do hereby certify that the foregoing is
23 a complete record of the proceedings in
24 the Examiner hearing of Case No. 12328,
25 heard by me on 1-20-49 2000

Mark Bahls, Examiner
Oil Conservation Division

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL January 24th, 2000.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 2002