

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
APPLICATION OF TAMARACK PETROLEUM)
COMPANY, INC., FOR AN UNORTHODOX)
SUBSURFACE OIL AND GAS WELL LOCATION,)
LEA COUNTY, NEW MEXICO)

CASE NO. 12,378

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MARK ASHLEY, Hearing Examiner

April 20th, 2000

Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MARK ASHLEY, Hearing Examiner, on Thursday, April 20th, 2000, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

April 20th, 2000
Examiner Hearing
CASE NO. 12,378

| | PAGE |
|-------------------------------------|------|
| EXHIBITS | 3 |
| APPEARANCES | 3 |
| APPLICANT'S WITNESSES: | |
| <u>ROBERT W. PALMER</u> (Geologist) | |
| Direct Examination by Mr. Kellahin | 6 |
| Examination by Examiner Ashley | 24 |
| <u>HAL GILL</u> (Engineer) | |
| Direct Examination by Mr. Kellahin | 26 |
| Examination by Examiner Ashley | 33 |
| REPORTER'S CERTIFICATE | 38 |

* * *

E X H I B I T S

| Applicant's | Identified | Admitted |
|-------------|------------|----------|
| Exhibit 1 | 7 | 23 |
| Exhibit 2 | 8 | 23 |
| Exhibit 3 | 13 | 23 |
| Exhibit 4 | 15 | 23 |
| Exhibit 5 | 17 | 23 |
| Exhibit 6 | 17 | 23 |
| Exhibit 7 | 17 | 23 |
| Exhibit 8 | 20 | 23 |
| Exhibit 9 | 27 | 33 |
| Exhibit 10 | 27 | 33 |
| Exhibit 11 | 29 | 33 |
| Exhibit 12 | 31 | 33 |
| Exhibit 13 | 32 | 33 |
| Exhibit 14 | 33 | 33 |

* * *

A P P E A R A N C E S

FOR THE DIVISION:

LYN S. HEBERT
 Attorney at Law
 Legal Counsel to the Division
 2040 South Pacheco
 Santa Fe, New Mexico 87505

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
 117 N. Guadalupe
 P.O. Box 2265
 Santa Fe, New Mexico 87504-2265
 By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 9:42 a.m.:

3 EXAMINER ASHLEY: At this time the Division calls
4 Case 12,378.

5 MS. HEBERT: Application of Tamarack Petroleum
6 Company, Inc., for an unorthodox subsurface oil and gas
7 well location, Lea County, New Mexico.

8 EXAMINER ASHLEY: Call for appearances.

9 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
10 the Santa Fe law firm of Kellahin and Kellahin, appearing
11 on behalf of the Applicant, and I have two witnesses to be
12 sworn.

13 EXAMINER ASHLEY: Any other appearances? Will
14 the witnesses please rise to be sworn?

15 (Thereupon, the witnesses were sworn.)

16 MR. KELLAHIN: Mr. Examiner, Tamarack seeks your
17 approval of this proposed well. It is intended to be at an
18 unorthodox subsurface location. We'll see from the
19 evidence as it's being presented that the primary objective
20 is to re-enter the Anadarko Hood well and redirect this
21 wellbore to a bottomhole location in the Strawn formation,
22 in an attempt to maximize both the thickness of the Strawn
23 and the structural position. The proposed bottomhole
24 target will be at an unorthodox location.

25 In addition, Tamarack seeks the opportunity to

1 deepen the well an additional 600 feet below the Strawn
2 formation, in an effort to test for the possibility of
3 Atoka gas production.

4 If that is successful, then Tamarack will seek to
5 dedicate the east half of this section as a standard 320-
6 acre tract, to be dedicated to the well, and it has the
7 possibility of being too close to the western boundary of
8 that spacing unit.

9 As you know, the deep gas side boundary rules are
10 660 feet from the side boundary. The bottomhole target, as
11 we will demonstrate on the displays, could be at a location
12 428 feet from the west line.

13 In addition, Tamarack seeks the opportunity to
14 have a bottomhole target, the radius of which is 110 feet
15 around this location, to allow them the flexibility to
16 directionally drill this well, but to do so within an
17 appropriate means of restriction.

18 This Application was originally filed some time
19 ago administratively and would have been approved
20 administratively but for the fact that the deep gas Atoka
21 production would be closer than 660 to the side boundary,
22 and Mr. Stogner has required us to come to a hearing.

23 I wish to share with you our concern about the
24 processing of the request. Tamarack has leases that begin
25 to expire on the 27th of this month, and then others

1 expiring next month. I recognize that's not your problem,
2 but it's our dilemma, and we would ask that if you seek to
3 approve this that you seek to do so in an expedited
4 fashion.

5 I have two witnesses to present to you.

6 Mr. Bob Palmer is a consulting geologist. This
7 is Mr. Palmer's prospect. This is his concept for how to
8 access one of these small algal mound Strawn reservoirs
9 that you and other Examiners are now seeing come before
10 you. It is principally scribed based upon 3-D seismic
11 work.

12 In addition, Mr. Hal Gill is one of Tamarack's
13 engineers. He's the second witness, and he'll talk about
14 the engineering components.

15 So with your permission, we'll ask Mr. Palmer to
16 begin his testimony by stating his name and for whom he is
17 employed.

18 THE WITNESS: Good morning.

19 EXAMINER ASHLEY: Good morning.

20 ROBERT W. PALMER,

21 the witness herein, after having been first duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. KELLAHIN:

25 Q. Please state your name and occupation, sir.

1 A. Robert W. Palmer, petroleum geologist.

2 Q. And where do you reside, sir?

3 A. Midland, Texas.

4 Q. On prior occasions, have you testified before the
5 Division?

6 A. No, I have not.

7 Q. When and where did you obtain your degree in
8 geology?

9 A. Waynesburg College, 1977.

10 Q. As part of your duties as a petroleum geologist,
11 have you made an investigation of the geologic data and
12 come to geologic conclusions about the opportunity to test
13 for Strawn Oil Production in Section 8?

14 A. Yes, I have.

15 Q. Are we about to see your recommendations and
16 conclusions concerning the opportunity to re-enter the
17 Anadarko well?

18 A. Yes, that is what I'm going to attempt to do.

19 MR. KELLAHIN: All right, sir. We tender Mr.
20 Palmer as an expert witness.

21 EXAMINER ASHLEY: Mr. Palmer is so qualified.

22 Q. (By Mr. Kellahin) Mr. Palmer, to orient the
23 Examiner as to where we are, would you please take what
24 we've marked as Exhibit Number 1, which is an area locator
25 map, and within Section 8 identify for Mr. Ashley the

1 subject well and its proposed re-entry.

2 A. Yes, we're located in 17 South, 38 West, in Lea
3 County, New Mexico. As you notice in red is the surface
4 location of the Anadarko Hood well, which was drilled in
5 1989 and plugged as a dry hole.

6 As you see in green, is the approximate
7 bottomhole location that we are going to attempt, the
8 actual target that we're going to hit, for reasons that I
9 will specify a little more -- in a minute here, a little
10 more specifically. But if you'll notice that to the south
11 there is an old Signal and McAlester Toklan Royalty well,
12 which was dry and abandoned in 1955, which was a deep
13 Devonian test, and again in the west half of the section is
14 an Anson Gibson, which was dried and abandoned in 1994.

15 Q. Let me have you turn to Exhibit Number 2. Let me
16 ask you some questions about this display. First of all,
17 the information that is superimposed on the base map, we'll
18 discuss in a moment. This base map is what, sir?

19 A. This base map was generated by myself and my
20 partner on our 3-D work station. It is a time map, which
21 is taken from our 3-D seismic data that was loaded onto our
22 database. As you can see, the location of the Anadarko
23 Hood well, which is our re-entry candidate, and our
24 bottomhole location.

25 Q. Let me ask you this about the Anadarko well.

1 A. Okay.

2 Q. Was it drilled deep enough to penetrate to and
3 through the Strawn formation?

4 A. Yes, it was.

5 Q. In addition, was it drilled deep enough to also
6 penetrate the Atoka?

7 A. Yes, it was.

8 Q. Approximately what is the vertical distance
9 between the base of the Strawn before you get to the Atoka?
10 How many approximate feet are you dealing with?

11 A. About 350 feet, I think, is pretty close. We'll
12 see it on Exhibit 8 in a minute, a little closer. I don't
13 want to say the exact number, but it's around there.

14 Q. Scribed on top of the top of Strawn structure map
15 are two 40-acre tracts, one above the other, and the
16 Anadarko well is located within Unit Letter B of Section 8;
17 is that not true?

18 A. That's correct.

19 Q. All right. There's an area that's dashed in a
20 blue line, and there is an identification indicating a
21 possible oil-water contact. Do you see that, sir?

22 A. Yes, sir.

23 Q. Is that your interpretation that's been displayed
24 on this exhibit?

25 A. Yes.

1 Q. All right. Was the Anadarko well successful in
2 its efforts to produce Strawn oil?

3 A. The Anadarko well is obviously one of the reasons
4 why we are in this area. The Anadarko well was not drilled
5 with the advantage of having three-dimensional seismic
6 data. And the Anadarko Hood well penetrated the Strawn and
7 encountered one or more, depending, of these phylloid algal
8 mounds which had porosity in them.

9 Anadarko thought enough of it where they ran
10 casing through this zone, and they, in a succession of
11 trying to complete this well, perforating, setting bridge
12 plugs and coming up because of the structural position at
13 the bottomhole location of the Anadarko Hood well, was
14 structurally too low to produce water-free out of the
15 Strawn. They did have a certain amount of oil, along with
16 copious amounts of water.

17 So it was not feasible at the time for Anadarko
18 to complete in this area. It's relatively a fairly wild
19 area in here, there's not a whole lot of production within
20 a stone's throw.

21 Q. Subsequent to the Anadarko well, then, 3-D
22 seismic data has been accumulated and has been analyzed,
23 true?

24 A. Yes.

25 Q. What is your conclusion about the reason the

1 Anadarko well failed to produce oil in the Strawn?

2 A. As further exhibits will state a little better,
3 but quite frankly, it's just at a lower structural position
4 than what our three-dimensional seismic data tells us that
5 we can achieve at the bottomhole location relative to the
6 Anadarko well, i.e., a much higher structural position.

7 Therefore, using the blue-dashed line you see
8 present on the exhibit, we are making the assumption that
9 the Anadarko Hood is at the present oil-water contact of
10 this feature. Being that it is apparent that it is a
11 completely convex or closed feature, we are assuming that
12 there is substantial amounts, or at least economic amounts
13 of oil trapped in this reservoir, in this closure.

14 Q. Will approval of the proposed unorthodox
15 bottomhole location in the Strawn give Tamarack the
16 opportunity to access that reservoir at its optimum
17 position?

18 A. To the limits of the ability of our seismic, that
19 would be the optimum location for us to bottomhole out
20 because of the limitations of our seismic, which the target
21 area is limited to, is 110 feet.

22 Q. Can you achieve the point of greatest structural
23 height and maximum reservoir thickness at a standard
24 location in a 40-acre tract?

25 A. No, we cannot.

1 Q. Okay. Let's talk about the 110-foot radius
2 around the bottomhole location. You were talking about the
3 accuracy of the data at this point.

4 A. Yes, sir.

5 Q. Am I clear in understanding that the method of
6 developing this data gives you a square grid system, the
7 side boundaries of which are no less than 110 feet?

8 A. That is correct.

9 Q. So within the accuracy of the data then, the
10 point of greatest structural height and reservoir thickness
11 is at a point which could have a radius of up to perhaps
12 110 feet?

13 A. Correct.

14 Q. If we achieve that flexibility in trying to hit
15 this target, it approximates an area around this location
16 within the smallest control contour line on this display;
17 is that not true?

18 A. Yes, it's as close to being true as we can get,
19 yes.

20 Q. All right, sir. Is this Strawn opportunity
21 unique to this portion of Section 8, or is this part of a
22 consistent pattern of activity by other operators to access
23 and produce Strawn oil?

24 A. It is a standard procedure anymore. Some of the
25 subsurface methods that are used to narrow down your area

1 to get your 3-D done so you can find these may be
2 different, but in essence the ultimate goal to find these
3 relatively small features, if you would, it is --
4 ultimately, 3-D seismic is the way to go on these.

5 There are prudent operators in this particular
6 area that will drill 14-acre features around for these
7 things, and it's guys that's pretty gutsy at 11,000-plus
8 feet. But because of the nature of this reservoir and the
9 sometimes very prolific nature of these phylloid algal
10 mounds, it is worth the effort and the expense to get to a
11 specific spot to maximize what you can achieve out of --

12 Q. Mr. Palmer, to illustrate this point, let me
13 direct your attention to Exhibit Number 3 --

14 A. Okay.

15 Q. -- and without explaining it in detail, we are
16 now looking at your map of the gross Strawn isopach in this
17 general area, are we not?

18 A. Yes, we are.

19 Q. The purpose of these different small, irregular-
20 shaped features, which are identified in yellow, is to show
21 the Examiner your opinion as to the size and the shape of
22 these other algal mound Strawn features; is that not true?

23 A. Yes, it is.

24 Q. Is what you see over in the upper right-hand
25 corner of the Exhibit in Section 8, where we have the

1 Anadarko Hood well and its feature, is it similar in terms
2 of the size and shape as we see other Strawn wells being
3 produced farther to the west?

4 A. Yes, it is. It seems, in my examination of
5 hundreds of wells in this area and in others for this same
6 formation, the same genetic type of rocks and porosity
7 development and everything, that there are certain rules of
8 thumb that adhere to making substantial production out of
9 these features, and I think it's evident by looking at the
10 map that our Anadarko Hood well, of having a -- 202 feet of
11 a total Strawn section, is just about -- and of course, the
12 subsurface holds up with the seismic now -- is just about
13 the cutoff point of making economic oil out of the
14 Strawn.

15 As you can see, some of the better, more tightly
16 contoured features on the west edge of the map are all in
17 excess of 200 feet.

18 Q. Okay. The strategy of using Exhibit Number 3,
19 then, is to find a point of greatest thickness, and that if
20 you have less than 200 gross feet, the probability is that
21 despite hitting the reservoir, it's not going to produce
22 oil?

23 A. Yeah, that's a real good word, the probability.
24 This is basically a probability-type map, where you can cut
25 your odds. By that it tells you where to go in a lot of

1 cases, to go and shoot 3-D, to narrow this down to where
2 you can really shoot for them, because they are small, and
3 they are hard to find. We'll see in some other exhibits
4 also.

5 Q. To further illustrate to the Examiner how
6 important it is to position these wells based upon current
7 available 3-D seismic data at the point of greatest
8 thickness and structural height, let's look at Exhibit 4.

9 A. Okay.

10 Q. In addition to thickness -- I'm sorry, thickness
11 alone is not going to tell you if you're going to get a
12 successful well, true?

13 A. It's not the only point, no. There's many
14 factors that go into it, but --

15 Q. The quality of that reservoir, in addition to its
16 thickness, is going to have a direct correlation to the
17 quality of the well?

18 A. Yes, exactly.

19 Q. How do you as a geologist take the gross map and
20 further refine it in an effort to take into consideration
21 the quality of the reservoir?

22 A. Well, I think if you lay the exhibits down next
23 to each other, you'll see that the picture starts to get
24 smaller, okay, when you get -- What I've done is, and it's
25 a very common practice, I'm sure I'm not the only one who

1 does it, but I've done it in many other plays all in the
2 Strawn formation.

3 After you've come up with some gross Strawn
4 isopachs or thickness maps, if you would, the way to hone
5 these down to tell you the absolute most you can about a
6 reservoir, what I'll do is, as in this exhibit in front of
7 you now, is, I will take a clean carbonate map, and that --
8 I use a certain API unit on the gamma ray, which is my
9 cutoff point.

10 Anything that is, quote, over or greater than 30
11 API units is usually not considered a clean carbonate in
12 this formation, and that comes from thousands of logs I've
13 looked at. And of course under 30 is usually an indication
14 of what's called a cleaning carbonate or a showing upwards
15 carbonate like these are, and of course getting more mound
16 in it. These areas have sometimes multiple mounds just
17 within this Strawn section.

18 So what Tom was saying is very true. You
19 increase the probability with a number of things. The
20 thicker your entire Strawn section is, the more probability
21 you have of having more cleaner carbonate, hence more
22 opportunity of having greater reserves in the Strawn
23 reservoirwise.

24 The third thing you still need is structural
25 advantage, of which we'll get to in a second on the 3-D.

1 Q. Up to this point, then, adding in the gross area
2 and net clean carbonate analysis, the proposed unorthodox
3 location is the optimum place to penetrate this Strawn
4 feature?

5 A. Yes, sir, I believe that it is.

6 Q. Now, let's look at the third part, which is your
7 analysis of the 3-D data --

8 A. Okay.

9 Q. -- and let's look at all three exhibits together.
10 If you'll start with Exhibit 5 --

11 A. Okay.

12 Q. -- it gives you two orientation lines, one north-
13 south, one east-west, and let's put those lines out.

14 Exhibit 7 is the east-west line, and Exhibit 6 is
15 the north-south line, correct?

16 A. Correct.

17 Q. All right. The end result of the analysis shows
18 you that your conclusion is the proposed unorthodox
19 locations at the point of greatest structural height?

20 A. It is at, in our opinion, the apex of structural
21 advantage to the Anadarko Hood well, yes.

22 Q. Let's take Exhibit 6. You've superimposed on a
23 vertical red line the location of the re-entry directional
24 well, right?

25 A. Yes, sir.

1 Q. When it intersects the color-coded area in the
2 Strawn, what does it show you at that position?

3 A. It shows, as you can see, superimposed on the
4 seismic record section itself, spotted in is the -- you see
5 on the north side is the Anadarko-Hood location projected
6 down to the Strawn formation, and then on the south end of
7 the line is the old Devonian test, the Toklan Royalty well.

8 And what we can gather from looking at this line
9 is that there is an obvious structural advantage position
10 going south and west from the surface location of the
11 Anadarko Hood, which remember we're considering somewhat of
12 an oil-water contact well because it did make some oil
13 along with copious amounts of water, to a much more
14 positive structural position at our proposed BHL.

15 And then of course down to the south we tie the
16 Toklan Royalty well, which, if you'll look at the other,
17 previous exhibits, is both a thin Strawn well and a tight
18 Strawn well, and I think it's very evident by the thickness
19 of the reflector that we have labeled "Strawn".

20 Q. Let's take a moment now and look at the east-west
21 line.

22 A. Yes, sir.

23 Q. That's line 138 --

24 A. Line 138.

25 Q. -- Exhibit 7. It's got the same vertical line

1 showing how you project the position of the Anadarko well
2 as re-entered, and when it penetrates the Strawn, show us
3 why that's an advantage at that point in the Strawn as
4 opposed to somewhere else?

5 A. Tom, on 138, are we saying?

6 Q. Yes, sir.

7 A. Okay, we do not have the Anadarko well projected
8 in on that.

9 Q. No, I'm sorry, the re-entry of your Anadarko --

10 A. Oh, yes.

11 Q. -- well, which is the subject well.

12 A. Okay. I think again, from an east-west position
13 we can see very obviously that following the marker colored
14 in blue -- and the black reflector is our mapping point,
15 the peak is what we call it -- if you notice, going from
16 west to east we have a very tight, thick peak. We climb up
17 onto our proposed bottomhole location, which is our
18 phylloid algal mound. We not only get a thinning of that
19 peak, which is what we call an interphase or a breakup in
20 the interphase, and then going west again we see that it is
21 again not only downdip, but we again start to get a thicker
22 peak in there, indicating thinner, lower, tighter rock.

23 Q. So when you analyze all the 3-D data and examine
24 this feature in both dimensions, east-west, north-south,
25 it's your conclusion that the proposed bottomhole location

1 as we've requested, gives you the opportunity to penetrate
2 that feature at its greatest height?

3 A. Yes, Tom, it does. It seems to be that that is
4 the best spot that we can find on 3-D to bottomhole
5 location this and make a Strawn completion.

6 Q. Finally, Mr. Palmer, let's turn to Exhibit 8 and
7 illustrate to the Examiner your opinion concerning the
8 opportunity to utilize this wellbore to test for the
9 possibility of Atoka production. If you'll take a moment
10 and unfold the display. You've got a four-well
11 stratigraphic cross-section, sir; is that not true?

12 A. Yes, that is correct.

13 Q. All right. And the Anadarko well is on the far
14 right. That's the re-entry well, the Hood 8, right?

15 A. Yes, sir.

16 Q. All right. Let's take a moment. You can see
17 where they attempted to test for Strawn production, you've
18 color-coded the perfs, and off to the right on that track
19 you've shaded blue for the possibility of Strawn. Where
20 does this wellbore intersect what you believe to be a point
21 correlative to the Atoka sand?

22 A. As we can see, keep in mind, Mr. Ashley, this is
23 a stratigraphic cross-section, hung below the Strawn. This
24 is done for a number of reasons. It shows what we want to
25 show in the Strawn, and it also shows what we want to show

1 in the Atoka. A structure section would not have sufficed
2 for what we're trying to show.

3 As we can see in the Anadarko well, this well
4 penetrated the Atoka to the upper Mississippian, which is a
5 carbonate, so we're going from a shale to a carbonate.

6 If you'll notice, the Anson Gibson well, which is
7 the second well from east to west on the cross-section, if
8 you'll notice, they did not penetrate the Atoka. So we
9 don't know exactly what the Atoka did in that well, because
10 they did not penetrate the entire Atoka; they TD'd
11 somewhere in it. We can tell by log response in there on a
12 pickup on the gamma ray, we know they didn't get out of it.

13 But the interesting well is this, and this is
14 basically our idea for coming to you on this. If you'll
15 look at the third well from your right on the cross-
16 section, you'll see it's the Nearburg Stillings well. This
17 well is in -- It's an extremely low structural well. I
18 think you can see we're looking somewhere 600 feet deeper
19 than we're wanting to go. It's a structurally low well,
20 very low, by the way. You can see in relation of the upper
21 Mississippian section in the Stillings well to the upper
22 Mississippian point on the Anadarko well, our re-entry
23 well, our proposed re-entry well.

24 If you'll notice the difference in thickness
25 between those two, well, the structural position of this

1 Stillings well is also so low it's what's called in a rift-
2 faulted system, it's in a real hole. Okay?

3 Now, what we notice about the Stillings well is,
4 being that it is in a hole, in a low, this low structural
5 position afforded the opportunity of clastics or
6 transported material to be preserved in that low.

7 But as we go east out of this low, we are
8 projecting in strictly economics, because we're already
9 going to be at a certain point to test our Strawn, which is
10 our primary objective, of course, strictly economics -- I
11 think Hal will know the numbers better than me exactly what
12 it is, but -- and I think you can see, the theory is, and
13 since we know that things are offlap from bottom up, okay?
14 I think we can see that there's a couple sands here that
15 might carry over into -- presumably below our Strawn at
16 this bottomhole location.

17 Q. Mr. Palmer, is it fair to characterize the Atoka
18 opportunity at your location to be very risky and can only
19 be engaged in, in conjunction with the Strawn well and
20 would not support drilling to the Atoka by itself?

21 A. No, it's my opinion that this section would never
22 get looked at if anybody had to drill from top to bottom on
23 it. I think the only way that we can ever evaluate the
24 potential of these Atoka clastics in this area would be to
25 test it in a much less expensive re-entry well that we

1 already have our primary objective being the Strawn above,
2 with good evidence.

3 Q. In order to find the nearest Atoka production,
4 you'll have to go some two miles, I think, to the west
5 before you find a wellbore that will do that?

6 A. Yeah, there are a few Atoka completions off to
7 the west in the -- on the west side, Mr. Ashley, on the
8 west side of what I have colored purple, the rift and
9 wrench zone. That field over there is not one field. I
10 mean, it's a complex of fields. And there are a few Atoka
11 wells. They are predominantly oil and gas wells. They do
12 make some casinghead gas with them.

13 We are in a structurally higher position on the
14 east side of the wrench or the rift system, so it is an
15 assumption that we would be a little gassier than those
16 wells on the west side of the wrench, and that's all,
17 basically, our contention is.

18 MR. KELLAHIN: Mr. Ashley, that concludes my
19 examination of Mr. Palmer. We move the introduction of his
20 Exhibits 1 through eight.

21 EXAMINER ASHLEY: Exhibits 1 through 8 will be
22 admitted as evidence at this time.

23 THE WITNESS: Any questions or anything I can
24 help you with?

25 EXAMINER ASHLEY: Yes, just a minute, sure.

EXAMINATION

1
2 BY EXAMINER ASHLEY:

3 Q. Can you explain again, Mr. Palmer, why you wanted
4 the 110-foot radius for the bottomhole?

5 A. Yeah, it's -- I think the best way to explain
6 that would be to look at Exhibit 2.

7 Q. Okay.

8 Q. The way this data is shot, this particular batch
9 of data, if you will, are shot on 110-foot intervals. In
10 other words, 110 feet between receivers. Okay? And
11 basically what you have is the tolerance of the data will
12 just be a 110-foot square. We can't define anything any
13 more than that, because that is where our lines and traces
14 are laid down. Okay? And anything smaller than that is
15 beyond the tolerance of this particular data.

16 Therefore, a 110-foot radius around is the best
17 we can do to optimize. We know where our optimum spot
18 should be, and we actually are asking for that leeway in
19 there so we can -- We can't get any more accurate than
20 that, is basically what we're saying.

21 Q. Now, when you directionally towards your
22 bottomhole, in addition you're going to go another 600
23 feet?

24 A. Yes, sir.

25 Q. Is that going to TD in the Atoka?

1 A. Yes, we would like to go through the Atoka to TD.
2 As soon as we get carbonate back, we'll know -- back in
3 samples is what I mean -- we'll know that we have
4 penetrated the entire Atoka section and are now in the
5 upper Mississippian, and that is completely sufficient to
6 test anything that we need to look at as far as the Atoka.

7 We'll be coming from clastics into carbonates,
8 and we'll know like that by a number of petrophysical
9 techniques, i.e. drill time, samples, everything. We'll
10 know exactly where we are. We can get pretty close right
11 now just guessing, so...

12 Q. Okay. Can you answer any questions regarding
13 notification of offset operators or anything like that?

14 A. No, sir, I can't.

15 EXAMINER ASHLEY: Do you have a witness for that,
16 Mr. Kellahin?

17 MR. KELLAHIN: Yes, sir, we do.

18 EXAMINER ASHLEY: Okay, I have nothing further.
19 Thank you, Mr. Palmer.

20 THE WITNESS: Well, thank you.

21 MR. KELLAHIN: Mr. Ashley, our next witness is
22 Mr. Hal Gill.

23 MR. GILL: Good morning, Mr. Ashley. Good
24 morning ma'am.

25 EXAMINER ASHLEY: Hello.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

HAL GILL,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Gill, for the record, sir, would you please state your name and occupation?

A. My name is Hal Gill. I'm a district engineer for Tamarack Petroleum Company in Midland, Texas.

Q. On prior occasions, have you qualified as an expert witness in petroleum engineering before the Division, Mr. Gill?

A. Yes, sir, I have.

Q. Pursuant to your employment on behalf of Tamarack, have you made yourself familiar with the various engineering aspects of this Application?

A. Yes, sir, I have.

Q. Does your effort of involvement include reviewing the proposed method by which this well will be entered and drilled to the proposed bottomhole locations that Mr. Palmer has described?

A. Yes, sir, it has.

Q. In addition, are you aware of the efforts that Tamarack has engaged in, in identifying the various parties to whom notice was sent of this Application?

1 A. Yes, sir, I am.

2 MR. KELLAHIN: We tender Mr. Gill as an expert
3 witness.

4 EXAMINER ASHLEY: Mr. Gill is so qualified.

5 Q. (By Mr. Kellahin) Mr. Gill, let me turn your
6 attention to Exhibit Number 9. Would you identify that for
7 the record?

8 A. That is simply the Application for permit to
9 drill the -- and re-enter the Hood 8 Number 1 well.

10 Q. Let's turn to Exhibit 10, which is the C-102, and
11 to show the Examiner the particular specific aspects. The
12 surface location, as demonstrated on the survey plat, is at
13 what point, sir?

14 A. The surface location is located by the surveyors
15 that we had to go out and locate this particular location,
16 shown as 859 feet from the north and 1981 feet from the
17 east line, which is a standard location within Unit B.

18 The proposed bottomhole location is south 35
19 degrees west, a distance of approximately 395 feet from
20 that surface location.

21 Q. To the best of your knowledge, Mr. Gill, will
22 this location access the Strawn reservoir at the point of
23 greatest thickness and at greatest structural height, based
24 upon Mr. Palmer's analysis?

25 A. Yes, sir.

1 Q. If that occurs, then, this well will be 40-acre
2 oil spacing in the Strawn, to the best of your knowledge?

3 A. That is correct. I would expect, though, that
4 should we find Strawn production, that we would come back
5 and ask for an 80-acre proration unit at that time.

6 Q. Are you aware of the ownership in the northeast
7 quarter of this section, in terms of whether it is uniform
8 for each of the four 40-acre tracts in that quarter
9 section?

10 A. Yes, sir, we have determined that ownership in
11 the northeast quarter is uniform.

12 Q. So if the oil well encroaches to the south
13 boundary of Unit Letter B, it encroaches on the same owners
14 that are sharing in the production on 40-acre spacing?

15 A. That is correct.

16 Q. When we look to the western boundary, if you
17 precisely hit this bottomhole target, then the west
18 boundary will be 428 feet?

19 A. That is correct.

20 Q. And that would be a standard location for 40-acre
21 oil, true?

22 A. That is true, yes, sir.

23 Q. However, it would be an unorthodox location if
24 you are successful in producing any of the Atoka gas?

25 A. That is correct.

1 Q. All right. Has Tamarack caused a search to be
2 made of the public records concerning the various working
3 interest owners and unleased mineral owners in the west
4 half of this section?

5 A. Yes, sir, we have.

6 Q. And you have provided me that list for purposes
7 of notice?

8 A. That is correct.

9 Q. Let's turn to the mechanics of how you're going
10 to do this re-entry. If you'll look at Exhibit 11, let's
11 have you start with the 110-foot-radius target described by
12 the circle, and describe for Mr. Ashley what you're
13 proposing to do with the 110-foot-radius target area.

14 A. Exhibit 11 is the well profile data showing the
15 directional profile that we plan for this particular well.
16 The requested permitted area, shown as the 110-foot-radius
17 circle around the bottomhole target location, as Mr. Palmer
18 previously testified, this is the degree of accuracy of the
19 3-D survey. So in order to not expend considerable amount
20 of money trying to direct this location to a specific
21 point, we would like to have the latitude to have a 110-
22 foot radius around that particular point.

23 Q. If that is approved, then, on the notation next
24 to the circle it would show that that area could be as
25 close as 318 feet from the west line of the 40-acre tract?

1 A. That is correct.

2 Q. And could be as close as 36 feet to the south
3 boundary of the 40-acre tract?

4 A. That is correct.

5 Q. Let's look at the far left side of the display
6 and have you describe for us how Tamarack proposes to re-
7 enter this well and directionally drill it.

8 A. Tamarack, in order partially to save money in
9 drilling this well, proposes to utilize the existing casing
10 and surface location for the original Anadarko Hood well.
11 We propose to drill out the cement plugs in the 8-5/8-inch
12 casing, which is set at 4490 feet with the cement
13 circulated to the surface.

14 And after we drill those plugs out, we propose to
15 intentionally deviate that hole away from the original
16 borehole, gradually building an angle up to eight degrees
17 in a southwesterly direction towards the bottomhole target,
18 and hold that eight-degree angle to -- almost to the
19 target, and then allow the hole to go back to vertical,
20 which it will naturally want to do if we cease holding that
21 angle with directional tools, and then allow the well to go
22 vertical at approximately 8300 feet, and drill from there a
23 straight hole through the penetration point above the
24 Strawn and the Atoka formations.

25 Q. So if the Examiner approves this bottomhole

1 target with this 110-foot radius for the Strawn, because
2 the wellbore is vertical as it accesses the Atoka, the
3 approval for the Strawn will be applicable to the Atoka?

4 A. That is correct, yes, sir.

5 Q. Let's turn to the Atoka opportunity. Is Exhibit
6 12 your summary of your justification for utilizing this
7 wellbore to test for any Atoka gas?

8 A. Yes, sir.

9 Q. What have you concluded, Mr. Gill?

10 A. The conclusion from Exhibit 12, based on the
11 economics of drilling a stand-alone well, versus the
12 economics of simply taking the proposed bottomhole location
13 600 feet deeper in order to penetrate through the Atoka
14 requires only a difference to casing point of approximately
15 \$33,000, and, should the well be completed in the Atoka, an
16 additional \$5000, for a total of \$38,000 to test the idea
17 that there is a possibility of Atoka production at this
18 location.

19 And our conclusion in regard to that is that if
20 we're allowed to penetrate the Atoka at this location, we
21 will indeed test it for the potential of gas production at
22 this location. However, we would not be willing to drill a
23 well on a stand-alone basis to simply test the Atoka.

24 So we're requesting permission to drill deeper
25 and test the Atoka in this wellbore.

1 Q. Directing your attention to Exhibit Number 13, is
2 13 a compilation of the various transmittals to me of your
3 documentation and efforts to determine the ownership in the
4 affected area that would be entitled to notice of this
5 Application?

6 A. Yes, sir, it is.

7 Q. And how did you achieve this?

8 A. We got Mr. Christopher Corley, a landman, a
9 certified landman in Texas, to do this land work. In
10 addition to Mr. Corley, we have secured the records of
11 mineral and leasehold owners in the west half of Section 8
12 from Harvey E. Yates Production Company, who also owns
13 leases in that particular half section. And we've located
14 all of the unleased mineral owners and the leasehold owners
15 for purposes of notice.

16 Q. Has Tamarack received any objection from any of
17 these parties?

18 A. No, sir, we have not. And I would note that
19 Tamarack also owns some leases in the west half of Section
20 8 and will be participating with Harvey E. Yates Company in
21 a similar type well to be drilled to the Atoka in that
22 half-section, in the near future.

23 MR. KELLAHIN: Mr. Examiner, that concludes my
24 examination of Mr. Palmer.

25 We move the introduction of his Exhibits 9

1 through 13. The final exhibit is my certificate of
2 notification. It contains a sworn certificate attached to
3 it as the notice for hearing, which included a copy of the
4 administrative application, which was sent to all the
5 parties identified by Mr. Gill.

6 Attached, then, are copies of the green cards
7 that we received. Of all the parties on the list, there
8 were three individuals that we have not yet received cards
9 back from, and they're shown on the last page. We believe
10 we have exhausted all reasonable opportunities to notify
11 these people, and to the best of my knowledge there have
12 been no objections.

13 So with your permission, we would ask the
14 introduction of Exhibits 9 through 14.

15 EXAMINER ASHLEY: Exhibits 9 through 14 will be
16 admitted as evidence at this time.

17 EXAMINATION

18 BY EXAMINER ASHLEY:

19 Q. Mr. Gill, you've applied with District for
20 directional drilling approval?

21 A. That is correct, yes, sir.

22 Q. Have you received that yet?

23 A. We have not at this time. I think that they are
24 withholding that pending your decision, is my
25 understanding. Because I notified them that we were

1 applying for an unorthodox location.

2 Q. You have the east half dedicated for an Atoka gas
3 well?

4 A. Yes, sir.

5 Q. Have all the interests been committed in that
6 320?

7 A. Not all of the interests. There are some
8 interests that have not been committed, and it is likely
9 that we will be back to force-pool those interests.

10 Q. Now, Exhibit 13, the notification list on the
11 second page, the leaseholders, that's just in the northwest
12 quarter of Section 8?

13 A. That's correct, these are the owners in the
14 northwest corner of Section 8. Actually --

15 MR. KELLAHIN: Do you want to clarify that, Mr.
16 Gill?

17 THE WITNESS: -- let me clarify that to say that
18 I believe that includes the -- Exhibit 1, if you'll refer
19 to Exhibit 1, and I do not recall the number of acres that
20 that entails, but it goes down to that line, including the
21 north half of the southwest quarter of Section 8. These
22 are the same owners, and under all of that portion of
23 Section 8.

24 And then the next page shows the ownership of the
25 south half of the southwest quarter of Section 8. And I

1 apologize, that's difficult to read, but that was faxed to
2 us, and then we copied it for this exhibit.

3 Q. (By Examiner Ashley) The south half of the
4 southwest quarter?

5 A. Yes, sir. Shown below the line in the west half
6 of Section 8 where it shows Troy McCold as the surface
7 owner.

8 Q. Where does it show the surface owner?

9 A. Sir?

10 Q. Where does it show the surface owner?

11 A. Troy McCold is the surface owner in that tract --

12 Q. Oh, yeah, okay.

13 A. -- shown on the map.

14 EXAMINER ASHLEY: Mr. Kellahin, the Exhibit 14
15 list --

16 MR. KELLAHIN: Yes, sir?

17 EXAMINER ASHLEY: -- that you have in Exhibit A
18 are all the lease holders and mineral interest owners
19 affected by this?

20 MR. KELLAHIN: Yes, sir, and in addition to what
21 Mr. Gill has shown you on Exhibit 13, the examining landman
22 sent me some corrected addresses, which is shown on the
23 page following Exhibit A, just before you get to the copies
24 of the green cards.

25 EXAMINER ASHLEY: These are corrected interest

1 owners' addresses?

2 MR. KELLAHIN: As to their addresses, the
3 original search showed Monument, New Mexico. We had him
4 recheck all these addresses so we'd have the most current
5 addresses, and it came up with three changes. We sent
6 them, and all of these people, in fact, received their
7 notice. To the best of our knowledge, these are all the
8 parties in the west half that would be affected.

9 In the northeast quarter, the parties affected
10 are common to the drill tract. So I think we've done all
11 the notifications required.

12 Q. (By Examiner Ashley) Leasehold interests, then,
13 are not common between the two different -- between the
14 northeast quarter and the northwest quarter, correct?

15 A. That's correct.

16 Q. And then what about mineral interests? Did they
17 vary as well?

18 MR. KELLAHIN: If they were unleased, then the
19 unleased mineral owner in the west half got notice.

20 EXAMINER ASHLEY: Okay.

21 MR. KELLAHIN: In the northeast quarter,
22 everybody's leased.

23 EXAMINER ASHLEY: Okay.

24 MR. KELLAHIN: In the southeast quarter there is
25 a small percentage of parties that aren't leased. And if

1 we are incredibly lucky, and if this ever produces any
2 Atoka gas, then we'll have to come back in and invite those
3 missing parties an opportunity to share in production. But
4 this is so risky, it didn't bear the expense of doing that
5 yet. And for the Atoka, then, we've got everyone
6 committed. I'm sorry, in the Strawn we've got everyone
7 committed, and that's what we think this is going to
8 produce.

9 EXAMINER ASHLEY: Okay, I have nothing further.
10 Thank you.

11 THE WITNESS: Thank you, Mr. Ashley. Thank you,
12 ma'am.

13 EXAMINER ASHLEY: There being nothing further,
14 Case 12,378 will be taken under advisement.

15 (Thereupon, these proceedings were concluded at
16 10:30 a.m.)

17 * * *

18
19 I do hereby certify that the foregoing is
20 a complete record of the proceedings in
the Examiner hearing of Case No. 12378,
21 heard by me on 4-20 2000.
22 Mark Kelly, Examiner
Of Conservation Division
23
24
25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.


I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL May 1st, 2000.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 2002



LTR



Job separation sheet

RUSA

STATE OF NEW MEXICO
ENERGY, MINERALS, AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

MA 5-1-00
5/1/00
LW 5/2/00
MS

IN THE MATTER OF THE HEARING
CALLED BY THE OIL CONSERVATION
DIVISION FOR THE PURPOSE OF
CONSIDERING:

CASE NO. 12378
ORDER NO. R-11367

APPLICATION OF TAMARACK PETROLEUM COMPANY, INC.
FOR AN UNORTHODOX SUBSURFACE OIL AND GAS WELL LOCATION,
LEA COUNTY, NEW MEXICO.

ORDER OF THE DIVISION

BY THE DIVISION:

This cause came on for hearing at 8:15 a.m. on April 20, 2000 at Santa Fe, New Mexico, before Examiner Mark W. Ashley.

NOW, on this ___ day of May, 2000, the Division Director, having considered the testimony, the record and the recommendations of the Examiner,

FINDS THAT:

(1) Due public notice having^s been given and the Division has jurisdiction of this cause and ~~the~~^{its} subject matter.

(2) The applicant, Tamarack Petroleum Company, Inc. ("Tamarack"), proposes to re-enter the plugged and abandoned Anadarko Petroleum Corporation Hood "8" Well No. 1 (API No. 30-025-30513), located 859 feet from the North line and 1981 feet from the East line (Unit B) of Section 8, Township 17 South, Range 38 East, NMPM, Lea County, New Mexico, and directionally drill to an approximate depth of 12,200 feet (TVD) at an unorthodox subsurface well location ~~to be~~ within 110 feet of a target point at the top of the Strawn formation that is 1179 feet from the North line and 2211 feet from the East line (Unit B) of Section 8. Further, the ~~(E)~~^(E)/2 of Section 8 is to be dedicated to this well in order to form a standard 320-acre stand-up gas spacing and proration unit for any and all formations from the top of the Wolfcamp formation to the base of the Atoka ✓