

SEP 23 10 17:53
OFFICE OF THE ATTORNEY GENERAL

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
APPLICATION OF COLEMAN OIL AND GAS,)
INC., FOR APPROVAL OF A PILOT PROJECT,)
INCLUDING AN EXCEPTION TO RULES 4 AND 7)
OF THE SPECIAL RULES AND REGULATIONS FOR)
THE BASIN-FRUITLAND COAL GAS POOL, FOR)
THE PURPOSES OF ESTABLISHING A PILOT)
PROGRAM TO DETERMINE THE COMMERCIAL)
FEASIBILITY FOR FRUITLAND COAL GAS)
WELLS, SAN JUAN COUNTY, NEW MEXICO)

CASE NO. 12,485

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

September 7th, 2000
Santa Fe, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner on Thursday, September 7th, 2000, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

September 7th, 2000
 Examiner Hearing
 CASE NO. 12,485

	PAGE
EXHIBITS	3
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>ALAN P. EMMENDORFER</u> (Geologist)	
Direct Examination by Mr. Carr	4
Examination by Examiner Catanach	16
<u>PAUL C. THOMPSON</u> (Engineer)	
Direct Examination by Mr. Carr	21
Examination by Examiner Catanach	32
REPORTER'S CERTIFICATE	38

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	9	16
Exhibit 2	11	16
Exhibit 3	14	16
Engineering Exhibit 1	23	31
Engineering Exhibit 2	24	31
Engineering Exhibit 3	24	31
Engineering Exhibit 4	25	31
Engineering Exhibit 5	25	31
Engineering Exhibit 6	26	31
Engineering Exhibit 7	27	31
Engineering Exhibit 8	27	31
Engineering Exhibit 9	28	31
Engineering Exhibit 10	29	31
Engineering Exhibit 11	29	31

* * *

A P P E A R A N C E S

FOR THE DIVISION:

LYN S. HEBERT
 Attorney at Law
 Legal Counsel to the Division
 2040 South Pacheco
 Santa Fe, New Mexico 87505

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE and SHERIDAN, P.A.
 Suite 1 - 110 N. Guadalupe
 P.O. Box 2208
 Santa Fe, New Mexico 87504-2208
 By: WILLIAM F. CARR

* * *

1 WHEREUPON, the following proceedings were had at
2 10:32 a.m.:

3 EXAMINER CATANACH: At this time we'll call Case
4 12,485, the Application of Coleman Oil and Gas, Inc., for
5 approval of a pilot project, including an exception to
6 Rules 4 and 7 of the Special Rules and Regulations for the
7 Basin-Fruitland Coal Gas Pool, for the purposes of
8 establishing a pilot program to determine the commercial
9 feasibility for Fruitland Coal gas wells, San Juan County,
10 New Mexico.

11 Call for appearances in this case.

12 MR. CARR: May it please the Examiner, my name is
13 William F. Carr with the Santa Fe law firm Campbell, Carr,
14 Berge and Sheridan. We represent Coleman Oil and Gas,
15 Inc., in this matter, and I have two witnesses.

16 EXAMINER CATANACH: Any additional appearances?
17 Will the two witnesses please stand to be sworn
18 in?

19 (Thereupon, the witnesses were sworn.)

20 ALAN P. EMMENDORFER,
21 the witness herein, after having been first duly sworn upon
22 his oath, was examined and testified as follows:

23 DIRECT EXAMINATION

24 BY MR. CARR:

25 Q. Will you state your name for the record, please?

1 A. Alan P. Emmendorfer.

2 Q. Mr. Emmendorfer, where do you reside?

3 A. Arvada, Colorado.

4 Q. By whom are you employed?

5 A. Coleman Oil and Gas.

6 Q. And what is your position with Coleman Oil and
7 Gas?

8 A. I'm one of the geologists in the Denver office.

9 Q. Mr. Emmendorfer, have you previously testified
10 before this Division and had your credentials as an expert
11 in petroleum geology accepted and made a matter of record?

12 A. Yes, I have.

13 Q. Are you familiar with the Application filed in
14 this case on behalf of Coleman?

15 A. Yes, I am.

16 Q. Are you familiar with the status of the lands in
17 the portion of the Basin-Fruitland Coal Gas Pool which is
18 the subject of this hearing?

19 A. Yes.

20 Q. Have you made a geological study of the area
21 which is the subject of the application?

22 A. Yes, I have.

23 Q. Are you prepared to share the results of your
24 work with Mr. Catanach?

25 A. Yes.

1 MR. CARR: Are the witness's qualifications
2 acceptable?

3 EXAMINER CATANACH: They are.

4 Q. (By Mr. Carr) Initially, would you explain to
5 the Examiner what it is that Coleman is proposing in this
6 case?

7 A. Mr. Examiner, Coleman is proposing to establish a
8 pilot program to determine the commercial feasibility for
9 Fruitland Coal Gas wells in the subject portion of the
10 Basin-Fruitland Coal Gas Pool. Further, we hope to
11 demonstrate the benefits of well interference and that this
12 will show that commercial production is feasible in this
13 portion of the Basin-Fruitland Coal Pool.

14 Q. Has Coleman reviewed this proposal with the Aztec
15 Office of the Oil Conservation Division?

16 A. Yes, we have. Before we made the Application we
17 talked to Mr. Chavez in Aztec and told him what we would
18 like to do and why, and he was supportive of the plan.

19 Q. If your Application is granted, you proposed to
20 place two wells on one 320-acre spacing unit; is that not
21 correct?

22 A. That is correct.

23 Q. Have you agreed with Mr. Chavez that if you are
24 able to establish commercial rates, that once you establish
25 those rates, one of those wells will be shut in and not

1 produced on that 320-acre unit?

2 A. That's correct, and that was something that Mr.
3 Chavez said would need to be done for his support in this
4 Application.

5 Q. That was a condition on his support?

6 A. Yes, it was.

7 Q. You're going to cover the land and geological
8 portion of this case, correct?

9 A. Correct.

10 Q. And then Mr. Thompson will review the engineering
11 aspects?

12 A. That is correct.

13 Q. And he will discuss what is a commercial well and
14 those portions of the Application?

15 A. Yes.

16 Q. Could you briefly state what Coleman is seeking
17 with this Application, the particular items that you're
18 requesting be approved?

19 A. Okay. Coleman seeks to drill five Basal
20 Fruitland Coal wells on a 160-acre fivespot pattern. One
21 of the wells has already been drilled, the Juniper Number
22 1. Three of the other four wells would be drilled at
23 standard locations. One well, the fifth well, would be
24 drilled at a nonstandard location to effect a 160-acre
25 fivespot.

1 With these five wells we hope that the producing
2 wells will accelerate the dewatering of the Fruitland Coal
3 in this particular area, and we can see if commercial
4 production can be established. If commercial production
5 can be established, then we plan to apply this knowledge to
6 the area and further develop our acreage on a 320-acre
7 basis.

8 Q. Mr. Emmendorfer, there are special pool rules, as
9 we know, in effect for the Basin-Fruitland Coal Gas Pool,
10 correct?

11 A. Yes, there are.

12 Q. And you're seeking an exception to two of those
13 rules for this one well; is that right?

14 A. That is correct.

15 Q. And what are the rules that you're seeking an
16 exception to?

17 A. The first one is Rule Number 4, which are special
18 pool rules and regulations for the Basin-Fruitland Coal Gas
19 Pool, which were adopted by Order Number R-8768, which
20 provides for each well to be located on a standard unit
21 comprising 320 acres, more or less, comprising any two
22 quarter sections of a single governmental section.

23 The second exception is Rule Number 7 where rules
24 [sic] are to be located in either the northeast quarter or
25 the southwest quarter of the section.

1 Q. And to be sure we don't have a misunderstanding
2 on this, is Coleman asking the Division to approve 160-acre
3 infill development?

4 A. No.

5 Q. Let's go to what has been marked as Coleman
6 Exhibit Number 1. I'd ask you to identify it and then
7 explain to the Examiner what it shows.

8 A. Okay. Exhibit Number 1 is a combination of
9 isopach map of the Fruitland Coal, an activity map, and an
10 acreage map.

11 I would like to direct you to the yellow acreage,
12 which is Coleman's acreage. We own approximately 12
13 sections in this area, 24 and 10. I'd like to point out,
14 Mr. Examiner, that the pilot project consists of all of
15 Section 16 of 24 North, 10 West, and the south half of
16 Section 9 and the east half of Section 17, all of 24 North,
17 10 West, and all located on Coleman Oil and Gas acreage.

18 In addition, I'd like to point out that our
19 proposed pilot project is approximately three miles away
20 from the nearest drilling that has been done to the
21 Fruitland Coal formation, and we'll discuss those in a
22 little bit more detail later.

23 Q. What is the character of the land in this area?

24 A. Okay, Section 16 is a state lease, and the
25 remainder is pretty evenly divided between Federal and

1 Navajo-allotted.

2 Q. Also on this exhibit you have contours. This is
3 an isopach map as well as an orientation plat?

4 A. That is correct.

5 Q. And what does this show you?

6 A. What I attempted to show with this isopach is
7 that based on well control from deeper wells drilled in the
8 area, that approximately 20 feet of basal Fruitland Coal is
9 present within the area of our acreage position. And based
10 on desorption data that we have for the area, we feel that
11 20 foot of coal, with the amount of gas in place, is enough
12 reserves to produce commercial wells, should the dewatering
13 process be affected.

14 Q. Is it fair to say that this pilot project has
15 been located in such way as to, one, utilize an existing
16 wellbore, and to basically stay in the center of acreage
17 which is operated by Coleman.

18 A. That is correct. I'd point out that the Juniper
19 Number 1 was drilled by Coleman in the southwest of Section
20 16. That's our existing well that is currently shut in,
21 but we do have test data that will be presented during the
22 engineering testimony. We wanted to utilize this well and
23 drill the other four wells. And as you can see, it's
24 pretty central to our acreage position and would allow us
25 to then do additional 320 development, should commercial

1 production be established.

2 Q. Let's go to what's been marked Coleman Oil and
3 Gas Exhibit Number 2. Would you identify and review that,
4 please?

5 A. Exhibit Number 2 is a type log for our Juniper
6 project, and this is the neutron density log for the
7 Juniper Number 1 well, located in the southwest of Section
8 16, 24 North, 10 West, and it's just to show that the
9 Fruitland Coal consists of only one basal coal member and
10 approximately between 1300 and 1400 foot thick -- or depth,
11 and that in this particular well the coal was 21 foot
12 thick. It got marked on there where the existing
13 perforations for this well were put into the coal and where
14 the zone was stimulated, and to show that good quality coal
15 does exist in the area.

16 Q. So we have the reserves in place. The question
17 is, can we produce them at economic rates?

18 A. That's correct.

19 Q. Let's go back to Exhibit Number 1. Does this
20 show Fruitland Coal development in the area?

21 A. Yes, it does. There's a general legend off to
22 the upper right-hand corner of the map, but what we need to
23 pay attention to is the triangles surrounding standard gas
24 wells. Those are Fruitland Coal gas wells, symbol for this
25 map.

1 And we'd like to point out that there are two
2 wells that Dugan Production has drilled in Sections 1 and 2
3 of 24 North, 11 West, that they attempted to produce and
4 could never get the water rate to decline and the gas to
5 come up. And they plugged those a year or two ago.

6 To the south of the acreage position, Dugan has
7 drilled one well in Section 35 of 24 North, 11 West, and a
8 Coal well, Section 32 of 24 North, 10 West. In addition,
9 they've drilled a well in the Section 35, same township,
10 and that's all of the other drilling that's been done
11 within the Township 24 North, 10 West, besides the one well
12 that Coleman operates.

13 Dugan has also drilled two wells on this map over
14 on 24 North, 9 West, and all of these wells are either shut
15 in or have made minimal amounts of gas.

16 In addition, Coleman operates a well up in 25
17 North, 11 West, Section 35, that's shut in due to no gas
18 and high water volumes.

19 And then Maralex has four wells drilled and
20 producing water and not reporting any gas at this time,
21 from wells also in 25 North, 11 West. I should point out
22 that all existing wells are farther than three miles away
23 from the proposed pilot project.

24 In addition, Dugan Production Company has two
25 wells staked, one in the southwest of 20 and one in the

1 northeast of 29 of 24 and 10, but -- as our discussions
2 with them, they have no plans in the immediate future of
3 drilling these wells, and they've been on locations for
4 about a year and a half now.

5 Q. Are there other operators of Basin Fruitland Coal
6 Gas wells in the project area?

7 A. No, there are not.

8 Q. Are there other working interest owners or
9 undrilled leases in the project area?

10 A. The only other working interest owner in the
11 project area is in the east half of Section 16, and that is
12 Koch, and we have been in discussions with them. We told
13 them what we would like to do, and they did not want to
14 participate.

15 We offered to buy their interest out; it's an
16 undivided interest in the east half. Their mode of
17 operation is never to sell anything, but they did indicate
18 that they were willing to work a farmout with us, somewhere
19 in the process of negotiating a farmout with them to secure
20 their interest in that lease.

21 Q. Are there unleased mineral interest owners in the
22 project area?

23 A. No, there are not.

24 Q. Are there other operators of Basin Fruitland Coal
25 gas wells within two miles of the project area?

1 A. No, there are not.

2 Q. Would you identify what has been marked as
3 Coleman Exhibit Number 4?

4 A. Number 3?

5 Q. Exhibit Number 3?

6 A. Exhibit Number 3 is an affidavit with attached
7 notice letters confirming that notice of this Application
8 was provided in accordance with Oil Conservation Division
9 rules.

10 Q. If we go to the third page, it indicates that
11 notice was provided to Koch Exploration Company, Dugan
12 Production Corporation, and Robert L. Bayless. Why was
13 notice provided to Dugan and to Bayless?

14 A. Well, Dugan operates -- They own a large acreage
15 block immediately south of our acreage block, and to the
16 southwest, and some to the southeast of the area. They've
17 got most of the south half of the township, 24 North, 10
18 west. And we notified them because they've got other wells
19 in the area, farther away, but they are an operator there.
20 And we actually talked to them about doing a joint project
21 together, their lands and our lands, and they were not
22 interested in this area at this time. They had other
23 places to drill that they thought would benefit their
24 company better, and so they were not interested in doing a
25 pilot project.

1 However, they did indicate that they thought it
2 was a good idea, and they wished us luck, but they didn't
3 want to participate at that time.

4 The reason we notified Bayless is, they are the
5 working interest owner in the northwest of Section 10, 24
6 North, 10 West. We just did that as a courtesy, because we
7 thought that when commercial production is demonstrated and
8 we start developing on a 320-acre pattern, we would be
9 contacting them to participate in the drilling of a well,
10 so we wanted to make them aware of our plans. And again,
11 they had no reason to oppose our plans for this pilot
12 project.

13 Q. In your opinion, has notice been provided to all
14 interest owners required to receive notice by OCD rules, as
15 well as other interest owners who could be affected by the
16 Application?

17 A. Yes.

18 Q. Will Coleman call an additional witness to review
19 the engineering portions of this case?

20 A. Yes.

21 Q. Were Exhibits 1 through 3 either prepared by you
22 or compiled at your direction?

23 A. Yes, they were.

24 MR. CARR: At this time, Mr. Catanach, we move
25 the admission into evidence of Coleman Exhibits 1 through

1 3.

2 EXAMINER CATANACH: Exhibits 1 through 3 will be
3 admitted as evidence.

4 MR. CARR: That concludes my direct examination
5 of Mr. Emmendorfer.

6 EXAMINATION

7 BY EXAMINER CATANACH:

8 Q. Mr. Emmendorfer, the Juniper 1 is existing --

9 A. Yes.

10 Q. -- and the other four wells are proposed to be
11 drilled?

12 A. Yes, that's correct.

13 Q. Do you have locations on those wells yet?

14 A. We are in the process of staking them and
15 submitting the applications, and I don't know the exact --
16 where we are in that process.

17 Q. But you're going to need exceptions -- Well, one
18 of them, you said, was unorthodox?

19 A. That would be the northwest of Section 16.

20 Q. By virtue of being in the wrong quarter section?

21 A. Yes.

22 Q. Do you know if footagewise it's unorthodox?

23 A. It would be -- If it was located in the northeast
24 and southwest, it would be within a legal location. I
25 don't know the exact -- I think it's about 1000 feet in

1 both directions from the northwest corner.

2 Q. Okay. The wells in 17 and 9, are those both
3 standard locations?

4 A. That is correct. And the dots are placed in
5 there mainly to keep from hiding the other well symbols,
6 more than being the exact location as to where they're
7 being staked.

8 Q. Now, the project area is going to comprise all of
9 Section 16, but you don't have it yet?

10 A. We have undivided 25-percent working interest in
11 the east half of 16, and technically that's correct that we
12 do not -- we have not made a signed deal with Koch. But
13 they have indicated that they will farm out to us, and we
14 are actively in the process of getting that effected.

15 Q. Do you have any doubts that that will occur?

16 A. No, I do not.

17 Q. Okay. Now, tell me what the plan is, as far as
18 drilling and producing these wells. What are you going to
19 do?

20 A. Well, we're going to -- We've got one drilled,
21 the Juniper Number 1, and we plan on drilling the other
22 four wells as soon as permits can be approved, and the
23 approval of this pilot project. We plan on coring and
24 doing desorption work in the northwest of 16 to give us
25 better data as to the gas content of the coal.

1 And then we will complete the wells using
2 hydraulic fracturing methods, similar to what we did with
3 the Juniper Number 1 well, put them all on pump and try to
4 dewater. And as you will see during the engineering
5 testimony, the Juniper Number 1 is capable of making large
6 amounts of water.

7 I feel that this area is very well cleated, based
8 off of wireline logs of the deeper wells in the area, and
9 that's one of the reasons why we picked up this acreage
10 block. We thought thickness of the coal presumed gas
11 content at the time and the well-cleated nature of the coal
12 would make for commercial wells.

13 However, after drilling the Juniper Number 1, the
14 high permeability of the coal is a good thing and a bad
15 thing. And the bad thing is that there's a lot of water
16 production. And based off of what Maralex has seen to the
17 north on their 320, they can't get the water production to
18 drop and can get the gas rates to come up. And we think
19 that before we start drilling a large area on a 320, we
20 need to see if the coal can be dewatered.

21 And so we want to have that fifth well to get the
22 process going, and we think it will be an ongoing process
23 after gas rates go up to a commercial rate.

24 Q. The Juniper Number 1 is not currently producing
25 any gas?

1 A. That is correct. We've tested it off and on, and
2 like I said, that's part of the engineering testimony that
3 you will see next, to get bottomhole pressures, water
4 rates, and gas to be produced, and right now it's shut in
5 pending the outcome of this hearing.

6 Q. The only real thing out of the ordinary here is
7 the drilling of the well in the northwest quarter of
8 Section 16?

9 A. That's correct.

10 Q. And you propose to utilize that well strictly for
11 dewatering?

12 A. Well, we want to try to see if we can get the
13 dewatering process to occur, and then after commercial
14 rates have been established, we will shut in one of the two
15 wells in the west half of 16, based on discussions with Mr.
16 Chavez.

17 Q. After commercial rates have been established?

18 A. Yes.

19 Q. What does that mean?

20 A. Well, not to pass the buck, but if you can wait
21 till Mr. Thompson gives his testimony, I think it will
22 become a little bit more obvious.

23 Q. Okay, so neither of those wells will be -- I
24 mean, only one well will be produced in the west half of
25 that section?

1 A. Once commercial production has been established,
2 yes.

3 Q. Do you know what the status is -- Oh, I guess you
4 did say something about the Maralex wells, they're having a
5 hard time dewatering?

6 A. Yeah, they produce -- I don't have the exact
7 rates, but they produce large amounts of water and minimal
8 to no gas.

9 Q. Do you know where those are?

10 A. Let's see. There's two in Section 26, 25 and 11,
11 the northeast and the southwest quarters, Section 26.

12 Q. 26, okay.

13 A. One in the northeast of 27, and one in the
14 southwest of 22, and one in the southeast of Section 30 of
15 25 and 10. That well does not show up as a triangle; it's
16 a gas well that was originally drilled as a Pictured Cliff
17 well by Bayless, and they subsequently plugged the Pictured
18 Cliff and turned the well over to Maralex, and they
19 completed it in the Fruitland Coal.

20 Q. Okay. This is basically an area that's really
21 not commercial in the Fruitland Coal yet; is that correct?

22 A. No, and you'll see that in the next testimony,
23 some production rates. No, there's -- None of the wells
24 have approached commercial production at all.

25 Q. How about the Dugan wells in the southern end of

1 this area here?

2 A. That again will be part of the engineering
3 testimony, but they're minimal rates also.

4 EXAMINER CATANACH: Okay. I think that's all I
5 have of this witness.

6 MR. CARR: That concludes our questions of this
7 witness, and we now call Paul Thompson.

8 PAUL C. THOMPSON,

9 the witness herein, after having been first duly sworn upon
10 his oath, was examined and testified as follows:

11 DIRECT EXAMINATION

12 BY MR. CARR:

13 Q. State your name for the record.

14 A. Paul Thompson.

15 Q. Where do you reside?

16 A. Farmington, New Mexico.

17 Q. By whom are you employed?

18 A. I'm the president of Walsh Engineering and
19 Production Corporation.

20 Q. And what is the relationship of Walsh Engineering
21 to Coleman Oil and Gas, Inc., in this matter?

22 A. I'm a consulting engineer for Coleman Oil and
23 Gas.

24 Q. Have you previously testified before this
25 Division and had your credentials as an expert in petroleum

1 engineering accepted and made a matter of record?

2 A. Yes.

3 Q. Are you familiar with the Application filed in
4 this case?

5 A. Yes.

6 Q. Have you made an engineering study of the portion
7 of the Basin Fruitland Coal Gas Pool which is involved in
8 this case?

9 A. Yes.

10 Q. Are you prepared to share the results of your
11 work with the Examiner?

12 A. Yes.

13 MR. CARR: Are the witness's qualifications
14 acceptable?

15 EXAMINER CATANACH: They are.

16 Q. (By Mr. Carr) Mr. Thompson, initially I think it
17 would be helpful for you to just summarize the purpose of
18 your testimony, explain to us what you have been asked to
19 look at, what you've been asked to do.

20 A. Well, as Mr. Emmendorfer said, Coleman hopes that
21 by drilling four standard wells and one nonstandard well in
22 a 160-acre fivespot pattern, they can accelerate the
23 dewatering of the Fruitland Coal and establish commercial
24 production.

25 The purpose of my testimony is to explain the

1 benefits of well interference on Fruitland Coal production
2 and then to determine the peak production rate necessary to
3 achieve commercial production.

4 Q. Have you prepared exhibits for presentation here
5 today?

6 A. Yes, I have.

7 MR. CARR: Mr. Examiner, we have marked the first
8 three exhibits, Coleman Exhibits 1 through 3. The exhibits
9 that we received yesterday were already marked Exhibits 1
10 through 11, and so we indicated the engineering part of the
11 case by referencing as Engineering Exhibit 1 through
12 Engineering Exhibit 11. So that's why we'll have the
13 overlap, 1, 2, 3.

14 EXAMINER CATANACH: Okay.

15 Q. (By Mr. Carr) Mr. Thompson, let's go to what has
16 been marked Coleman Engineering Exhibit Number 1. I'd ask
17 you to identify it and explain what it shows.

18 A. Exhibit Number 1 is a pressure profile of a
19 single well that's acting in a very large or infinite
20 reservoir. It shows the pressure near the wellbore at
21 different times, t equals zero being before it was drilled;
22 t_1 and t_2 are just different times in the life of the well.

23 What happens when you have a single well in a
24 large reservoir is that the pressure immediately adjacent
25 to the wellbore will drop quickly, and then the wellbore

1 stabilizes rapidly. As the pressure in the coals adjacent
2 to the wellbore stabilizes the gas in that area can desorb,
3 and it will come into equilibrium at that reduced reservoir
4 pressure.

5 As long as the well is not seeing any boundaries,
6 the pressure profile will remain stabilized. That's
7 indicated by time 2. Essentially the reservoir pressure
8 adjacent to the wellbore is going to stay constant forever.
9 Basically what that means is that water is moving into the
10 wellbore as fast as we're removing it. If the reservoir
11 pressure doesn't change, then there's no additional coal
12 that we expose to the reduced pressure. Therefore, no
13 additional gas will be desorbed.

14 Q. Let's go to Engineering Exhibit 2.

15 A. Exhibit Number 2 is a rate-time graph of what
16 you'd expect the production to look like of a single well
17 producing in a very large or infinite reservoir. Initially
18 the gas rates will peak, reach a maximum quickly, and then
19 begin a slow decline. The water production would decrease
20 rapidly and remain relatively constant from then.

21 This situation is obviously not what you want, to
22 get commercial production.

23 Q. All right. Now identify and review Exhibit
24 Number 3, the pressure profile with a multi-well pattern.

25 A. Exhibit Number 3 is also a pressure profile

1 curve, like Exhibit 1. And if we can limit the size of the
2 reservoir that each well sees by increasing the well
3 density, then -- well, that's the purpose.

4 When the wells begin interfering with each other,
5 no-flow boundaries are created between the wells, and the
6 reservoir pressure is lower. The wells achieve a pseudo-
7 steady-state flow where the pressure is declining
8 everywhere as shown as time 2 on this graph.

9 A much larger volume of coal is therefore
10 subjected to these reduced pressures and a larger amount of
11 gas can be desorbed.

12 Q. What is Engineering Exhibit Number 4?

13 A. Exhibit Number 4 is a rate-time graph that shows
14 the effects of this well interference. This is actual data
15 from coal wells in the northwest quarter of the San Juan
16 Basin, along the edge.

17 The first well, in blue, was drilled about three
18 years prior to the offset wells. As you can see, initially
19 it was responding like a single well in an infinite
20 reservoir. As soon as its interference from the offset
21 wells, the gas rate inclined and the water rate declined.

22 This is what we hope to expect to achieve in the
23 pilot project.

24 Q. All right, are you ready to go to Exhibit 5?

25 A. Yes. Exhibit 5 is the production data from

1 Coleman's Juniper Number 1 well for this year. We produced
2 the well intermittently and kept shooting fluid levels to
3 see if we were making any progress in lowering the fluid
4 level in the wellbore, and hence the bottomhole pressure.

5 As you can see from the production, it's two
6 pages, starting in February through June of this year. The
7 maximum production was only 6 MCF a day, and the water
8 production was fairly stable, around 160 barrels of water
9 a day. Obviously this well is noncommercial.

10 Q. And this well continues just to produce as if
11 it's in an infinite reservoir?

12 A. Correct.

13 Q. Let's go to Exhibit Number 6. What is this?

14 A. Exhibit Number 6 is a plat showing the offset
15 Fruitland wells as were listed in the *Dwight's Production*
16 *Data*, in the subject area -- or actually in all of Township
17 24, 25 North, and also Ranges 10 and 11 West. I've
18 indicated the Juniper well as located in the southwest
19 quarter of Section 16 in 24 and 10.

20 The closest producing well is the Dugan Mary Lou
21 Number 1 well, and it's only produced 5300 MCF.

22 The best Fruitland Coal producers in this four-
23 township area are the wells in the northwest corner of
24 Township 25 and 11, where also the well density is the
25 greatest.

1 Q. And Exhibit Number 7 is a blow-up of that area
2 where there's a greater concentration of Fruitland Coal
3 wells?

4 A. That's correct. This is just the same well shown
5 on the previous exhibit, just on a larger scale. The
6 circles around the wells indicate the relative volume of
7 the cumulative production and should not be inferred at all
8 as a drainage radius. The cumulative production for each
9 well is listed below the well. As you can see, some of
10 these wells, the Buena Suertes, have produced approximately
11 half a BCF.

12 Q. Have you attempted to determine the peak rate
13 which would be required for a commercial Fruitland Coal
14 well in the Coleman project area?

15 A. Yes, I have. Coleman's definition of a
16 commercial production for an exploration project like this
17 is a well that has a 30-percent before income tax rate of
18 return.

19 Q. And what you've been doing and what you do is
20 attempt to determine what producing rate would be required
21 to achieve this rate of return?

22 A. That's correct.

23 Q. Okay. Let's go to Exhibit Number 8. Would you
24 explain that, please?

25 A. Exhibit Number 8 is the rate-time curve for the

1 Buena Suerte 4L Com well, which, as you can see from the
2 previous exhibit, is the best producing well in the lot.
3 And I used this production curve as a model. It shows the
4 typical Fruitland Coal type of -- kind of classic
5 production characteristics. The first two and a half years
6 of production is inclining. It looks like they must have
7 had some start-up problems getting it going. And then it's
8 fairly flat for approximately a year and then begins a
9 fairly steady decline.

10 I thought this was a good example of the type of
11 a production profile that we should expect in the pilot
12 area.

13 Q. Let's go to the rate-time graph, Exhibit Number
14 9.

15 A. What I had to do in order to calculate a 30-
16 percent pre-tax rate of return was arbitrarily adjust the
17 numbers of this Buena Suerte well. And in order to get
18 that 30-percent rate of return, I needed to multiply the
19 production rates of the Buena Suerte by 42 percent.

20 And then along with the economic conditions I'll
21 show you in the next exhibit that presented a cash flow
22 with a 30-percent pre-tax rate of return.

23 The peak production rate, as shown on this
24 exhibit, is about 125 MCF a day. Therefore, with Coleman's
25 agreement with Mr. Chavez that as soon as commercial

1 production was determined -- and that now is determined as
2 125 MCF a day -- if any of the five wells in the pilot area
3 reach the 125-MCF-a-day level on a stabilized basis,
4 they'll shut in one of the wells in the west half of
5 Section 16.

6 Q. And you will determine which well in consultation
7 with Mr. Chavez?

8 A. That's correct.

9 Q. Let's go to Exhibit Number 10, the economic
10 parameters.

11 A. These are just the factors that I put into
12 calculating the cash flow forecast for the next exhibit.
13 Briefly, I used the three-dollar gas price. That was held
14 constant for 12 months and then escalated at 3 percent a
15 year. BTU content is about one.

16 Lease operating expenses were assumed to be about
17 \$1000 a month. Those also were held constant for a year
18 and then escalated at 3 percent. Gathering and processing
19 fees were assumed to be 60 cents per MCF. Standard tax
20 rates. Drilling and completion costs were estimated to be
21 \$150,000 per well. And then 100 percent Coleman working
22 interest and 80 percent NRI.

23 Q. All right, let's go to Engineering Exhibit Number
24 11, the annual cash flow report. Would you review that?

25 A. Yes, Exhibit 11 is a cash flow forecast. Again,

1 this takes the production from the Buena Suerte 4L Com
2 well, multiplied by 42 percent. So it's 42 percent of the
3 actual production of the Buena Suerte.

4 As you can see from kind of the bottom middle of
5 this spread sheet where it has Economics Information, the
6 rate of return is 30.96 percent, which took me several
7 iterations to get it that close, and I thought that was
8 close enough.

9 The other thing I'd like to point out is that the
10 cumulative gas production from this forecast is 590,000
11 MCF.

12 I went back and did some volumetrics based on the
13 Juniper Number 1 log using coal density of 1.35 grams per
14 cubic centimeter, a 21-foot thickness of the coal. We did
15 some desorption from chip samples in this well. It
16 calculated 83 standard cubic feet of gas per ton of coal.
17 And that calculates at a gas in place in 320 acres of a
18 little more than a BCF, 1.02 BCF.

19 In order to get 590,000 of produced reserves,
20 that would mean a recovery factor of 57.8 percent, which
21 appears to be reasonable.

22 Q. What conclusions can you reach from your
23 engineering study of the area?

24 A. Well, while some factors of the Fruitland Coal in
25 this area appear favorable, have obviously good

1 permeability and relatively thick single coal, the
2 commercial viability of the area is still very much in
3 question.

4 We feel that by developing a five-spot drilling
5 program we can accelerate the well-to-well interference and
6 prove whether or not commercial production is possible. If
7 commercial rates can be achieved from any of the wells in
8 the pilot project, which has been determined to be a
9 stabilized rate of 125 MCF per day, then Coleman will shut
10 in one of the wells drilled in the west half of Section 16
11 and then continue to develop the area on 320-acre spacing.

12 Q. In your opinion, will granting this Application
13 be in the best interests of conservation, the prevention of
14 waste and the protection of correlative rights?

15 A. I do.

16 Q. Were Engineering Exhibits 1 through 11 prepared
17 by you or compiled at your direction?

18 A. Yes, they were.

19 MR. CARR: At this time, Mr. Catanach, we would
20 move the admission into evidence of Coleman Engineering
21 Exhibits 1 through 11.

22 EXAMINER CATANACH: Coleman Engineering Exhibits
23 1 through 11 --

24 MR. CARR: Yes, sir.

25 EXAMINER CATANACH: -- will be admitted as

1 evidence.

2 MR. CARR: And that concludes my direct
3 examination of Mr. Thompson.

4 EXAMINATION

5 BY EXAMINER CATANACH:

6 Q. Mr. Thompson, the well proposed to be drilled in
7 the northwest of 16, why is that additional well necessary?
8 If you're able to drill three additional wells to increase
9 the density, why is that fourth well important?

10 A. Well, we're not sure exactly because from the
11 Exhibit 1 of Mr. Emmendorfer's, the coal appears to be
12 relatively flat, and we're not sure which way the water
13 will migrate.

14 What we're hoping to do is surround that well in
15 the northwest of 16 by four other wells, and we anticipate
16 that it's the well in the northwest of 16 that will see the
17 effects of the interference first and should be the one
18 that would be commercial earliest.

19 Q. What effect would that have on the further
20 development of this acreage? Would that throw off the
21 pattern in the surrounding sections?

22 A. Well, we haven't really determined which well we
23 would shut in. You know, there's a chance that even if the
24 well in the northwest quarter of 16 turned out to be the
25 first one that achieved 125 MCF a day, that still might be

1 the one that gets shut in, and then you can develop the
2 things on 320s.

3 Q. Why would that be the one to be shut in, if it
4 would achieve commercial rates?

5 A. The purpose of the pilot project is just to
6 determine if commercial production is possible in this
7 area, since none of the wells in this whole township have
8 ever shown rates as high as 125 a day.

9 I think once Coleman can prove to themselves that
10 that's possible, they're going to continue development on
11 320, and then it's just a matter of time before you get the
12 well interference.

13 Q. Okay, so during this process, before you reach
14 commercial status, both wells in the west half of Section
15 16 will be produced?

16 A. That's correct.

17 Q. And the Juniper Number 1 is not producing very
18 much at this point? Less than 10 MCF a day?

19 A. Yes, it's currently shut in, but the best we've
20 seen is 6 MCF a day. It's about enough to run the
21 pumpjack.

22 Q. Do you anticipate the well in the northwest of 16
23 to exhibit similar characteristics?

24 A. Initially. You know, we hope that by drilling
25 these wells in this proximity that we can accelerate that

1 well interference, and that instead of being several years
2 down the road before that no-flow boundary is hit, that we
3 can achieve that in a matter of months.

4 Q. Do you -- Are you able to forecast a time when
5 that might occur?

6 A. I haven't done any reservoir modeling, no.

7 Q. But you're thinking several months?

8 A. Well, I'm thinking a year.

9 Q. By virtue of producing two wells, at least
10 initially, in the west half of 16, you're not really
11 gaining any advantage over any other operators, since these
12 wells are producing at such low rates; is that your
13 opinion?

14 A. That's correct. And Coleman is the only operator
15 in the area. They've selected this pilot project to be in
16 the center of the area, where they wouldn't really be
17 impacting anyone else.

18 Q. On your Exhibit Number 4, this is an instance
19 where the interference effects have helped. Was this on
20 the standard 320-acre spacing that this occurred?

21 A. Yes, it was. This was near the outcrop on the
22 western side of the Basin in La Plata County. Essentially,
23 it's the same effect, though. The recharge was higher than
24 the water removal until the offset wells were drilled.

25 Q. And this was in a -- How many wells did this

1 involve?

2 A. Four.

3 Q. So even this showed that four wells could be
4 adequate, you're choosing to add the additional well?

5 A. In that case, they were up against the edge of
6 the reservoir, you know, the coal outcrop immediately to
7 the west, and so there wasn't any need for a protective
8 well on that side. They knew which way the water was
9 draining.

10 In this area we're relatively flat, and it needs
11 to look more like a waterflood project. We hope to
12 radially affect the area.

13 Q. And you said when any of these wells reach a
14 sustained rate of 125 a day. How are you going to
15 determine that?

16 A. Probably, you know, a monthly rate.

17 Q. Just whenever the first average monthly rate is
18 over 125? At that point you've determined it to be
19 commercial?

20 A. That would be good, yeah.

21 Q. What do you foresee happening with the gas
22 prices? Is that going to affect your economics?

23 A. It certainly would affect the economics. I guess
24 we're looking to get these wells drilled as soon as
25 possible.

1 Forecasts of three-dollar gas seem to hold for
2 the next 24 months, so yes, it could certainly affect the
3 economics.

4 Q. So if the gas price went up considerably or
5 significantly, that would maybe reduce your rate which you
6 could produce a well at commercially?

7 A. That's correct.

8 EXAMINER CATANACH: Okay, I think that's all I
9 have, Mr. Carr.

10 MR. CARR: That concludes our presentation in
11 this case.

12 THE WITNESS: If I could answer your question to
13 Mr. Emmendorfer, the other four wells have just recently
14 been staked.

15 All of them have the proper setbacks except, you
16 know -- However, the well in the northwest quarter is still
17 going to be nonstandard because of its location. But as
18 far as setbacks from the lines, they all would be legal
19 locations.

20 Q. (By Examiner Catanach) Has that well been
21 staked, the one in 16?

22 A. In the northwest? Just recently.

23 Q. Can you guys --

24 A. I don't have the footages, but I can get those to
25 you.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Q. Okay, can you provide that to me?

A. Sure.

EXAMINER CATANACH: Okay.

MR. CARR: That's all we have.

EXAMINER CATANACH: All right, there being nothing further in this case, Case 12,485 will be taken under advisement.

(Thereupon, these proceedings were concluded at 11:22 a.m.)

* * *

I hereby certify that the foregoing is a complete record of the proceedings in the Examiner hearing of Case No. 12485, heard by me on September 7 192006.

David K. Litman, Examiner
Of Conservation Division

