

STATE OF NEW MEXICO
 ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
 OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
 THE OIL CONSERVATION DIVISION FOR THE)
 PURPOSE OF CONSIDERING:)

CASE NO. 12,533

APPLICATION OF DAVID H. ARRINGTON OIL)
 AND GAS, INC., FOR COMPULSORY POOLING)
 AND AN UNORTHODOX GAS WELL LOCATION,)
 EDDY COUNTY, NEW MEXICO)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

December 7th, 2000

Santa Fe, New Mexico

CODEC 21 P1110:20

OIL CONSERVATION DIV

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, December 7th, 2000, at the New Mexico Energy, Minerals and Natural Resources Department, Porter Hall, 2040 South Pacheco, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

December 7th, 2000
 Examiner Hearing
 CASE NO. 12,533

PAGE

APPEARANCES

3

APPLICANT'S WITNESS:

BILL D. BAKER, JR. (Geologist)

Direct Examination by Mr. Kellahin

5

Examination by Examiner Catanach

16

REPORTER'S CERTIFICATE

19

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	6	16
Exhibit 2	7	16
Exhibit 3	7, 10	16
Exhibit 4	7, 11	16
Exhibit 5	12	16
Exhibit 6	17	18
Exhibit 7	17	18

* * *

A P P E A R A N C E S

FOR THE DIVISION:

LYN S. HEBERT
Attorney at Law
Legal Counsel to the Division
2040 South Pacheco
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

* * *

1 WHEREUPON, the following proceedings were had at
2 10:24 a.m.:

3 EXAMINER CATANACH: Okay, at this time we'll call
4 Case 12,533, Application of David H. Arrington Oil and Gas,
5 Inc., for compulsory pooling and an unorthodox gas well
6 location, Eddy County, New Mexico.

7 Call for appearances.

8 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
9 the Santa Fe law firm of Kellahin and Kellahin, appearing
10 on behalf of the Applicant, and I have one witness to be
11 sworn.

12 EXAMINER CATANACH: Any additional appearances?
13 (Thereupon, the witness was sworn.)

14 MR. KELLAHIN: Mr. Examiner, the Applicant had
15 sought compulsory pooling and an unorthodox well location
16 by this Application. It is for the north half of Section
17 26. That north half of 26 is subdivided so the northwest
18 quarter is controlled by Arrington, and the northeast
19 quarter is controlled by Nearburg Exploration Company.

20 I was advised this morning that Nearburg has
21 executed the appropriate contracts and joint operating
22 agreements so that based upon that understanding, we would
23 ask you to dismiss the compulsory pooling portion of the
24 Application.

25 The unorthodox well location request is to be

1 presented to you. The well is unorthodox because it will
2 be 40 feet to the west of the centerline of the north half
3 of the section. So it's an interior encroachment on the
4 160-acre line.

5 We're going to demonstrate the necessity for that
6 location with our geologic expert, Mr. Bill Baker.

7 And with your permission, we'll proceed.

8 EXAMINER CATANACH: You may do so.

9 BILL D. BAKER, JR.,

10 the witness herein, after having been first duly sworn upon
11 his oath, was examined and testified as follows:

12 DIRECT EXAMINATION

13 BY MR. KELLAHIN:

14 Q. Mr. Baker, for the record, sir, would you please
15 state your name and occupation?

16 A. Bill Baker, and I'm exploration manager for David
17 H. Arrington Oil and Gas in Midland.

18 Q. You're a geologist by profession, are you sir?

19 A. Yes, sir, I am.

20 Q. And on prior occasions you've testified before
21 the Division and qualified as an expert in petroleum
22 geology?

23 A. Yes, sir, I have.

24 Q. This is your prospect that we are discussing this
25 morning?

1 A. Yes, sir, it is.

2 Q. And the displays that you're about to testify
3 from are your work product, are they not?

4 A. Yes, sir, they are.

5 Q. Let's proceed, then, with looking at Exhibit
6 Number 1. What does Exhibit Number 1 represent?

7 A. Exhibit Number 1 is just a land plat of the
8 prospect outline, showing the north half of Section 26. It
9 also represents the acreage that Nearburg and Arrington
10 jointly have together.

11 Q. Based upon your geologic studies, do you now have
12 an opinion as a geologist as to the appropriate location at
13 which to place this well?

14 A. Yes, sir, I do.

15 MR. KELLAHIN: We tender Mr. Baker as an expert
16 petroleum geologist.

17 EXAMINER CATANACH: Mr. Baker is so qualified.

18 Q. (By Mr. Kellahin) If you'll set aside Exhibit 1,
19 Mr. Baker, as a locator map, I'm going to ask you to take a
20 moment, and let's unfold Exhibit 2. We're going to look at
21 Exhibit 3, and we'll look at Exhibit 4. So take a moment
22 to organize those displays for me.

23 Before you describe these, Mr. Baker, let's
24 identify for the record what each of these displays is.
25 What's Exhibit 2?

1 A. Exhibit 2 is a structural cross-section, A-A',
2 running from west to east, going through Yates Petroleum
3 State well, Concho Resources Southern Cross "22" well, Mesa
4 Petroleum Fourmile Federal Com well, and our proposed
5 location.

6 Q. Identify for me what we're looking at when we
7 discuss and describe in a few minutes Exhibit Number 3.

8 A. Okay, Exhibit Number 3 will be a structure map on
9 the top of the Chester limestone. This is based on
10 subsurface control. And the fault representation on the
11 structure will be influenced by seismic that I will show in
12 Exhibit 5 at a later time.

13 Q. Okay. Identify for the record what Exhibit 4 is.

14 A. Exhibit 4 is an isopach of the Morrow Clastics
15 system. Basically, this is based on a gross interval of
16 just the Morrow clastics, involving all Morrow clastic
17 sands.

18 Q. Mr. Baker, if we're locating a Morrow test well
19 in the north half of this section, what in your opinion is
20 the best location at which to place that well?

21 A. Basically, it's going to be at the location of
22 2600 feet from the west line and 1980 from the north, which
23 is located in a graben system, which I will identify and
24 show based on the seismic and the subsurface well control.

25 Q. Is there any standard location in the spacing

1 unit that satisfies your geologic criteria for picking a
2 well location?

3 A. No, sir, there is not.

4 Q. Is there a standard location that is better than
5 the proposed unorthodox location?

6 A. No, sir, there's not.

7 Q. Describe for me what it is that causes you to
8 have the opinion that this is the best possible location.

9 A. Well, it's going to be based on what Concho
10 Resources did in their Southern Cross "22".

11 Q. In Section 22?

12 A. In Section 22.

13 Q. Let's look and see what they did.

14 A. Okay. Mr. Examiner, if you will look at Exhibit
15 Number 2, our cross-section A-A', what I'm going to show
16 you here is basically where the sand systems were
17 encountered in the Concho Resources Southern Cross "22".

18 If you will notice on the far western side, Yates
19 Petroleum drilled the State "HZ" Number 1. This well was a
20 Morrow test, and it was drilled on the upthrown side of the
21 fault block. As you can see between the Morrow and Chester
22 sections, they did not encounter any Morrow clastic systems
23 at all.

24 It was subsequently completed as a Cisco well.
25 It's made just a little more than a BCF out of the Cisco,

1 but it was nonproductive in the Morrow section.

2 Concho Resources, in June of this year, moved
3 over approximately 500 feet from this Yates Petroleum well
4 and drilled in a graben system. If you'll notice on our
5 cross-section, in drilling this graben system here they
6 encountered 35 feet of Morrow clastic sands. They
7 perforated the lowermost one, which is approximately 28
8 feet, and had 15 million a day out of this one.

9 This is what we are targeting in our proposed
10 location, to drill a very similar graben system in an
11 attempt to encounter a thick Morrow clastic system.

12 Q. Mr. Baker, how did you reach the opinion that
13 there may be a similar graben system in Section 26 that
14 Concho found in 22?

15 A. This was done through some proprietary seismic
16 data that we have purchased, and I will show with an
17 arbitrary seismic line, which will be Exhibit Number 5, the
18 similarities between the Concho graben system and our
19 proposed graben system.

20 Q. As part of your analysis, did you come to the
21 geologic opinion that structure was of importance to you in
22 locating this well?

23 A. Yes, sir, I think anytime that you can drill the
24 most structurally advantageous system, it keeps you from
25 having the possibilities of water.

1 Q. Let's look at Exhibit 3 and have you describe for
2 me what your opinion is of the structural position of the
3 reservoir in the north half of 26 and how it has affected
4 you well location request.

5 A. Okay. Mr. Examiner, if you'll look at Exhibit
6 Number 3, this is structure on the top of the Chester lime.
7 And you can see for the most part that this is a north-
8 south-trending structure, but it does have a very strong
9 east-west nose that goes across Section 26.

10 You can see that our proposed location would be
11 located in the most updip structural position on the top of
12 the Chester lime within this graben system. You will note
13 that is on the downthrown side of a fault right there, but
14 it is in the most updip structural position.

15 Q. What happens to your well if you were to move it
16 west to a standard location?

17 A. If I were to move it to a standard location, I
18 would be on the upthrown side of the fault block, and I
19 believe that I would encounter zero Morrow clastics, very
20 similar to the Yates well on my cross-section, as well as
21 the Mesa Petroleum well, which is located in the southeast
22 quarter of Section 26.

23 Q. So you want to be east of the fault?

24 A. Correct.

25 Q. Why don't you go further east of the fault and

1 get yourself to a standard location in the easterly
2 direction?

3 A. Well, within the graben system there is not a
4 standard location down in there. Even if I move east, I'm
5 still going to be unorthodox to that centerline,
6 regardless. And I lose structural position dramatically,
7 and I can show that on Exhibit 5 a little bit later, but we
8 can lose up to 100, 150 feet of structure, by moving to the
9 east.

10 Q. Let's have you turn to Exhibit 4 and identify and
11 describe this display.

12 A. Okay, Exhibit Number 4 is an isopach of the
13 Morrow clastics right here. And really, there's very
14 limited well control out here, Mr. Examiner. If you'll
15 notice, as on our cross-section, the Yates well had zero
16 clastic sands in it, the Concho Resources well encountered
17 35 feet of productive Morrow clastics. The Mesa well,
18 located in the southeast quarter of Section 26, once again
19 had zero Morrow clastics. And then we are proposing that
20 within the graben system, we will have a thick Morrow
21 clastics.

22 Now, if you'll notice, there is no well control
23 down in there. So it's speculation as to exactly how much
24 Morrow sands you might encounter there. We're simply
25 basing upon what Concho Resources encountered in their

1 graben system there, and we're estimating that we could
2 encounter up to 20 feet at the proposed location.

3 Q. Let's turn to the illustration of the seismic
4 analysis of the well proposal, Mr. Baker. If you'll turn
5 to Exhibit 5, identify for us what it is we're looking at.

6 A. Okay, this is an arbitrary seismic line taken
7 from our proprietary seismic database, and this pretty much
8 emulates the cross-section, as best I could. And if you'll
9 look on Exhibit 3, you'll see where this seismic line A-A'
10 goes.

11 Q. Let's get oriented on Exhibit 5 as to what you're
12 saying.

13 A. Okay.

14 Q. When I look at Exhibit 5 and I'm looking at the
15 top header --

16 A. Yes, sir.

17 Q. -- it runs from left to right --

18 A. Okay.

19 Q. -- and I run from the left margin going to the
20 right, and there's a vertical red line. What does that
21 vertical red line through Exhibit 5 represent when I look
22 over to Exhibit 3?

23 A. That is the Yates Petroleum "HZ" Number 1, that's
24 the location for that Yates.

25 Q. All right. The next vertical red line to the

1 right represents what?

2 A. That's the Concho Southern Cross "22" Number 1.

3 Q. The data in between those two lines on Exhibit
4 5 --

5 A. Uh-huh.

6 Q. -- represents an orientation through the
7 reservoir in what direction?

8 A. That's going to be in a northwest-southeast
9 orientation. It kind of runs along strike on the upthrown
10 side of the fault block --

11 Q. All right.

12 A. -- west of our proposed location.

13 Q. From the second vertical red line further right
14 to the third vertical red line, you're changing orientation
15 now and viewing the reservoir in a different direction?

16 A. Yes, sir. What I did is, I took it to the --
17 directly across from our location on the upthrown side of
18 the fault block and then went due east to show the graben
19 system and our proposed location for the Yellow Stonefly
20 Number 1, "26" Number 1.

21 Q. Let's go back to Exhibit 5 and find the first
22 vertical red line.

23 A. Uh-huh.

24 Q. Read down the vertical red line and find us the
25 point vertically that's of importance to you.

1 A. Okay, if you'll look down there at about 1.4
2 seconds, you'll see a green line called the Chester. That
3 is a Chester marker right there, seismic reflector. And
4 you'll see at the Yates Number 1 well that it is situated
5 on the upthrown fault block at about 1.4 seconds.

6 Q. If I'm at the intersection of the vertical red
7 line with the horizontal green line in that wellbore and
8 continue just to the right, there's a vertical black line.

9 A. Yes, sir.

10 Q. What does that represent?

11 A. That's the fault. That is a north-south trending
12 fault that separates the Yates from the Southern Cross,
13 Concho Southern Cross "22" Number 1.

14 Q. The Yates well was on the wrong side of the
15 fault?

16 A. Yes, sir, they were, by 500 feet.

17 Q. All right. Move across the fault now --

18 A. Yes, sir.

19 Q. -- continue to the next vertical red line, which
20 is the Concho well.

21 A. Yes, sir.

22 Q. What's occurred there?

23 A. Well, they've basically gone downthrown by about
24 approximately 100 feet. And if you'll look at the
25 difference between that green line and the lower Morrow

1 lime, which is located directly above it in red, you'll see
2 how much thicker that is. Basically in that thick interval
3 is where sand Morrow clastic systems were deposited.

4 Q. And your strategy is to identify and then
5 penetrate a similar feature that you believe exists in the
6 north half of 26?

7 A. Yes, sir, it is.

8 Q. All right, let's see how you illustrate this on
9 that display.

10 A. Okay, if you just continue right on across --

11 Q. -- following the Chester green line?

12 A. -- following the Chester green line, you'll see
13 once again that directly across from our location, that the
14 Chester is approximately 1.4 to 1.5 seconds right there,
15 and that our proposed location, you drop down to about
16 1.65, 1.6 to 1.65, you'll see there's a noticeable break
17 right there, i.e, we drop down into another graben system
18 very similar to what the Southern Cross well did.

19 And you'll notice if you continue further right,
20 you'll come back up from it again, and it jumps up about 20
21 milliseconds on another fault block. So you see the
22 definition of where the graben system is located.

23 You also see within the graben system how steep a
24 dip there is on the top of the Chester lime. That's
25 approximately 15 milliseconds, and at seven feet per

1 millisecond, you're looking at approximately 100 feet of
2 structure.

3 Q. In conclusion, Mr. Baker, summarize for us your
4 opinion.

5 A. Well, basically we believe that the best location
6 to drill and test this Morrow system is at the given
7 location of 2600 feet from the west and 1980 feet from the
8 north line, and we hope to encounter approximately 20 feet
9 of lower Morrow clastics in the most updip position within
10 this graben.

11 MR. KELLAHIN: Mr. Examiner, that concludes my
12 examination of Mr. Baker.

13 We move the introduction of his Exhibits 1
14 through 5.

15 EXAMINER CATANACH: Exhibits 1 through 5 will be
16 admitted as evidence.

17 EXAMINATION

18 BY EXAMINER CATANACH:

19 Q. Mr. Baker, if you move that location further
20 east, you might get a thicker section but you're going to
21 lose structure; is that what you're testifying?

22 A. Yes, that is completely true, yes, sir.

23 Q. And are those faults that you show on Exhibit 4,
24 are those sealing faults?

25 A. Yes, sir, we believe them to be sealing faults.

1 Q. Okay. Are there any horizons uphole that are
2 potentially productive in this area?

3 A. Yes, sir, the Cisco limestone, given porosity
4 development, is a potential target here.

5 Q. How about any shallow zones?

6 A. There are shallow zones out in this area, Mr.
7 Catanach. At this proposed location I have no reason to
8 believe that the Wolfcamp or the Abo or the Queen oil is
9 prospective at this particular location, but there are
10 other productive horizons within a 10- or 15-mile area.

11 Q. So you don't anticipate at this point that there
12 will be any shallow well completions?

13 A. No, sir. No, sir.

14 Q. The reason being, you're going to be 40 feet off
15 that --

16 A. Yes, sir.

17 Q. -- quarter-quarter section line with an offset
18 operator that doesn't own an interest in the well.

19 A. Yes, sir.

20 EXAMINER CATANACH: Just want to make you aware
21 of that. I'm sure you probably are.

22 I believe that's all I have, Mr. Kellahin.

23 MR. KELLAHIN: Mr. Examiner, Exhibit 6 is our
24 certificate of notification to Nearburg, and Exhibit 7 is
25 their waiver of objection to the well location.

1 And with the introduction of Exhibit 6 and 7,
2 that concludes our presentation.

3 EXAMINER CATANACH: Okay, Exhibits 6 and 7 will
4 be admitted as evidence.

5 There being nothing further, Case 12,533 will be
6 taken under advisement.

7 (Thereupon, these proceedings were concluded at
8 10:38 a.m.)

9 * * *

10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Received by me on December 7 12533
David R. Catnach - 2000
Oil Conservation Dept.

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL December 10th, 2000.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 2002