

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:)
APPLICATION OF DAVID H. ARRINGTON OIL)
AND GAS, INC., FOR COMPULSORY POOLING)
AND UNORTHODOX WELL LOCATION,)
LEA COUNTY, NEW MEXICO)

CASE NO. 12,675

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

May 31st, 2001

Santa Fe, New Mexico

OIL CONSERVATION DIV
01 JUN 14 AM 8:34

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Thursday, May 31st, 2001, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

May 31st, 2001
 Examiner Hearing
 CASE NO. 12,675

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>DALE DOUGLAS</u> (Landman)	
Direct Examination by Mr. Carr	5
Examination by Mr. Kellahin	13
Further Examination by Mr. Carr	17
Examination by Examiner Stogner	17
<u>BILL BAKER</u> (Geologist)	
Direct Examination by Mr. Carr	19
Examination by Mr. Kellahin	30
Examination by Examiner Stogner	37
REPORTER'S CERTIFICATE	42

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	7	12
Exhibit 2	10	12
Exhibit 3	10	12
Exhibit 4	11	12
Exhibit 5	20	30
Exhibit 6	23	30
Exhibit 7	24	30

* * *

A P P E A R A N C E S

FOR THE DIVISION:

DAVID BROOKS
Attorney at Law
Legal Counsel to the Division
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
110 N. Guadalupe, Suite 1
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

FOR PURE RESOURCES, INC.:

KELLAHIN & KELLAHIN
117 N. Guadalupe
P.O. Box 2265
Santa Fe, New Mexico 87504-2265
By: W. THOMAS KELLAHIN

ALSO PRESENT:

RICHARD EZEANYIM
NMOCD Chief Engineer

* * *

1 WHEREUPON, the following proceedings were had at
2 9:33 a.m.:

3
4
5 EXAMINER STOGNER: At this time I'll call Case
6 Number 12,675, which is the Application of David H.
7 Arrington Oil and Gas, Inc., for compulsory pooling and an
8 unorthodox well location, Lea County, New Mexico.

9 At this time I'll call for appearances.

10 MR. CARR: May it please the Examiner, my name is
11 William F. Carr with the law firm Holland and Hart, L.L.P.,
12 in Santa Fe.

13 We represent David H. Arrington Oil and Gas,
14 Inc., and I have two witnesses.

15 EXAMINER STOGNER: Any other appearances?

16 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of
17 the Santa Fe law firm of Kellahin and Kellahin, appearing
18 on behalf of Pure Resources, L.P.

19 EXAMINER STOGNER: Mr. Kellahin, do you have any
20 witnesses?

21 MR. KELLAHIN: No, Mr. Examiner.

22 EXAMINER STOGNER: Any other appearances?

23 The witnesses are standing to be sworn.

24 (Thereupon, the witnesses were sworn.)

25 EXAMINER STOGNER: Mr. Carr?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DALE DOUGLAS,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. CARR:

Q. Would you state your name for the record, please?

A. Dale Douglas.

Q. Where do you reside?

A. Midland, Texas.

Q. By whom are you employed?

A. I'm a self-employed independent landman.

Q. Mr. Douglas, what is your relationship with David H. Arrington Oil and Gas, Inc.?

A. I provide contract land services for Arrington.

Q. Have you previously testified before the New Mexico Oil Conservation Division?

A. Yes, sir.

Q. At the time of that testimony were your credentials as an expert in petroleum land matters accepted and made a matter of record?

A. Yes, sir.

Q. Are you familiar with the Application filed in this case on behalf of Arrington?

A. Yes, sir.

Q. Are you familiar with the status of the lands in

1 the subject area?

2 A. Yes, I am.

3 MR. CARR: Mr. Stogner, are Mr. Douglas's
4 qualifications as an expert in petroleum land matters
5 acceptable?

6 EXAMINER STOGNER: Any objection?

7 MR. KELLAHIN: No, sir.

8 EXAMINER STOGNER: So qualified.

9 Q. (By Mr. Carr) Mr. Douglas, would you briefly
10 state what Arrington seeks with this Application?

11 A. Yes, sir. Arrington seeks an order pooling all
12 minerals from the surface to the base of the Mississippian
13 formation under the west half of Section 31, Township 16
14 South, Range 36 East, Lea County, New Mexico, to form a
15 nonstandard spacing and proration unit for all formations
16 and pools developed on 320 acres, which includes the
17 Undesignated East Shoe Bar-Chester Gas Pool.

18 This will be dedicated to the Double Hackle
19 Peacock "31" State Com Well Number 1. The well will be
20 drilled at an unorthodox well location, being 2400 feet
21 from the south line and 1340 feet from the west line of
22 Section 31. The unorthodox location is encroaching upon
23 the centerline by approximately 60 feet, and this
24 encroachment is encroaching upon ourselves, and in this
25 west half the ownership is the same beneficiary

1 institutions.

2 Q. They're both state tracts?

3 A. Yes, sir, they are.

4 Q. And you've checked with the Land Office, and
5 they're both common schools?

6 A. That's correct.

7 Q. Have you prepared exhibits for presentation here
8 today?

9 A. Yes, sir.

10 Q. Mr. Douglas, let's go to what's been marked as
11 Arrington Exhibit Number 1. I'd ask you to identify the
12 exhibit and review the information thereon for Mr. Stogner.

13 A. Okay. Arrington Exhibit Number 1 is a land map
14 which depicts the proposed spacing unit for this west half
15 of Section 31. There's a red dot which indicates the
16 proposed well location.

17 Also indicated on the map, highlighted in yellow,
18 is Arrington's ownership under this west half, being the
19 northwest quarter.

20 I'd point out that this west half of Section 31
21 is an irregular section. The acreage comprising the west
22 half is four lots in the east half of the west half, and
23 instead of a standard 320, the acreage included is 308.84
24 acres, which is a nonstandard unit but within the
25 tolerances of the Rule 104.D.

1 Q. And would qualify for approval when the C-102 is,
2 in fact, approved, when it is actually filed with the APD;
3 is that right?

4 A. That is correct.

5 Q. What is the status of the 320-acre tract? Is it
6 all state land?

7 A. Yes, sir, both the northwest quarter and the
8 southwest quarter owned by the State of New Mexico. And
9 again, the royalty ownership, it's under the same common
10 beneficiary.

11 Q. And what is the primary objective in the proposed
12 well?

13 A. The Atoka-Morrow formation.

14 Q. Could you summarize for Mr. Stogner the status of
15 the ownership in the subject spacing unit?

16 A. Yes, sir, the northwest quarter of the proposed
17 unit is owned by David H. Arrington Oil and Gas, Inc., 100
18 percent. The southwest quarter of the proposed unit is
19 owned by two parties. Pure Resources, L.P., owns 75
20 percent, and Kriti Exploration, Inc., owns 25 percent.

21 Q. And are both the Pure and Kriti interests subject
22 to this pooling Application?

23 A. Yes, sir, they are.

24 Q. Would you summarize for the Examiner your efforts
25 to reach voluntary agreement for the development of this

1 area?

2 A. Yes, sir, our first formal contact with both of
3 these parties was back in November of 2000, and we had had
4 prior conversations, telephone conversations, but the
5 formal proposal went out on November the 1st, wherein the
6 proposal requested that these -- both Kriti and Pure either
7 participate in the drilling of this well or negotiate some
8 sort of an agreement whereby we could earn that interest.

9 Q. Your written proposal to them is dated November
10 the 1st, 2000?

11 A. Yes, sir, it is.

12 Q. And since that time have you personally been
13 involved in negotiations with each of these entities?

14 A. Yes, sir, I have. I've --

15 Q. And -- Go ahead.

16 A. I've had roughly three meetings with the Pure
17 representative, several phone conversations with him as
18 well, have also had -- Kriti is located in Houston. We've
19 had no meetings with those guys, nor have they requested
20 one, but we've had probably four different phone
21 conversations with Kriti representatives, two separate
22 representatives.

23 Q. And have you recently provided them again with a
24 well proposal and a joint operating agreement and an AFE?

25 A. Yes, sir, we have. They had indicated that they

1 would consider participating in the well and had asked us
2 for an updated AFE, since the one we previously sent was
3 dated November. We sent them a new AFE and a joint
4 operating agreement for their consideration.

5 Q. In your opinion, have you done all you can to
6 obtain a voluntary agreement with these entities for
7 participation in this well?

8 A. Yes, sir.

9 Q. And if either or them or both of them should
10 voluntarily agree to participate, will you immediately
11 advise the decision --

12 A. Yes, sir, we will.

13 Q. -- of their decision?

14 A. Yes, sir.

15 Q. Is Exhibit Number 2 a copy of the November 1st
16 letter proposing the well and the more recent letter
17 sending the revised AFE and the JOA?

18 A. Yes, sir, they are.

19 Q. Let's go to what has been marked Exhibit Number
20 3. Would you identify that?

21 A. Yes, sir. Exhibit Number 3 is the AFE which was
22 recently -- the revised AFE which was recently sent to both
23 parties.

24 Q. Would you review the totals as set forth on this
25 exhibit?

1 A. The estimated total drilling cost for the dryhole
2 cost for the well is \$1,119,136. Total completed well cost
3 is estimated at \$1,606,456.

4 Q. Are these costs in line with what other operators
5 charge in the area for similar wells?

6 A. Yes, sir, we believe they are.

7 Q. Are these current costs the costs that Mr.
8 Arrington is incurring for the development of similar
9 properties and the drilling of similar wells?

10 A. Yes, sir.

11 Q. Is Exhibit Number 4 an affidavit with attached
12 letters confirming that notice of today's hearing had been
13 provided in accordance with the rules of the Oil
14 Conservation Division?

15 A. Yes, sir, it is.

16 Q. Have you made an estimate of the overhead and
17 administrative costs to be incurred while drilling and also
18 while producing the well if it is successful?

19 A. Yes, sir, we have. The drilling well rate is
20 estimated at \$6000 per month with a producing well rate of
21 \$600 a month.

22 Q. And are these consistent with the costs incurred
23 by other operators in the area?

24 A. Yes, they are. They're rates that we have both
25 charged other operators under voluntary agreement, as well

1 as other operators have charged us.

2 Q. And these are the figures set forth in the JOA
3 which is included in Exhibit Number 2?

4 A. That is correct.

5 Q. Do you recommend that these figures be
6 incorporated into the order which results from today's
7 hearing?

8 A. Yes, sir.

9 Q. Does David H. Arrington Oil and Gas, Inc., seek
10 to be designated operator of the proposed well?

11 A. Yes, sir.

12 Q. Will you also be calling a geological witness to
13 review the technical portions of this case?

14 A. Yes, sir.

15 Q. Were Exhibits 1 through 4 either prepared by you
16 or compiled under your direction, or can you testify as to
17 the accuracy of these exhibits?

18 A. Yes, sir, I can.

19 MR. CARR: At this time, Mr. Stogner, we would
20 move the admission into evidence of Arrington Exhibits 1
21 through 4.

22 EXAMINER STOGNER: Exhibits 1 through 4 will be
23 admitted into evidence if there's no objection.

24 MR. KELLAHIN: No objection.

25 MR. CARR: And that concludes my direct

1 examination of Mr. Douglas.

2 EXAMINER STOGNER: Thank you, Mr. Carr.

3 Mr. Kellahin, your witness.

4 EXAMINATION

5 BY MR. KELLAHIN:

6 Q. Mr. Douglas, let me refer you to your well
7 proposal of November 1st of last year. Attached to that
8 proposal is an AFE. Do you see that?

9 A. Yes, sir.

10 Q. You don't prepare these AFEs, do you, Mr.
11 Douglas?

12 A. No, sir, they're compiled under the direction of
13 a petroleum engineer.

14 Q. This is signed off by Steve Scott. Is he still
15 employed by Mr. Arrington?

16 A. He is still employed, however he's out on sick
17 leave.

18 Q. Does he customarily do the estimates for well
19 costs?

20 A. Yes.

21 Q. Is that currently his function?

22 A. He's out on sick leave, so he's not actively
23 involved with --

24 Q. So someone is doing that for him now --

25 A. Yes, sir.

1 Q. -- or for Mr. Arrington?

2 A. Yes, sir.

3 Q. Look at the top of the AFE for me. It says "Well
4 Type: Exploratory/Oil", the objective is the Mississippian.
5 Do you know why it's captioned as an oil AFE?

6 A. No, sir, I don't.

7 Q. If you'll turn to the second AFE, it's by cover
8 letter May 17th of this year, is this the revised AFE?

9 A. Yes, sir.

10 Q. This caption has been changed. It now says
11 "Exploratory/Gas". Do you know why that change was made?

12 A. I would assume when the revised AFE was prepared
13 that error was noted.

14 The well had been proposed as a gas well,
15 however, on both occasions.

16 Q. Originally it was proposed under the AFE to drill
17 and complete a Mississippian well. You identify that
18 you're going to test the Atoka-Mississippian formation;
19 that's the first proposal.

20 A. (Nods)

21 Q. The revised proposal doesn't say anything about
22 your formations, does it?

23 A. In the proposal letter?

24 Q. Yeah, or on May 17th. You can't read the May
25 17th letter and figure out what are the target formations,

1 can you?

2 A. From the letter itself?

3 Q. Yes, sir.

4 A. No, but the attached exhibit AFE references those
5 formations.

6 Q. Can you read either the AFE or the letter and
7 determine what is the spacing units that you're proposing
8 to use?

9 A. No, sir, it's not referenced there.

10 Q. Why didn't you do that?

11 A. We had prior correspondence with both parties and
12 had been in communication, and it was clear on all
13 occasions.

14 There was never a question as to what the unit
15 would be. It was always the west-half unit.

16 Q. Do you have prior correspondence that you can
17 document, other than what you've presented this morning?

18 A. I believe if you'll go to the November 1st
19 letter --

20 Q. Yes, sir.

21 A. -- in the first paragraph we state that the
22 proposed spacing unit would be the west half of Section 31.

23 Q. All right, and so it was continued -- Your
24 assumption was to continue that spacing unit?

25 A. Yes, sir.

1 Q. Is the east half available as a spacing unit?

2 A. I assume that it would be.

3 Q. All right, so there is no deep gas well spacing
4 unit in Section 31 at this point --

5 A. No, sir.

6 Q. -- on any formation?

7 A. Not to my knowledge.

8 Q. So your -- the spacing -- the section is
9 available to orient either laydowns or standups?

10 A. I would assume that's correct.

11 Q. And your well location would be in the southwest
12 quarter?

13 A. Yes, sir.

14 Q. The Arrington interest is the northwest quarter?

15 A. That's correct.

16 Q. Does Arrington have an interest anywhere else in
17 Section 31?

18 A. No, sir.

19 Q. All right, so if it's a laydown you're excluded
20 from the well? Laydown south half --

21 A. It would be -- That's correct.

22 Q. The only way you would participate is if it's a
23 west-half unit?

24 A. That's correct.

25 MR. KELLAHIN: All right, thank you.

1 FURTHER EXAMINATION

2 BY MR. CARR:

3 Q. Mr. Douglas, has anyone at any time proposed a
4 laydown unit in this section?

5 A. No, sir.

6 MR. CARR: All right.

7 EXAMINATION

8 BY EXAMINER STOGNER:

9 Q. Mr. Douglas, in the beginning you stated that it
10 was state lease, two state leases?

11 A. Yes, sir.

12 Q. And who is the beneficiary of both?

13 A. It's the -- I believe it was the school --

14 MR. CARR: Common School.

15 THE WITNESS: Common School.

16 Q. (By Examiner Stogner) I'm looking at, on Exhibit
17 Number 2, both the November 1st letter and -- well, the
18 November 1st letter. It states here that the initial well
19 will be drilled at a legal location in the northwest
20 quarter of Section 31. When was that decision changed?21 A. It was changed subsequent to that, based upon
22 some additional geological work that had been done.

23 Q. And that was --

24 A. I would guess February of 2001.

25 Q. Mr. Douglas, you seem to be knowledgeable with

1 Rule 104.D, inasmuch as you knew that this fell within the
2 tolerance of a standard spacing unit, what was considered a
3 spacing unit for a 320-acre gas unit?

4 A. Correct.

5 Q. Then you're aware that there's an infill drilling
6 provision for full development for deep gas. You are aware
7 of that, I assume?

8 A. Yes, I assume you're speaking of downspacing for
9 160 -- increased density locations?

10 Q. Increased density locations, not downspacing.

11 A. Okay.

12 Q. Right.

13 A. Yes, sir.

14 Q. That was the optional infill well provision.

15 A. Correct.

16 Q. Are there plans to drill a second well if this
17 one is successful, that you know of?

18 A. Not to my knowledge. I would assume that that
19 decision would be made based upon the well results and how
20 the maps might change.

21 EXAMINER STOGNER: Okay. Are there any other
22 questions of this witness?

23 Thank you, you may be excused, Mr. Douglas.

24 Mr. Carr?

25 MR. CARR: Mr. Stogner, at this time we'd call

1 Bill Baker.

2 BILL BAKER,

3 the witness herein, after having been first duly sworn upon
4 his oath, was examined and testified as follows:

5 DIRECT EXAMINATION

6 BY MR. CARR:

7 Q. Would you state your name for the record, please?

8 A. Bill Baker.

9 Q. Mr. Baker, where do you reside?

10 A. Midland, Texas.

11 Q. By whom are you employed?

12 A. David H. Arrington Oil and Gas, Inc.

13 Q. And what is your position with Arrington?

14 A. I'm exploration manager.

15 Q. What are your professional credentials? Are you
16 a geologist?

17 A. Yes, sir, I am, petroleum geologist.

18 Q. Have you previously testified before the Oil
19 Conservation Division?

20 A. Yes, sir, I have.

21 Q. At the time of that testimony were your
22 credentials as an expert in petroleum geology accepted and
23 made a matter of record?

24 A. Yes, sir, they have been.

25 Q. Are you familiar with the Application filed in

1 this case on behalf of Arrington?

2 A. Yes, sir, I am.

3 Q. Have you made a geological study of the area
4 which is the subject of this case?

5 A. Yes, sir, I have.

6 Q. And are you prepared to review that work with the
7 Examiner?

8 A. Yes, sir, I am.

9 MR. CARR: Mr. Stogner, are the witness's
10 qualifications acceptable?

11 EXAMINER STOGNER: Any objection?

12 MR. KELLAHIN: No objection.

13 EXAMINER STOGNER: So qualified.

14 Q. (By Mr. Carr) Mr. Baker, let's go to what has
15 been marked for identification as Arrington Exhibit Number
16 5.

17 A. Yes, sir.

18 Q. Would you identify that first and then review the
19 information for Mr. Stogner?

20 A. Yes, sir. But first, Mr. Examiner, I would like
21 to make a note of a correction, a drafting error for my
22 cross-section A-A' that I have labeled on Exhibits 5 and 6.
23 Up there where it says A, the first well should actually be
24 the gas well that's located in the northeast of the
25 northeast quarter of Section 15. That well is

1 inappropriately marked right there, so if you'd please make
2 that notation.

3 EXAMINER STOGNER: Okay, what should it be
4 marked?

5 THE WITNESS: It should be that northeast
6 northeast quarter. It's currently marked as the southeast
7 of the northeast quarter, that first well on -- right where
8 it says A.

9 EXAMINER STOGNER: Okay.

10 THE WITNESS: Yes, sir, that should be -- That
11 was a drafting error that I missed in my review.

12 EXAMINER STOGNER: So noted.

13 THE WITNESS: Okay, sir.

14 The first exhibit that I would like to present
15 here is Exhibit Number 5, and this is a structure map on
16 the top of the lower Morrow limestone. This is a regional
17 marker that is widespread throughout this portion of Lea
18 County.

19 Basically what this map shows is that we have a
20 northwest/southeast-trending set of ridges, structural
21 ridges in here. As you can see, it's extremely complicated
22 by a series of faults.

23 On here I have noted by the wells that have
24 circles around them as being wells that penetrated the top
25 of the Morrow formation. I have also noted by the wells

1 colored in an orange color there, those are Atoka Brunson
2 producers. This is one of the primary gas-producing
3 horizons in this area, and it is also the primary -- one of
4 two primary targets at our proposed location.

5 Basically what I have shown here is that our
6 proposed location for the Double Hackle Peacock "31" will
7 be located in a graben low, situated in between two
8 Devonian structures, the North Shoe Bar -- or excuse me,
9 the Shoe Bar-Devonian fields, down there in Section 31 and
10 also located in Sections 1 and 6.

11 Basically what this does is, it sets up kind of a
12 structural low system running from the northwest to
13 southeast trend that I believe influenced the Atoka
14 deposition. At the time the Atoka was laid down I believe
15 it was laid down in these lows, which has affected --
16 basically affects where you put your drill sites.

17 Q. (By Mr. Carr) Mr. Baker, this map is dated May
18 25th, 2001. When was it actually prepared?

19 A. This map -- I mean, all this work was generated
20 based entirely off subsurface geology, and it was generated
21 back in early -- or excuse me, late 1999, early 2000.

22 Q. And this is just the date --

23 A. Yes, sir, these are the dates that my geotech
24 just simply prepared our exhibits, and she always puts the
25 date when she prepares them.

1 Q. You've shaded certain wells in brown and
2 indicated that they are Atoka Brunson producers?

3 A. Yes, sir.

4 Q. Is that the primary objective in the well?

5 A. Yes, sir, it is.

6 Q. Let's go to what has been marked as Exhibit
7 Number 6. Would you review this, please?

8 A. Yes, sir, this is Exhibit Number 6, and Exhibit
9 Number 6 is an isopach of the lower Atoka Brunson sand, and
10 this is a sand that I referenced as one of the two primary
11 producing targets in this area.

12 From subsurface well control you can tell that
13 this is kind of a northwest/southeast-trending channel
14 system. It's very well defined to the northwest up there
15 in Sections 10, 11, 14 and 15. There's been a number of
16 wells drilled up there in the past couple of years.

17 As you see, based upon the structural position
18 that I had on the Morrow limestone it is my belief that
19 this system comes down to the southeast. I believe it
20 heads to the southeast and then kind of takes a bend back
21 to the southwest right there.

22 Our proposed location appears to be on the very
23 eastern edge of the channel system. I'll talk a little bit
24 about why we have that positioned right there when we get
25 to the cross section, Exhibit Number 7, in a minute, but it

1 is my belief that we'll encounter somewhere between 10 to
2 15 feet of productive Atoka system sands.

3 Q. Are you ready to go to your cross-section?

4 A. Yes, sir.

5 Q. All right, let's refer to Arrington Exhibit
6 Number 7. First review the trace and then the information
7 on the cross-section itself.

8 A. Okay, this is cross-section A-A', and as
9 previously noted, there's a drafting error up there. The
10 very first well on the left-hand side, which is the
11 Chesapeake Operating Boyce 1-15, should be located in the
12 northeast of the northeast quarter of Section 15, so if
13 you'll make that notation on these maps, we'll start right
14 there.

15 This well was drilled in 2000, this past year.
16 It was drilled as an Atoka-Morrow test. Chesapeake
17 basically perforated and attempted a completion in a Morrow
18 -- what I call the Morrow Austin zone, and then also the
19 Atoka Brunson interval. I have noted their completions
20 there in red.

21 They perforated an interval from 11,932 feet to
22 -938 in the Austin Morrow, and they also perforated 11,803
23 to -809 in the lower Atoka Brunson interval. They
24 immediately frac'd the well with 240 tons of CO₂ and 52,000
25 pounds of 20/40 interproppant. They basically had the well

1 flowing at a rate of 390 MCF a day and 9 barrels of oil.

2 They subsequently plugged these two intervals and
3 completed in an upper Atoka zone that's not referenced on
4 this map, it's not one of my targets in there, but they
5 abandoned this interval in here.

6 If you move directly to the right of that well,
7 you will see the David H. Arrington Oil and Gas, Inc.,
8 Mayfly "14" State Com Number 1. This well was drilled in
9 May of 2000. It was drilled as a lower Atoka Brunson test,
10 but we did take it down through the lower Mississippian in
11 an attempt to make sure that we had encountered any
12 potential productive Morrow intervals.

13 We did encounter an Austin Morrow interval, of
14 which we attempted a completion in here from 12,040 to -47
15 feet. We had it flowing at a rate of 1.6 million cubic
16 feet of gas a day and 54 barrels of oil and decided to frac
17 it with 46 tons of CO₂ and 3000 gallons of methanol, and
18 basically lost most of the well. We did get it back to a
19 rate of 500 MCF a day and 5 barrels of oil.

20 At this time, knowing that we had the Atoka
21 Brunson interval uphole, we deemed this as an interval
22 we'll come back to later someday, and we set a bridge plug,
23 came back up and recompleted in the Atoka Brunson interval
24 from a depth of 11,884 to -907. It came on at 1.5 million
25 cubic feet of gas a day. It has currently made 49 million

1 cubic feet of gas and 11,000 barrels, and is producing at
2 2.6 million cubic feet of gas per day and 50 barrels of
3 oil.

4 If you will continue down the cross-section, you
5 will come to the Mesa Petroleum Monsanto State well. This
6 well was drilled in 1975 as a Morrow test. They completed
7 in the Atoka Brunson interval from a depth of 11,849 to
8 -876. The well came on at 1.8 million a day. It has
9 currently cum'd 4 BCF and 89,000 barrels of oil, currently
10 producing at a rate of 243 MCF per day.

11 If you will continue to move on to the right side
12 of the cross-section you will see where our proposed
13 location is at, and directly next door to it you will see a
14 well on the far right-hand side. It's called the Stanolind
15 Oil and Gas State "AC" Number 1. This well was drilled in
16 1954 by Stanolind Oil and Gas. It was drilled as a
17 Devonian test.

18 They drilled the well to a depth -- I believe it
19 was 14,000 or 13,000, something, and actually ended up
20 running pipe and testing the Devonian. They tested sulfur
21 water out of it. It was noncommercial, didn't make any oil
22 at all.

23 Subsequently came back uphole, and I guess based
24 on mud logs or some shows or something they had, they
25 attempted some completions in what I call this Austin

1 Carlisle sand interval in here, and I have put a notation
2 to their perforated intervals in here. They perforated
3 12,200 to -220 and 12,240 to -280. They acidized it with
4 3000 gallons and flowed it for 7 hours at a rate of 3.48
5 million cubic feet of gas per day and 46 barrels of oil.

6 They came back the next day and flowed it for 16
7 1/2 hours for 3.14 million cubic feet of gas and 64 barrels
8 of oil, and then they subsequently re-acidized the well
9 with 10,000 gallons, and they started swabbing oil and mud.
10 It looks to me like they had some type of a mechanical
11 problem or something, but they never regained gas
12 production in there and were testing, I guess, at a
13 noncommercial oil rate.

14 They subsequently plugged the well and abandoned
15 it.

16 What our Double Hackle Peacock well indicates, I
17 believe also that they had approximately six feet of
18 Brunson sand in this Stanolind "AC" Number 1 well, and you
19 can see that by kind of a resistive mark that they have on
20 this old microlog that they have there. I believe based on
21 -- there's no microlog there -- that they had six feet of
22 tight sand.

23 When you put this in relationship with the
24 geology, I believe that they were on the very eastern edge
25 of an Atoka channel system. I believe by moving slightly

1 back to the west or northwest that you can hopefully
2 increase your reservoir rock in here and get into a
3 productive lower Atoka interval.

4 Also, it's obvious that they had the potential
5 for a commercial well in this Austin sand down here. Now,
6 then, there is no other well control in the area that has
7 seen this sand in here. So based on that, you have to know
8 that it could be limited. But they did test some fairly
9 decent rates in here, and they lost it.

10 Our hope is that by staying slightly to the north
11 and west of this we will increase possible sand thickness.
12 I have no geological reasons for that, because there's
13 simply no well control. But it's our hope that we will
14 encounter some Austin Carlisle sand here as kind of a
15 secondary target as well.

16 Q. Mr. Baker, are you prepared to make a
17 recommendation to the Examiner as to the risk penalty that
18 should be assessed against any interest owner who has not
19 voluntarily joined in the well?

20 A. Yes, sir, I am.

21 Q. And what is that?

22 A. 200 percent.

23 Q. Would you summarize for Mr. Stogner the basis for
24 that recommendation?

25 A. Well, the basis of that recommendation is that

1 this is still an extremely risky venture. As you can tell,
2 this area down here does not have any productive -- gas
3 production from the Brunson interval down in here, so we
4 still have an extreme reservoir risk from our standpoint,
5 and we could easily encounter sands with no reservoir
6 there, which would deem it a dry hole and noncommercial.

7 Q. In your opinion you could drill an uneconomic
8 well --

9 A. Yes, sir.

10 Q. -- at this location? You're trying to be close
11 to the Stanolind well?

12 A. Yes, sir.

13 Q. But not too close?

14 A. Yes, you don't want to get too close.

15 Q. In your opinion, will approval of this
16 Application and drilling of the proposed well at this
17 location be in the best interest of conservation, the
18 prevention of waste and the protection of correlative
19 rights?

20 A. Yes, sir, I believe so.

21 Q. Were Exhibits 5 through 7 prepared by you?

22 A. Yes, sir, they were.

23 MR. CARR: At this time, Mr. Stogner, we would
24 move the admission into evidence of Arrington Exhibits 5
25 through 7.

1 EXAMINER STOGNER: Any objection?

2 MR. KELLAHIN: No, sir.

3 EXAMINER STOGNER: Exhibits 5 through 7 will be
4 admitted into evidence.

5 MR. CARR: And that concludes my direct
6 examination of Mr. Baker.

7 EXAMINER STOGNER: Thank you, Mr. Carr.
8 Mr. Kellahin, your witness.

9 MR. KELLAHIN: Thank you, Mr. Examiner.

10 EXAMINATION

11 BY MR. KELLAHIN:

12 Q. Mr. Baker, you indicated that the Brunson
13 interval in the lower Atoka series is one of the objectives
14 -- one of two objectives, I think you said --

15 A. Uh-huh.

16 Q. -- for the well?

17 What's your other objective?

18 A. This Austin Carlisle that had the show in the
19 Stanolind well.

20 Q. May I see your isopach on that?

21 A. No, sir, there's not enough well control for an
22 isopach.

23 Q. So is there any potential in the Morrow?

24 A. Not mappable.

25 Q. So when we look at the cross-section, Exhibit 7,

1 you've given us an isopach of this area shaded in yellow up
2 higher in the cross-section, you've identified it as the
3 Brunson sand?

4 A. Yes, sir.

5 Q. As we go down the estimated location of the well,
6 we get the Austin Carlisle sand.

7 A. Uh-huh.

8 Q. That Austin Carlisle sand, is it going to be
9 below the base of the Morrow?

10 A. Yes, sir, it will be below the base of the
11 Morrow.

12 Q. So you don't see any opportunity in the Morrow?

13 A. No, sir, not as we define Morrow, no, sir.

14 Q. Well, how do you define Morrow?

15 A. Well, I mean a lot of people out here define the
16 actual Austin system as a Morrow system, but it's actually
17 one of several Mississippian unconformities out here, so
18 it's a semantic issue between geologists.

19 Q. Look in Section 31 with me on your Exhibit Number
20 6, which is your Brunson isopach.

21 A. Yes, sir.

22 Q. Have you got that?

23 A. Uh-huh.

24 Q. There are some wells with data points showing a
25 net thickness and then a gross thickness in the Brunson --

1 A. Uh-huh.

2 Q. -- it's the 2/6 nomenclature.

3 A. Yes, sir.

4 Q. Did those wells produce from the Morrow or any
5 other formation?

6 A. No, sir, they're Devonian wells.

7 Q. Those were Devonian wells?

8 A. Yes, sir.

9 Q. All right. Is it your strategy as a geologist to
10 try to get a thickness in the Brunson, I thought you said
11 between 10 and 15 feet?

12 A. Yes, sir.

13 Q. So the strategy for a geologist is to look for
14 net clean thickness of Brunson sand?

15 A. Yes, sir.

16 Q. And the thicker the sand, the better location?

17 A. Sometimes.

18 Q. Well, isn't that your strategy?

19 A. Well, I mean, you have to couple that with the
20 structural and the trap risk as well. Yes, sir, if I could
21 guarantee a trap, obviously the thicker the sand interval,
22 sometimes you will increase the better porosity and perm
23 too, yes, sir.

24 Q. All right, let's start with the thickness map
25 then. If your criteria is to get to a thicker interval --

1 A. Uh-huh.

2 Q. -- explain to me why you're not in the northwest
3 quarter, because it appears the northwest quarter has
4 greater thickness at a standard location than your proposed
5 unorthodox location.

6 A. Yes, sir, it does. But we also know that the
7 Brunson interval out in this area does have an associated
8 water contact with it, and it is my belief that as you move
9 off to the northwest you will lose structure. And with any
10 loss of structure you could encounter a water contact. We
11 know that the Stanolind well, in my opinion, is the updip
12 strat pinchout, so you want to stay at the most
13 structurally high position that you can get and still have
14 an opportunity for getting the best reservoir rock that you
15 have.

16 Q. All right, let's look at your structure map
17 Exhibit 5. When I compare the unorthodox location to a
18 standard location in the northwest quarter, I can achieve a
19 higher structural position in the northwest quarter than I
20 can achieve at your proposed location, true?

21 A. Yes, sir, you could, uh-huh.

22 Q. So explain to me how you're going to get Mr.
23 Stogner to support a nonstandard location when your maps
24 don't support that position.

25 A. Well, this nonstandard location is not entirely

1 about the Brunson interval. It's also because we want to
2 stay in proximity to our show well down to the south. This
3 is what this prospect was generated on. I mean, not only
4 do we have the Brunson interval here, but you can't deny
5 the good show that was in the Austin Carlisle sand. And
6 basically any geologist is going to stay in near proximity
7 to a very good potential show.

8 And so what I was trying to do here was basically
9 have kind of the best of both targets, the best that I
10 could find for the Atoka, as well as staying close
11 proximity to the show that was in the Stanolind well in
12 that Austin interval.

13 Q. All right. Now, to make sure I understand, the
14 Stanolind well was in the northeast of the southwest of 31.

15 A. Yes, sir.

16 Q. And it's got the 0/0 --

17 A. In the Brunson.

18 Q. -- associated in the Brunson?

19 A. Yes, sir.

20 Q. And when we look at the log of that well on
21 Exhibit 7 --

22 A. Uh-huh.

23 Q. -- we can show their attempts to produce that
24 well?

25 A. Not in the Brunson, no, sir.

1 Q. No, sir, but in the Austin Carlisle?

2 A. Yes, sir.

3 Q. With what results?

4 A. Well, I mean, they had it flowing at fairly
5 decent gas rates until they reacidized it with 10,000
6 gallons, and then they lost it.

7 Q. They made the same mistake you guys did in the
8 Mayfly 14 --

9 A. Yes, sir --

10 Q. -- didn't they?

11 A. -- they sure did, sir.

12 Q. When I look at your AFEs, I notice that the AFE
13 from -- the early AFE that's associated with the May 17th
14 letter -- I'm sorry, that's associated with the November
15 1st letter, proposes to estimate an acid frac'ing
16 stimulation cost of \$25,000 --

17 A. Uh-huh?

18 Q. -- right?

19 We move over, we learn something from the Mayfly
20 in May, then, you've jumped the cost to \$100,000. Are you
21 still going to frac this well?

22 A. Not in the Austin, no, sir.

23 Q. Where are you going to put the frac treatment?

24 A. The frac treatments are designed for the Atoka
25 Brunson. One of the things that we have learned from the

1 well that had been drilled by Yates Petroleum and ourselves
2 and Chesapeake up to the north is that the Brunson interval
3 requires a frac stimulation, and that is running right now
4 -- It was about \$85,000. Obviously the cost of CO₂, as
5 well as everything else, has gone up, so that's why we're
6 now at \$100,000. But it was for an Austin -- or, excuse
7 me, an Atoka Brunson frac.

8 Q. Did you not frac the Mayfly 14 in the Brunson
9 interval?

10 A. Yes, sir, we did.

11 Q. And as a result of that, substantially reduced
12 your productivity?

13 A. Not in the Brunson. Did you say the Brunson?

14 Q. Yes, sir.

15 A. The Brunson is the well that -- We frac'd it as
16 well, and it's been a very good well in the Brunson. Where
17 we lost it was down in the Austin zone.

18 Q. I misunderstood, thank you.

19 A. Yes, sir.

20 Q. Let me ask you about your choice of orientation
21 of the spacing unit.

22 A. Okay, sir.

23 Q. Why did you choose the west half?

24 A. Basically because we have acreage in the
25 northwest quarter and that we felt that that's where most

1 of -- The structural position would indicate that sands
2 would have been deposited towards the west and northwest.

3 Q. And I have to look at your desire to be close to
4 the Stanolind well --

5 A. Yes, sir.

6 Q. -- and the Austin Carlisle sand show to
7 understand your location?

8 A. You have to take both maps into consideration,
9 yes, sir.

10 Q. Because if I exclude the Austin Carlisle sand
11 position --

12 A. Right.

13 Q. -- you can't justify the well location, can you?

14 A. No, sir.

15 MR. KELLAHIN: No further questions.

16 EXAMINER STOGNER: Any redirect, Mr. Carr?

17 MR. CARR: No redirect.

18 EXAMINATION

19 BY EXAMINER STOGNER:

20 Q. If you drill this well and it's successful and it
21 proves up your geology as you've presented it today, where
22 will the second infill go, or the first infill well, I
23 should say?

24 A. Well, once again like Mr. Douglas kind of
25 referenced early on, it will be dependent upon, Mr.

1 Stogner, as to exactly what we get.

2 If we get a thick Austin Carlisle interval as
3 well as a thick Brunson interval in a structural position
4 that has not water in it whatsoever and we can see no water
5 contact, I mean, the obvious location would be to move
6 directly -- as close as possible as you could in the
7 northwest quarter.

8 I mean, due to the lack of well data for the
9 Austin Carlisle system, it's going to be an inch-out, I
10 mean kind of move slowly out away from those points of
11 control, as close as possible, to make a commercial well.

12 And also we'd have to deem whether or not one
13 well could adequately drain the reservoir, whether or not,
14 you know, an increased density well would be warranted to
15 for economic reasons.

16 Q. Do you have seismic lines that you utilized to
17 come up with the Austin Carlisle sand that you depict on
18 Exhibit Number 7?

19 A. No, sir, we do not.

20 Q. None at all?

21 A. Well, I mean, there's data out here, but this
22 deal was generated off subsurface, and you cannot see the
23 Morrow system off seismic, to the best of our resolution
24 yet.

25 Q. Based on the two maps, 5 and 6, why can't you

1 move this well back to the south? There appears to be --
2 you can move the well back to the south and still obtain
3 that structural high and be close to the old Stanolind
4 well. Wouldn't that make you -- Wouldn't that still allow
5 you to fall within that -- what? You've got an 8000-foot
6 saddle there, that you're indicating on the structure map?

7 A. Yes, sir. It's dependent on how far to the south
8 you moved. Once again, I mean, we start to see the feature
9 come back up on that next Devonian fault block to the
10 south, and so you're going to have a structural influence
11 from the southwest right there. And so you could probably
12 move it just a little bit south, but you'd almost maybe
13 want to move it just a little bit more west than you would
14 south, if you had to move it.

15 Q. Well, I'm talking about moving it to a standard
16 location.

17 A. Of 660 off of that, sir?

18 Q. Yes.

19 A. That's a possibility. But I think right now we
20 felt like this was probably the best position to reach all
21 of our targets.

22 Q. Did you look at the possibility of re-entering
23 the old Stanolind well?

24 A. Not real hard, sir, because they did leave casing
25 in there, and we typically have not had very good success

1 with old wellbores. We have found that it's -- when you
2 involve an old one, it's just probably better to do a re-
3 drill.

4 Q. Okay, now you talk about the water contact in the
5 Brunson. Now, do you have anything that shows that here?

6 A. No, sir, I don't here. One thing that we do note
7 is that as you move up in the well control to the north --
8 I didn't post it on here, but if you'll look at a well
9 there in Section 23 -- it's kind of in the northwest of the
10 northeast quarter on my isopach map where I have 16/20 feet
11 -- that well, sir, there was wet in the Brunson. So that
12 kind of defined a water contact off of that feature up
13 there.

14 We know that as you move across the other side of
15 the feature that there is a water contact, and they're not
16 at the same structural level either. So this contact,
17 whether it's influenced by faults, whether it's influenced
18 by permeability, we just know that the Brunson interval,
19 that if you move too far off, out away from structure, you
20 can't have a water interval.

21 Q. If I understood your testimony, you had mentioned
22 something about this Austin Carlisle sand as you depict on
23 Exhibit Number 7. This is what you hope that it's going to
24 be?

25 A. Yes, sir, and there's not geological evidence for

1 that except for, if we're truly moving off a little lower
 2 structurally, you would hope that that would be where the
 3 thicker part of the channel system would develop, in a low.

4 Q. So you're hoping this unorthodox location --

5 A. Just puts you in a better, thicker part of the
 6 reservoir.

7 Q. Hopefully?

8 A. Yes, sir.

9 EXAMINER STOGNER: Any other questions of this
 10 witness?

11 Thank you, Mr. Baker, you may be excused.

12 MR. CARR: That concludes our presentation in
 13 this case.

14 EXAMINER STOGNER: Thank you gentlemen. Is there
 15 any need for closing arguments?

16 MR. KELLAHIN: No, sir.

17 EXAMINER STOGNER: If nobody has anything further
 18 in Case Number 12,675, then this matter will be taken under
 19 advisement.

20 (Thereupon, these proceedings were concluded at
 21 10:18 a.m.)

22 * * *

23 I do hereby certify that the foregoing is
 24 a true and correct record of the proceedings in
 25 the case on the hearing of Case No. 12675
 recorded on 31 May 2001

Steven T. Brenner
 Examiner
 Conservation Division
 STEVEN T. BRENNER, CCR
 (505) 989-9317


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) SS.
 COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL June 3rd, 2001.



STEVEN T. BRENNER
 CCR No. 7

My commission expires: October 14, 2002