

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY)
THE OIL CONSERVATION DIVISION FOR THE)
PURPOSE OF CONSIDERING:) CASE NO. 12,812
)
APPLICATION OF AGAVE ENERGY COMPANY FOR)
APPROVAL OF A SALTWATER DISPOSAL WELL,)
EDDY COUNTY, NEW MEXICO)
_____)

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

March 7th, 2002

Santa Fe, New Mexico

02 MAR 21 AM 10:40
STATE OF NEW MEXICO

This matter came on for hearing before the New Mexico Oil Conservation Division, DAVID R. CATANACH, Hearing Examiner, on Thursday, March 7th, 2002, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

* * *

I N D E X

March 7th, 2002
 Examiner Hearing
 CASE NO. 12,812

	PAGE
APPEARANCES	3
APPLICANT'S WITNESSES:	
<u>GEORGE H. FREEMAN</u> (Engineer)	
Direct Examination by Mr. Carr	5
Cross-Examination by Mr. Butzier	27
Examination by Examiner Catanach	31
<u>JOHN F. HUMPHREY</u> (Geologist)	
Direct Examination by Mr. Carr	33
Voir Dire Examination by Mr. Butzier	41
Cross-Examination by Mr. Butzier	43
Examination by Examiner Catanach	45
CLOSING STATEMENTS:	
By Mr. Butzier	46
By Mr. Carr	46
REPORTER'S CERTIFICATE	50

* * *

E X H I B I T S

Applicant's	Identified	Admitted
Exhibit 1	9	27
Exhibit 2	10	27
Exhibit 3	17	27
Exhibit 4	19	27
Exhibit 5	20	27
Exhibit 6	35	43
Exhibit 7	36	43

* * *

A P P E A R A N C E S

FOR THE DIVISION:

DAVID K. BROOKS
Attorney at Law
Energy, Minerals and Natural Resources Department
Assistant General Counsel
1220 South St. Francis Drive
Santa Fe, New Mexico 87505

FOR THE APPLICANT:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR
110 N. Guadalupe, Suite 1
P.O. Box 2208
Santa Fe, New Mexico 87504-2208
By: WILLIAM F. CARR

FOR GRETCHEN AINSWORTH:

MODRALL, SPERLING, ROEHL, HARRIS & SISK, P.A.
500 Fourth Street NW
Bank of America Centre, Suite 1000
Albuquerque, New Mexico 87103-2168
P.O. Box 2168
Albuquerque, New Mexico 87102
By: STUART BUTZIER 848-1800

* * *

1 WHEREUPON, the following proceedings were had at
2 10:24 a.m.:

3
4
5 EXAMINER CATANACH: At this time we'll call Case
6 12,812, the Application of Agave Energy Company for
7 approval of a saltwater disposal well, Eddy County, New
8 Mexico.

9 Call for appearances in this case.

10 MR. CARR: May it please the Examiner, my name is
11 William F. Carr with the law firm Holland and Hart, L.L.P.
12 We represent Agave Energy Company, and I have two
13 witnesses.

14 MR. BUTZIER: Mr. Examiner, my name is Stuart
15 Butzier with the Modrall Sperling law firm in Albuquerque.
16 I'll be representing the objecting party Gretchen
17 Ainsworth.

18 EXAMINER CATANACH: Do you have any witnesses,
19 Mr. Butzier?

20 MR. BUTZIER: I have no witnesses.

21 EXAMINER CATANACH: Will the witnesses please
22 stand to be sworn in?

23 (Thereupon, the witnesses were sworn.)

24 MR. CARR: Mr. Examiner, at this time we call
25 George Freeman.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

GEORGE H. FREEMAN,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. CARR:

Q. Would you state your full name for the record, please?

A. George Freeman.

Q. Mr. Freeman, where do you reside?

A. Artesia, New Mexico.

Q. By whom are you employed?

A. By Yates Petroleum Corporation.

Q. And what is your position with Yates Petroleum Corporation?

A. Reservoir engineering supervisor.

Q. What is the relationship between Yates Petroleum Corporation and Agave Energy Company?

A. Agave is a wholly owned subsidiary of Yates Petroleum Corporation. It's responsible for gas gathering and marketing for Yates Petroleum.

Q. Have you previously testified before the New Mexico Oil Conservation Division?

A. Yes.

Q. At the time of that testimony, were your credentials as an expert in petroleum engineering accepted

1 and made a matter of record?

2 A. Yes.

3 Q. Are you familiar with the Application filed in
4 this case on behalf of Agave Energy Company?

5 A. Yes.

6 Q. Have you made an engineering study of the
7 proposal to inject acid gas into the interval from the
8 Devonian, through the Ellenburger formations?

9 A. Yes.

10 Q. Are you prepared to share the results of this
11 study with the Examiner?

12 A. Yes, I am.

13 MR. CARR: We tender Mr. Freeman as an expert
14 witness in petroleum engineering.

15 MR. BUTZIER: No objection.

16 EXAMINER CATANACH: Mr. Freeman is so qualified.

17 Q. (By Mr. Carr) Mr. Freeman, would you initially
18 review for the Examiner what it is that Agave Energy
19 Company seeks with this Application?

20 A. Yes, we seek approval to re-enter and deepen the
21 Metropolis "AZL" State Com Well Number 1, located 1650 feet
22 from the south and west lines of Section 36, Township 18
23 South, Range 25 East, Eddy County, New Mexico, for the
24 purpose of disposing of acid gas which is generated from
25 the Agave Dagger Draw Gas Plant, used to sweeten sour gas

1 from production in the Dagger Draw field.

2 Q. What is acid gas?

3 A. It's a mixture of hydrogen sulfide and carbon
4 dioxide.

5 Q. And what do you do? Do you mix it with water and
6 then inject it through an injection well?

7 A. Yes, it will be mixed with produced water from
8 Dagger Draw field and then disposed of in the Devonian
9 through Ellenburger formations.

10 Q. Has the Oil Conservation Division previously
11 approved the disposal of acid gas by injection?

12 A. Yes, they approved an application by Marathon in
13 Indian Basin field, Division Administrative Order SWD-784,
14 in August of 2000.

15 Q. And is this a fairly large injection effort that
16 Marathon is undertaking pursuant to that order?

17 A. Yes, they applied for a maximum rate of 40,000
18 barrels of water per day and 5 million cubic feet per day
19 of acid gas.

20 Q. When did Agave file its Application to convert
21 the subject well to injection?

22 A. They filed the C-108 in November 26th, 2001, and
23 this was received by the Division on December 28th, 2001.

24 Q. And to whom was notice of this Application
25 provided?

1 A. The surface owner where the Metropolis well is
2 located, which is the New Mexico State Land Office, and to
3 leasehold operators within a half-mile radius of the well
4 in question. Also we provided notice to mineral owners in
5 the area of review.

6 Q. What response to this Application and notice did
7 Agave receive?

8 A. We received an objection from M.A. Nolan, dated
9 December 21st, 2001; Ms. Gretchen Ainsworth on December
10 26th, 2001; and from the Alleys on January 6th, 2002.

11 Q. And why was Ms. Ainsworth notified of this
12 Application?

13 A. Well, we notified mineral owners in the area of
14 review, although we were not required to do so by rules.

15 Q. And so you provided notice to Ainsworth, Alley
16 and Nolan?

17 A. Yeah, these were mineral owners within the half-
18 mile area of review.

19 Q. And where is their mineral ownership located?

20 A. They're in the northwest quarter of Section 1 in
21 Township 19 South, Range 25 East, which offsets the Section
22 36 to the south.

23 Q. The Application, once objections were received,
24 was set for hearing; is that correct?

25 A. Yes, it was scheduled on February 21st, and then

1 it was continued after the Ainsworths requested a
2 continuance, and we agreed at their request.

3 Q. In your opinion are Ms. Ainsworth or the Nolans
4 or the Alleys leasehold operators in the area of review for
5 the injection well?

6 A. No.

7 Q. And what do you base that on?

8 A. Well, the definition of operator given in Rule 7
9 is, operator is any person or persons duly authorized or in
10 charge of the development of a lease or the operation of a
11 producing property.

12 Q. Is Yates the leasehold operator of all tracts
13 within the one-half-mile area of review?

14 A. Yes, Yates is the operator, and the lease that
15 the Ainsworths, Nolans and Alleys own part of was leased to
16 Yates in August of 2000.

17 Q. And you testified that the Commissioner of Public
18 Lands of the State of New Mexico is the surface owner for
19 the tract on which the Metropolis well is located?

20 A. Yes.

21 Q. Let's go to what's been marked Agave Exhibit
22 Number 1, and I'd ask you to first identify them, then
23 generally review what it is for the Examiner.

24 A. Okay. This is an Application for authorization
25 to inject in the Metropolis Well Number 1, and the list of

1 required information is on the first page, and the
2 attachments are included, and their pages are numbered for
3 reference.

4 Q. Let's go to this Exhibit -- Well, before we do
5 that, let's go to what has been marked Agave Exhibit Number
6 2. Would you identify that?

7 A. Okay, this is a map of the area. It shows leases
8 within two miles.

9 Q. Is this similar to the area-of-review map that is
10 included within the C-108?

11 A. Yes, it's been -- I haven't found it yet, sorry.
12 Okay. Yeah, this is a map that's been blown up to be
13 easier to read. It shows the location of the subject well,
14 shows lease ownership and oil and gas wells within a half-
15 mile radius of the Metropolis.

16 Q. Would you generally review for us the history of
17 the Metropolis "AZL" State Com Number 1 well?

18 A. Yes, it was drilled in August and September of
19 2001, intended to test the Morrow formation of gas. It was
20 drilled to a total depth of 9360 feet and was plugged and
21 abandoned without running pipe on it.

22 Q. Does Exhibit Number 1 contain all data required
23 for wells within the area of review which penetrate the
24 injection interval?

25 A. Yes. There are no wells within the area of

1 review that penetrate the proposed --

2 Q. And so --

3 A. -- injection interval.

4 Q. -- there's no data required there?

5 A. Right, no data is required.

6 Q. All right, let's go to Exhibit Number 1, page 7,
7 and I would ask you to identify first what that is and then
8 explain that exhibit.

9 A. Okay, this is a wellbore schematic of the
10 Metropolis well in its current status, which shows that it
11 was cased down to a depth of 1200 feet and then was drilled
12 to a total depth of 9360 feet and then plugged.

13 Q. And so this is a relatively new wellbore, having
14 been drilled approximately six months ago?

15 A. That's right.

16 Q. When it was drilled, it was drilled by Yates?

17 A. Yes.

18 Q. Was cement circulated back to the surface on the
19 casing strings?

20 A. Yes, initially a 26-inch hole was drilled for
21 surface pipe to 40 feet, or 20-inch conductor pipe was set
22 at 40 feet, and the hole outside the casing was filled with
23 cement to the surface. Then a 17-inch hole was drilled to
24 a depth of 400 feet and 13-3/8-inch casing was run to 400
25 feet, and then 450 sacks of cement were used to cement the

1 casing into the hole, and 109 sacks were circulated to the
2 surface.

3 Then a 12-1/4-inch hole was drilled to a depth of
4 1200 feet, and 8-5/8-inch casing was set at 1200 feet. 600
5 sacks of cement were used to cement the casing into the
6 hole, and 110 sacks were circulated to the surface.

7 Q. So there's casing cemented in the hole, cement
8 circulated to the surface, down to a depth of approximately
9 1200 feet?

10 A. That's correct.

11 Q. Do you know what is the depth of the base of the
12 lowest freshwater in this area?

13 A. The deepest well producing freshwater in the area
14 of review is 455 feet.

15 Q. And so you've got casing cemented down --

16 A. Yes.

17 Q. -- what?

18 A. 754 feet below the depth of the deepest well.

19 Q. Let's go back one page. Let's look at page 6 in
20 Exhibit 1. Would you explain what that is?

21 A. This is a schematic of the proposed completion of
22 the Metropolis Number 1. The plan is to deepen the well to
23 a depth of 11,400 feet, then run 5-1/2-inch casing, which
24 will be set at 9900 feet and would be cemented in the hole
25 with approximately 1400 sacks of cement. Then 2-7/8-inch

1 tubing would be run to a depth of 9800 feet, a packer --
2 either nickel-plated or plastic-coated packer would be set
3 at 9800 feet.

4 There is an error on the schematic that I'd like
5 to correct. It's showing that the tubing would be N-80
6 tubing. This would actually be L-80 tubing, which is more
7 resistant to corrosion from acid gas, and the tubing would
8 also be internally plastic coated.

9 Q. Are there any plugged and abandoned wells within
10 the area of review that penetrate the injection interval?

11 A. No, there are not.

12 Q. And into what formation are you proposing to
13 inject acid gas?

14 A. This would be in the Devonian through the
15 Ellenburger formations.

16 Q. And what depths are we talking about?

17 A. From 9900 feet to approximately 11,200 feet.

18 Q. So how thick, approximately, is the interval into
19 which you are proposing to dispose?

20 A. Approximately 1200 feet.

21 Q. Is that gross, or is that --

22 A. Gross interval, yes.

23 Q. In your opinion, is the proposed injection
24 interval capable of the production of oil or gas anywhere
25 in the immediate area?

1 A. No.

2 Q. How close is the nearest producing well from the
3 Devonian or Ellenburger interval?

4 A. Approximately 30 miles to Devonian production.

5 Q. Will the proposed injection into this interval
6 result in the waste of any recoverable or commercial oil
7 and gas reserves?

8 A. No, this interval is not productive, and so it
9 will not waste any -- the ability to produce.

10 Q. Will Agave call a geological witness to review
11 the lithologic or geological characteristics of the area
12 around this particular injection well?

13 A. Yes.

14 Q. Are there any other hydrocarbon-productive zones
15 in the immediate area?

16 A. Yes, the next highest productive zone is the
17 Morrow formation, which is at nine thousand three hundred
18 something. My geologist can identify that more clearly,
19 the tops. There are also other formations above the Morrow
20 which are productive.

21 Q. What is the source of the fluids you're proposing
22 to inject in this well?

23 A. The acid gas is generated from an amine
24 sweetening process at the Agave Energy gas plant, and it
25 will be mixed with produced water from Dagger Draw, upper

1 Pennsylvanian production, and injected together.

2 Q. And what volumes are you proposing to inject?

3 A. Propose an average rate of 2500 barrels per day
4 of water and a maximum rate of 10,000 barrels of water per
5 day, also an average gas injection rate of 370 MCF,
6 thousand cubic feet per day, maximum rate of 400,000 cubic
7 feet per day.

8 Q. Is this an open or a closed system?

9 A. It's closed.

10 Q. Will you be injecting under pressure?

11 A. Yes, under pressure.

12 Q. And what is the proposed average injection
13 pressure?

14 A. Approximately 400 p.s.i., subject to change.

15 Q. And what would be the maximum injection pressure?

16 A. Approximately 1995 p.s.i.

17 Q. Would a maximum injection pressure of .2 pound
18 per foot of depth to the top of the injection interval be
19 sufficient for Agave's purposes?

20 A. Yes, at least initially, and probably always.

21 Q. If it had to be increased, would you first show -
22 - or conduct witnessed step rate tests to confirm that
23 pressure could be increased without damaging the confining
24 strata?

25 A. Yes.

1 Q. How will Agave monitor these wells to assure
2 there is no problem with escapes of injected substances in
3 or from the well?

4 A. The annulus between the tubing and casing will be
5 filled with fluid and equipped with pressure gauges to show
6 if there's any increase or decrease of pressure in the
7 annular space. Actually on this well, there will be an
8 automatic control system which will monitor the tubing and
9 casing pressure continually, and there will be an alarm
10 system which will shut the well in, shut the injection down
11 on either high or low pressure, or high or low rate, and
12 would also have an alarm for the presence of H₂S and would
13 automatically notify operating personnel.

14 Q. So you're going to be with this system
15 continuously monitoring the well?

16 A. Yeah, there will be continual monitoring of the
17 rate and pressure.

18 Q. And you will know immediately if there's a
19 problem with the well?

20 A. Yes.

21 Q. Could you identify the pages in Agave Exhibit
22 Number 1, pages 12 and 13?

23 A. Yes, this is a water analysis, a typical Dagger
24 Draw produced water, which is the source of water that will
25 be mixed with the acid gas disposal.

1 Q. What does this show in terms of the extent to
2 which this is contaminated or --

3 A. Well, this particular sample shows 6800 parts per
4 million total dissolved solids, which is a typical number
5 for Dagger Draw. It varies, but typically is below 10,000
6 parts per million TDS.

7 Q. Let's go to what has been marked Agave Exhibit
8 Number 3. What is that?

9 A. This is an analysis of a water sample from the
10 Devonian formation, which -- you know, it came from the
11 Routh well, which is a disposal well that was drilled to
12 the Devonian, approximately seven miles away.

13 Q. And what does this show you about total dissolved
14 solids?

15 A. This is showing that TDS in this formation is
16 approximately 47,000 parts per million, which is much
17 higher than the water that we're proposing to inject into
18 it, and considerably higher than 10,000 parts per million.

19 Q. Mr. Freeman, do you anticipate any compatibility
20 problems with the injected fluid placed in these receiving
21 formations?

22 A. No, the water that we propose to inject into the
23 Devonian-Ellenburger is the same type of water that's being
24 injected into these formations in other disposal wells in
25 the Dagger Draw area. Yates operates ten disposal wells,

1 which have injected 150 million barrels of water into this
2 formation, Dagger Draw. The acid gas will be a fairly
3 minor proportion of the total injectant and will not cause
4 compatibility problems.

5 Q. Are there freshwater zones in the area?

6 A. Yes.

7 Q. And do you know what they are?

8 A. Well, there's the Queen and the Grayburg, which
9 is probably the most common source of fresh water in this
10 area.

11 Q. And are they shallow horizon?

12 A. Yes, our geologist can give you the precise tops
13 of those layers, but the wells that are producing from them
14 are no deeper than 455 feet.

15 Q. In your opinion, does the proposed injection pose
16 a threat to any fresh water in the area?

17 A. No, we've shown that we will properly case and
18 cement tubing in the well, in order to protect freshwater
19 zones, and that the injectant will be well below the level
20 of fresh water.

21 Q. Have you examined the available engineering data
22 on this area?

23 A. Yes.

24 Q. As a result of that examination, have you found
25 any evidence of open faults or other hydrologic connections

1 between the injection zone and any underground source of
2 drinking water?

3 A. No. We operate over 1800 wells in Eddy County
4 and a considerable number in the immediate area around the
5 proposed well. There's very substantial vertical
6 separation, 10,000 feet, between the injection interval and
7 the freshwater zones.

8 There are also hydrocarbon-productive zones in
9 this area, which demonstrate that there is a vertical
10 segregation between the different formations in between.

11 Q. If we refer to Exhibit Number 1, pages 17 through
12 28, those are copies of letters. Are those the owners to
13 whom notice of the Application was actually provided?

14 A. Yes. Let's see, page 17 is a letter to the
15 Commissioner of Public Lands that owns the section where
16 the Metropolis is located, and pages 19 through 26 are
17 notices that went out to mineral owners within the area of
18 review, although these weren't strictly necessary to be
19 sent out. And --

20 Q. Was a legal advertisement also published in the
21 Artesia paper?

22 A. Yes, it was. I think that's shown on page 27.

23 Q. Would you identify what has been marked as Agave
24 Exhibit Number 4?

25 A. Oh, yeah, these are letters of objection that

1 were received from Ms. Nolan, Ms. Ainsworth and the Alleys.

2 Q. And then Exhibit Number 5, again, is just copies
3 of the same letters that were included in the C-108, again
4 confirming that notice of the Application was provided; is
5 that right?

6 A. I think so. Would you restate that, please?

7 Q. Exhibit Number 5 is, again, copies of the same
8 letters that are included --

9 A. Yes.

10 Q. -- within Form C-108, the notice letters?

11 A. Yes, that's correct.

12 Q. In your opinion, will granting this Application
13 and the use of this well for the injection of acid gas
14 cause any damage to any underground source of drinking
15 water in this area?

16 A. No, it will not.

17 Q. Do you see that the injection of acid gas in this
18 well could otherwise damage any property interest in the
19 area?

20 A. No.

21 Q. Will, in your opinion, approval of the
22 Application otherwise be in the best interest of
23 conservation, the prevention of waste and the prevention of
24 correlative rights?

25 A. Yes, it will.

1 Q. And Agave will call a geological witness to
2 review that portion of the case; is that correct?

3 A. Yes, that's true.

4 Q. Were Agave Exhibits 1 through 5 prepared by you,
5 or have you reviewed them and can you testify as to their
6 accuracy?

7 A. Yes.

8 MR. CARR: At this time, Mr. Examiner, we would
9 move the admission into evidence of Agave Exhibits 1
10 through 5?

11 EXAMINER CATANACH: Any objection?

12 MR. BUTZIER: Yes, Mr. Examiner, I do have some
13 objections. Specifically, I notice some of the analyses
14 reports that are included as Exhibit 1 were prepared,
15 apparently, by individuals that I don't believe are here
16 today from a company called Petrolite Oilfield Chemicals
17 Group. They basically range from six to eight years old.
18 They purport to show various water analyses, and I would
19 object to the admission of these exhibits on the basis that
20 they're basically nonresponsive to the Application
21 requirements and are also of a sufficient age that they're
22 essentially worthless in trying to determine anything
23 associated with this Application.

24 Further, Mr. Hearing Examiner, I would object to
25 the admission of Agave proposed -- Agave Exhibit Number 3,

1 which purports to be a water analysis report dated February
2 11, 1981, some 20 or so years ago. Again, I would say that
3 the age of that is sufficient that it should not be
4 admitted for the purposes offered.

5 MR. CARR: May I ask Mr. Freeman a couple of
6 questions, perhaps respond to that?

7 EXAMINER CATANACH: Certainly, Mr. Carr.

8 Q. (By Mr. Carr) Mr. Freeman, are the documents to
9 which Mr. Butzier has been objecting from the records of
10 Yates Petroleum Corporation?

11 A. Yes.

12 Q. Is it the custom of Yates Petroleum Corporation
13 to keep records of this nature?

14 A. Yes.

15 Q. Have you reviewed these individual documents?

16 A. Yes.

17 Q. Are you familiar with the general characteristics
18 of the types of water that are injected into the formations
19 in southeastern New Mexico?

20 A. Yes.

21 Q. Are you familiar with the types of waters in the
22 formations in the area immediately surrounding this
23 Application?

24 A. Yes.

25 Q. Is the information set forth on these exhibits

1 generally consistent with the waters that are both injected
2 and in receiving formations in this area?

3 A. Yes. Actually, having an older water analysis is
4 probably better in this case, because it would possibly
5 indicate the water quality before activities were entered
6 into that might change them.

7 In particular, on the Routh water analysis from
8 the Devonian formation, this is a sample that was taken
9 before the disposal of great quantities of Devonian water
10 was started, so this would be a more representative sample
11 than could be obtained today from the formation in the
12 area.

13 MR. CARR: Mr. Examiner, we believe that these
14 are business records kept in the ordinary course of Yates'
15 business. It is typical and ordinary for them to keep
16 these records, that they are responsive to the issues in
17 this case and the matters that need to be addressed in the
18 Application, that they are accurate, that this witness can
19 testify to that, and that they are perhaps the best
20 information available on the water analyses on these
21 formations.

22 We move the admission of these exhibits.

23 EXAMINER CATANACH: Mr. Freeman, let me ask you
24 this. The water well analysis that you've provided, I
25 assume this is a -- Is this a freshwater well?

1 THE WITNESS: There are two freshwater analyses
2 that are included. Page 8 is not a freshwater analysis.
3 That is actually produced -- I'm sorry, yeah, page 8 is a
4 freshwater analysis, excuse me. Yeah, this is a water well
5 that is located at the Dagger Draw plant.

6 EXAMINER CATANACH: And who owns this well, do
7 you know?

8 THE WITNESS: This well is owned by Yates
9 Petroleum.

10 EXAMINER CATANACH: Okay, and on page 9, is this
11 a different freshwater well?

12 THE WITNESS: Well, page 9 is a continuation of
13 the same analysis on page 8, and on page 10 there is
14 another water sample from another water well in that area,
15 which I don't have the precise location of this water well.
16 It's a windmill that's close by.

17 EXAMINER CATANACH: Again, page 11 is just a
18 continuation of that?

19 THE WITNESS: Yes.

20 EXAMINER CATANACH: Page 12 is an analysis of
21 what, sir?

22 THE WITNESS: This is an analysis from a battery
23 in the Dagger Draw field.

24 EXAMINER CATANACH: So this is produced water
25 from the Dagger Draw field?

1 THE WITNESS: Yes.

2 EXAMINER CATANACH: And would that comprise pages
3 12, 13 and 14?

4 THE WITNESS: No, page 14 is an analysis of acid
5 gas from the Dagger Draw plant, which is the gas that will
6 be mixed with water and disposed of in this well.

7 EXAMINER CATANACH: All right, and is Exhibit
8 Number 3 is an analysis of --

9 THE WITNESS: Exhibit Number 3 is an analysis of
10 water from the Devonian formation, which was taken from a
11 well that's approximately seven miles away from the
12 Metropolis.

13 Devonian samples are not easy to get in this area
14 because, for one thing, most of the wells that are drilled
15 that deep are disposal wells, and so we cannot obtain a
16 suitable sample -- or a representative sample from them at
17 this point. And also the wells don't -- the water is taken
18 on a vacuum in these wells, and so only bottomhole samples
19 can be recovered.

20 EXAMINER CATANACH: Are you saying that when you
21 recomplete or when you drill the Metropolis well, that it
22 will be not feasible to obtain a water sample from the
23 Devonian and the other formations? Is that what you're
24 saying?

25 THE WITNESS: No, we could get a sample when we

1 drilled into the Devonian.

2 EXAMINER CATANACH: Okay. What I'm going to do
3 is, I'm going to let you provide these water samples into
4 the record in this case, but I'm going to ask you to
5 supplement these with some more current data. These are
6 data from 1996, 1994, 1993 in some cases. So I'm going to
7 ask you to obtain a more current analysis of the produced
8 water and the fresh water in this area --

9 THE WITNESS: Okay.

10 EXAMINER CATANACH: -- and provide that,
11 supplement the record in this case, Mr. Carr.

12 MR. CARR: Yes, sir, we'll do that.

13 EXAMINER CATANACH: With that, did you have any
14 other objections to the admission of this evidence, Mr.
15 Butzier?

16 MR. BUTZIER: Well, I guess I did, Mr. Hearing
17 Examiner. Some of the exhibits that were attached -- the
18 exhibits attached to the Application, all of which is
19 Exhibit 1, basically don't indicate the sample point. I
20 think that we don't have competent evidence before us today
21 to show how these samples were collected, where the actual
22 sample points were, and I would expect that the additional
23 information to be provided would be satisfactory in that
24 regard.

25 EXAMINER CATANACH: Okay, we'll try and do our

1 best to get that; is that correct, Mr. Carr?

2 MR. CARR: Yes, Mr. Catanach.

3 EXAMINER CATANACH: Okay. With that, we will
4 admit Exhibits -- 1 through 5, is it?

5 MR. CARR: Yes, that's correct.

6 EXAMINER CATANACH: All right. And I would
7 assume that you have some questions of this witness, Mr.
8 Butzier?

9 MR. BUTZIER: I do.

10 EXAMINER CATANACH: You may proceed.

11 CROSS-EXAMINATION

12 BY MR. BUTZIER:

13 Q. Mr. Freeman, are you a groundwater hydrologist?

14 A. No, I'm not.

15 Q. So you're not proposing to offer any expert
16 opinion concerning things like the permeability of a
17 particular formation in terms of its water transmissivity
18 or any of those kinds of things; is that correct?

19 A. I could offer evidence on that if I had measured
20 it, but I don't have measurements on that.

21 Q. Basically, you don't have any information,
22 outside of seven miles away from the proposed injection
23 well, concerning the chemical or the water makeup of the
24 formations in the proposed interval?

25 A. Our produced water sample from this formation is

1 taken from wells approximately seven miles away, that's
2 correct.

3 Q. And I notice that the Application refers to
4 Canyon. Can you tell me what Canyon is and how that
5 relates to --

6 A. Canyon is more generally referred to as upper
7 Pennsylvanian formation. It's an oil- and gas-productive
8 zone that -- it produces in Dagger Draw field.

9 Q. So that's going to be the source of the produced
10 water, and the acid gas is actually going to be from the
11 Dagger plant; is that correct?

12 A. That's right.

13 Q. And hydrogen sulfide and CO₂ are highly
14 corrosive, are they not?

15 A. They are. Well, they are corrosive when they are
16 wet, when they're mixed with water.

17 Q. Okay.

18 A. When they're dry, they're not particularly
19 corrosive.

20 Q. I notice that you -- when asked the question
21 about the volume that Agave is proposing to dispose, that
22 you provided some average estimates of daily disposal. Did
23 you also have any information concerning the proposed total
24 amount of disposal in this injection well?

25 A. No, I don't have the total.

1 Q. Okay, so that's basically unknown at this time?

2 A. Yes. I could calculate an upper limit, but I
3 haven't done so yet.

4 Q. You also made reference to -- referring to the
5 geologic data available, and I'm not sure specifically what
6 it is you're referring to in that regard.

7 A. What reference are you talking about?

8 Q. In your testimony you indicated that you had
9 reviewed all of the available geologic information or
10 something to that effect, and I was wondering exactly what
11 it is that you're referring to.

12 A. We have information from well logs in this area
13 and production histories from wells in the area.

14 Q. Can you expand on what you mean by wells in the
15 area?

16 A. Well, we operate over -- approximately 300 wells
17 in Dagger Draw area. We have several wells surrounding
18 that drilled in other formations, various productive
19 formations in this area.

20 Q. Well, I think you also testified that none of
21 them, or very few of them, are actually drilled to the
22 Ellenburger and --

23 A. That's correct.

24 Q. -- Devonian formations?

25 A. Yes.

1 Q. Okay. So you don't have any geologic data on the
2 Ellenburger or Devonian formations; is that correct?

3 A. We have some. Like I said, there are wells
4 within several miles of this formation, but none within the
5 area of review. And also we'll have a geological witness
6 who can give more information about that.

7 Q. Now, reference was made to the fact that the
8 closest production from the Devonian or Ellenburger is
9 roughly 30 miles away; is that correct?

10 A. Yes.

11 Q. Have you done any particular studies in this
12 particular area concerning the potential productivity of
13 those formations?

14 A. I have not done a lot of study in this area
15 except to look for wells that have produced from those
16 formations in the area.

17 Q. And since there are no other wells in the
18 Devonian or Ellenburger, you really have no information; is
19 that correct?

20 A. I have information that wells that were outside
21 our area of review were drilled down to that depth and did
22 not produce economically --

23 Q. And --

24 A. -- within several miles of this location.

25 Q. Ten miles, 20 miles?

1 A. If we set out to recover that, we could.

2 Q. That's going to be required, that will be
3 required, just to make sure that the water in that interval
4 is -- just to obtain an analysis of that formation water --

5 A. Uh-huh.

6 Q. -- that will be a requirement.

7 The surface facilities that you guys will utilize
8 at this wellbore, can you explain that to me? Are you just
9 going to have tanks set up?

10 A. No -- Well, the primary feature we're talking
11 about is the acid gas injection. There will be a low-
12 pressure line from the gas plant, coming from the amine
13 unit to the disposal site. There will be an acid gas
14 compressor there, which will compress the gas to
15 approximately 1200 p.s.i. It will then be mixed with the
16 produced water that will be brought in from Dagger Draw.
17 There will be a flow line from Dagger Draw. And then it
18 will be injected into the wellhead after they're mixed
19 together.

20 Q. So the acid gas will be piped over just through a
21 standard steel tubing, steel pipeline?

22 A. I haven't actually studied the pipe that will go
23 from the plant to the thing, but it will be steel pipe,
24 yes. It will be designed to handle acid gas.

25 Q. Have you been out to the wellsite, Mr. Freeman,

1 this particular wellsite?

2 A. I have not been to this particular wellsite, no.

3 Q. I was just wondering if there's any -- Are there
4 any houses or ranches or anything of that nature in this
5 area, do you know?

6 A. There are houses in the general area. I couldn't
7 tell you how close they are.

8 Q. Certainly this gas, if you were to have a leak in
9 one of these pipelines, it could pose a health problem to
10 some of these --

11 A. Yes, Agave will be very, very aware of that.

12 EXAMINER CATANACH: I believe that's all I have,
13 Mr. Carr.

14 MR. CARR: I have nothing further of Mr. Freeman.

15 EXAMINER CATANACH: This witness may be excused.

16 MR. CARR: At this time we'll call Mr. Humphrey.

17 JOHN F. HUMPHREY,

18 the witness herein, after having been first duly sworn upon
19 his oath, was examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. CARR:

22 Q. State your name for the record, pleas.

23 A. John Humphrey.

24 Q. Where do you reside?

25 A. Artesia, New Mexico.

1 Q. By whom are you employed?

2 A. Yates Petroleum Corporation.

3 Q. And what is your position with Yates?

4 A. I'm a senior geologist with Yates Petroleum
5 Corporation.

6 Q. Mr. Humphrey, have you previously testified
7 before the New Mexico Oil Conservation Division?

8 A. Yes, I have.

9 Q. At the time of that testimony, were your
10 credentials as an expert in petroleum geology accepted and
11 made a matter of record?

12 A. Yes, they were.

13 Q. Are you familiar with the Application filed in
14 this case on behalf of Agave Energy Company?

15 A. Yes, I am.

16 Q. Have you made a geological study of the area
17 which is the subject of this Application?

18 A. Yes, I have.

19 Q. Are you prepared to share the results of that
20 work with Mr. Catanach?

21 A. Yes, I am.

22 MR. CARR: We tender Mr. Humphrey as an expert
23 witness in petroleum geology?

24 EXAMINER CATANACH: Any objection?

25 MR. BUTZIER: No objection.

1 EXAMINER CATANACH: Mr. Humphrey is so qualified.

2 Q. (By Mr. Carr) Mr. Humphrey, have you prepared
3 exhibits for presentation in this hearing today?

4 A. Yes, I have, Mr. Carr.

5 Q. Generally, how many Devonian-Ellenburger
6 injection wells does Yates operate in this general area?

7 A. They operate ten injection wells in the Devonian.

8 Q. Let's go to what has been marked Agave Exhibit
9 Number 6. First, could you identify what that is?

10 A. Agave Exhibit 6 is an index map as well as a type
11 log for the closest well that has penetrated the Silurian
12 through Ellenburger sections, which is the Roy AET Water
13 Disposal Well Number 3. It's in Section 7, 19 South, 25
14 East. It's approximately four and a half miles southwest
15 of the Metropolis well, and it was drilled in 1992.

16 Q. And what you've got on the right side of the
17 exhibit is a section of the log from that well?

18 A. That's correct.

19 Q. What does this show us?

20 A. Basically, it shows -- gives a general lithologic
21 detail for the Devonian through Ellenburger formations. As
22 a whole, it's entirely dolomite. It's comprised -- the
23 porous parts of it are comprised of intercrystalline and
24 vuggy porosity.

25 The gross injection interval, the gross dolomite

1 interval, is approximately 1200 feet. Your average
2 crossplot porosity over the entire interval is 4.9 percent.
3 You can see the middle curve on the exhibit shows the
4 resistivity curves, and that does show good -- you can see
5 a good invasion profile on the resistivity log, and that's
6 a qualitative indication of good permeability.

7 Another indication of permeability in the area is
8 that the Devonian through Ellenburger zones can take
9 upwards of 30,000 to 40,000 barrels of water a day,
10 injected. That's commonly what a lot of operators inject
11 into the Devonian through Ellenburger zones in the area.
12 So while we don't have a physical measure of permeability,
13 we do have good qualitative evidence as to the permeable
14 nature of the Devonian through Ellenburger intervals.

15 Q. And this injection interval looks like for a good
16 candidate for injection of acid gas; is that right?

17 A. That's correct, I believe so.

18 Q. Let's go to what has been marked Exhibit Number
19 7. Would you identify this, please?

20 A. Exhibit 7 -- and you have a bigger copy of what's
21 in the -- is a structure map on the top of the Devonian
22 interval. Structure -- If you look at the Exhibit Number
23 7, you notice structure is updip to the northwest. The
24 Ainsworth acreage in the northwest part of Section 1 is
25 approximately structurally flat with the Metropolis Number

1 1 well.

2 Q. What is the significance of that?

3 A. Generally what we're going to be injecting into
4 the formation, most likely, will go updip to the northwest,
5 away from Ms. Ainsworth's acreage.

6 Q. So you anticipate migration to be away from the
7 Ainsworth --

8 A. I would anticipate that. And there is one
9 Devonian test over in 18-26, if you notice on your map.
10 That's in Section 29. That was a well drilled in 1959 by
11 Ralph Nix -- by Marathon Oil, excuse me, the Ralph Nix
12 Number 1. It drill stem tested the top of the Devonian and
13 recovered all basically formation water. And that
14 particular well we anticipate to be structurally flat with
15 the Metropolis Number 1 well. And if you look at the map,
16 it's structurally flat with the northwest part of Section
17 1, 19-25.

18 And I apologize profusely for jumping in a while
19 ago, but we are going to be monitoring this very carefully
20 as we drill down. And any hydrocarbon shows will be drill
21 stem tested on the way down, if we do encounter hydrocarbon
22 shows.

23 Q. Your test in Section 29, you say it is flat to
24 the injection well. What's the significance of that?

25 A. Well, if you've got water in that well, you'll

1 most likely get formation water, you know, either at the
2 Metropolis location or in Section 1. There's no water
3 analysis; it's a very old well. The amount of water
4 recovered in the drill pipe is unreported, and there is not
5 an actual water analysis for that formation water, that I
6 have available to me anyway.

7 Q. Are you aware of any pressure gradient in the
8 reservoir?

9 A. Yes, it's from south to north. Again, it's away
10 from the tract in question.

11 Q. In your opinion, can the interval from the
12 Devonian through the Ellenburger produce any oil and gas in
13 commercial quantities?

14 A. From the mapping I've done in the area, I just --
15 typically with the Ellenburger and the Devonian, you need a
16 structural trap. And basically your structural -- I've
17 mapped all the horizons from the Devonian on up, and
18 there's just not a structural trap where you'd see
19 commercial quantities of hydrocarbon in the Devonian
20 through Ellenburger intervals, in my opinion.

21 Q. Are you aware of wells that have been completed
22 in these horizons?

23 A. Closest one is, I think, down 21, 23. It made a
24 little less than 1000 MCF. It was just --

25 Q. And how long ago was that?

1 A. I don't have the hard data on that. But I have
2 not -- We looked pretty hard. There's no production -- the
3 only -- closest established production that we, myself and
4 Mr. Freeman, could find is the production 30 miles away
5 that he alluded to in earlier testimony.

6 Q. Could you identify the underground sources of
7 drinking water in the area?

8 A. Again, as George mentioned, it's Queen-Grayburg
9 zones. The data from the first water wells in the area,
10 455 feet is the deepest water production that we've found
11 in data that we got from the State Engineer's Office, and
12 that's in Section 26 to the north. There's an old well
13 that I believe is abandoned. We could not find the well in
14 Section 36, which is 1500 feet to the southwest of the
15 Metropolis well. The base of the freshwater zone was
16 reported at 430 feet at that. And both of these sources
17 are well above the base of the casing in this particular
18 example.

19 Q. Are there any sources of drinking water below the
20 injection interval?

21 A. Basically below the injection interval you're
22 looking at granite, so no.

23 Q. About how far from any source of drinking water
24 is the injection interval?

25 A. 9500 feet, more or less.

1 Q. Have you reviewed the available geologic
2 information on the area?

3 A. Yes, I have.

4 Q. As a result of that review, have you found any
5 evidence of faulting or hydrologic connections between the
6 injection zone and any source of underground drinking
7 water?

8 A. In this area I -- I've mapped extensively in this
9 area from the Devonian on up, and I see no evidence from
10 the subsurface mapping that I've done to indicate faulting
11 in this particular area. And as you go higher up in the
12 section above the Devonian you get quite a bit of control
13 in the area. There's been a lot of Morrow activity in this
14 particular area, so you have a fair amount of control.

15 Q. Were Agave Exhibits 5 and 6 prepared by you?

16 A. Yes, they were.

17 MR. CARR: I move the admission of Agave Exhibits
18 5 and 6.

19 EXAMINER CATANACH: Any objection?

20 MR. BUTZIER: Are you referring to 6 and 7, or 5
21 and 6?

22 MR. CARR: I'm actually referring to 6 and 7.

23 MR. BUTZIER: Okay. With the Hearing Examiner's
24 permission, I'd like to ask a couple of questions
25 associated with the objections that I may want to make.

1 EXAMINER CATANACH: Certainly, go ahead.

2 VOIR DIRE EXAMINATION

3 BY MR. BUTZIER:

4 Q. Mr. Humphrey, referring to Exhibit 6 --

5 A. Uh-huh.

6 Q. -- where is this information drawn from?

7 A. This is information from the standard electrical
8 log suite that was ran in this well after it was drilled in
9 1992. On the left you see a gamma-ray curve. The middle
10 curve on the type log is the resistivity curves that I
11 alluded to, that indicate qualitative indication of
12 permeability. And the curves to the right are porosity
13 curves, and the green curve is a photoelectric curve, which
14 is an indication of lithology in this particular case.

15 Q. But this is not the well -- the proposed
16 injection well?

17 A. No, this is a well four and a half miles away to
18 the southwest. This is the closest well that's penetrated
19 the entire Devonian through Ellenburger formation.

20 The dry hole I alluded to two miles to the
21 northwest of the proposed location just penetrated the very
22 top part of the Devonian, it didn't go all the way down.
23 And it's a very old well, and the logging data is not
24 nearly the quality of the modern data that we can get.

25 Q. And with respect to Exhibit 7, can you tell me

1 where in relation to the injection well this data was
2 collected or what it relates to?

3 A. Exhibit 7, is that the type log still?

4 MR. CARR: Exhibit 7 is the structure map.

5 THE WITNESS: Oh, Exhibit 7. The data, it's
6 basically -- that's a subsurface map of the top of the
7 Devonian and basically a geologic pick, and the map was
8 done by myself. And again, my conclusions were based on a
9 well that's two miles away from the proposed location, and
10 it's at an equivalent structural location that produced
11 water on the drill stem tests in that particular case.

12 And there's no evidence, at least at that
13 juncture, to me, to indicate the Devonian will be
14 productive at the Metropolis location. Again, we will be
15 evaluating as we go down, and we'll test any and all shows
16 as we go down.

17 MR. BUTZIER: I guess I would lodge an objection
18 to both exhibits on the basis that they are not basically
19 from the area of the well but rather from two and four-plus
20 miles away.

21 EXAMINER CATANACH: Well, I would say that that's
22 pretty much the only data that's available at the current
23 time. I don't believe that there is any data available
24 from the well that you're --

25 THE WITNESS: No.

1 EXAMINER CATANACH: -- proposing to re-enter at
2 the time --

3 THE WITNESS: No.

4 EXAMINER CATANACH: -- and this is the method
5 that a lot of the data presented in this forum is presented
6 in, Mr. Butzier.

7 So I would overrule your objection and allow
8 these exhibits to be entered in this case.

9 And you may cross-examine if you want.

10 CROSS-EXAMINATION

11 BY MR. BUTZIER:

12 Q. Mr. Humphrey, are you a groundwater hydrologist?

13 A. No, I'm not.

14 Q. Have you done any modeling to determine what the
15 potential pathways are, or what the potential groundwater
16 gradient is in the area of the proposed injection well?

17 A. No, I have not. Again, it's -- All the
18 freshwater zones, we believe, are protected by the surface
19 casing. George went into this in a lot of detail. You had
20 circulation of the cement to the surface, so we feel you've
21 got a good cement job there, and I think the risks of that
22 are extremely minimal.

23 But I am not a groundwater hydrologist, to answer
24 your question, no.

25 Q. And do you have any information concerning the

1 total volume of acid gas or produced water that's proposed
2 to be injected into this well?

3 A. No, I do not.

4 Q. That's unknown at this time?

5 A. I think he -- did you -- I think that was covered
6 by the engineering witness, wasn't it?

7 EXAMINER CATANACH: I believe it was.

8 THE WITNESS: I do not have -- Again, that's out
9 of my sphere.

10 Again, typically, we're not going to inject --
11 again, the permeability question. Again, typically in a
12 standard disposal well in this area, you -- it will
13 typically -- it will take 30,000 or 40,000 barrels of water
14 a day. And the zone does have quite good permeability, but
15 again I'm getting off the subject at hand.

16 Q. (By Mr. Butzier) Have you done any studies to
17 determine the capacity of the pack to withstand the
18 corrosive characteristics of CO₂ and hydrogen sulfide?

19 A. No, that's -- again, that's out of my area of
20 expertise.

21 Q. Have you done any studies to determine what
22 minerals may precipitate out and affect the permeability
23 once this water is injected into the Devonian and
24 Ellenburger formations?

25 A. No, I have not done any studies, but typically we

1 have not seen any -- occasionally you do get some scale on
2 some of these -- and correct me if I'm wrong, George --
3 occasionally you do get scale on some of these injection
4 wells, which has to be treated every now and then. But
5 typically you don't see a degradation of the permeability
6 with time, with injection of the formation fluids from the
7 Dagger Draw area.

8 MR. BUTZIER: I have no further questions?

9 EXAMINATION

10 BY EXAMINER CATANACH:

11 Q. Mr. Humphrey, on the Roy well --

12 A. Yes.

13 Q. -- on Exhibit Number 6, now, this log was run on
14 the whole injection interval that you plan on injecting
15 into?

16 A. That's correct.

17 Q. And in this well there were no hydrocarbon shows?

18 A. That's correct.

19 Q. And that's four miles away?

20 A. Yes, sir.

21 EXAMINER CATANACH: I believe that's all the
22 questions I have.

23 Are there any other questions of this witness?

24 MR. CARR: No further questions.

25 EXAMINER CATANACH: Okay, this witness may be

1 excused.

2 Would you like to make a closing statement in
3 this case, Mr. Butzier?

4 MR. BUTZIER: Mr. Hearing Examiner, I
5 respectfully submit that the information they've provided
6 is largely speculation and relates to either old data or
7 data from quite some distance away from the proposed
8 injection well. We've heard testimony that there has been
9 no study to determine the ability of the pack to withstand
10 the corrosive aspects that have been admitted here today of
11 the hydrogen sulfide and the CO₂ that's proposed to be
12 included in the acid gas mix with the produced water.

13 Basically what we have is a lot of speculation
14 and no real hard data that would satisfy us that there is
15 no potential for recovering from these formations or would
16 satisfy us that there is no potential for contamination of
17 groundwater in this area. Both witnesses admitted that
18 they were not hydrologists, they have not performed any
19 studies to determine what hydrological connection there may
20 be between this formation and other formations, and we just
21 object to the Application and feel that there's not enough
22 information in the record to grant the Application.

23 EXAMINER CATANACH: Thank you, sir.

24 Mr. Carr?

25 MR. CARR: May it please the Examiner, I guess

1 we're forced in a position of generally having to speculate
2 when we come before you with an application of this nature.
3 The best data, of course, would be from the well itself,
4 but we have to have your permission to drill it before we
5 got permission, I guess, if we were to do that.

6 When we talk about speculation it seems to me
7 that it's a sort of interesting argument for Ainsworth to
8 be raising, because what they've said in their prehearing
9 statement is, this Application may cause -- may -- cause
10 the waste of oil and gas. We're going to drill to this
11 horizon, we're going to test for hydrocarbon shows.

12 It would be the first well in 30 miles that was
13 able to produce in commercial quantities, but that is
14 something we will test on the way down. And we believe
15 that the evidence before you is that by approving this
16 Application requiring us to test those intervals as we go
17 through the drilling of -- the deepening of the injection
18 well and the injection of hydrocarbon gases, I mean, acid
19 gas will not jeopardize any hydrocarbon recovery.

20 Ms. Ainsworth also says, may cause damage to
21 fresh water. Well, we have shown you that we're going to
22 case and cement the well to a depth -- surface casing to
23 1200 feet, which is 700-plus feet below the bottom of the
24 deepest fresh water in the area. We've got about 9000
25 feet, maybe 9500 feet, between the injection interval and

1 the lowest drinking water in the area, and we've told you
2 that in this area we see nothing that would suggest in the
3 intervening horizons that the hydrocarbons are not
4 segregated. And the point of that is that there aren't
5 faults, there aren't hydrologic connections, these
6 formations are not leaking and they're not going to be
7 channels that are going to let water migrate vertically
8 9000 feet to contaminate fresh water.

9 We also, while we haven't told you exactly how
10 we're going to be able to complete the lines or the wells
11 to protect against corrosion, we have shown you how we're
12 going to monitor the well in a way where we will
13 immediately know if there is a problem, so we can assure
14 that these problems, if they should occur, would not go
15 undetected and they could not be corrected.

16 As to Ms. Ainsworth's property interest, she's
17 downdip and south of the well. We're going to be injecting
18 1650 feet from her in a 1200-foot interval, in a situation
19 where the pressure gradient and general migration trends in
20 the formations would say this material is going to move
21 away from her.

22 We believe what we've put before you is not
23 speculation, it's the kind of data that you look at every
24 day, the kind of data you base these decisions on, and we
25 believe you have before you an Application that you should

1 be able to approve so that Yates can go forward -- Agave
 2 can go forward with its plans to inject acid gas in the
 3 Metropolis "AZL" State Com Number 1 well.

4 EXAMINER CATANACH: Thank you, Mr. Carr.

5 Can I get you to submit the updated water
 6 analysis to supplement the record in this case, can I get
 7 you to submit a copy of that to Mr. Butzier?

8 MR. CARR: Oh, yes, we will.

9 EXAMINER CATANACH: And with that, there being
 10 nothing further in this case, Case 12,812 will be taken
 11 under advisement.

12 (Thereupon, these proceedings were concluded at
 13 11:29 a.m.)

14 * * *

15
 16
 17 I do hereby certify that the foregoing is
 18 a complete and correct transcript of the proceedings in
 the Examiner hearing of Case No. 12812,
 19 heard by me on March 7 2002.

20 David R. Catanach, Examiner
 Oil Conservation Division

21

22

23

24

25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL March 14th, 2002.



STEVEN T. BRENNER
CCR No. 7

My commission expires: October 14, 2002