

## NEW MEXICO OIL CONSERVATION DIVISION

## SPECIAL EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date JULY 9-10, 2002 Time 8:15 A.M.

NAME	REPRESENTING	LOCATION
Steve Hayden	NM OCO	Artec
Bill Hankins	BP	Denver
Ralph Hancock	Williams	Tulsa
EUSTY RIESE	BP	Houston
Chris Clarkson	BR	Farmington
VU DINH	BP	HOUSTON
Joe Stewart	Calpine	Denver
Paul Thompson	WALSH ENGINEER 44	FARMINGTON ✓
Tom DeLong	XTO	Farmington
JIM BALL	Phillips	FARMINGTON
J.C. Ridens	Cordillera Energy	Denver
JAMES STRICKLER	RULUGTON	FARMINGTON
BILL SPEER	SPEEREX LTD.	FRM
STEVE SPEER	" "	ADWELL
Jim Faggett	V.S. Geo. Surv.	Santa Fe, N.M.
Chris Stevens	Market Operations Co.	Artec

## NEW MEXICO OIL CONSERVATION DIVISION

## EXAMINER HEARING

SANTA FE, NEW MEXICO

Hearing Date JULY 9-10, 2002 Time 8:15 A.M.

<u>NAME</u>	<u>REPRESENTING</u>	<u>LOCATION</u>
Steve Jones	Phillips Petroleum	Farmington
Rhonda Gathers	Questar Engineering	Golden, CO
John Dean	Oxygen Production	Farmington
Bill Hoppe	Robert L. Dayton	Farmington
Steve Spear	Specex Ltd	Roswell
Kurt Eggehus	Dugan	Farmington
Patsy Clugston	Phillips Petroleum	
Tom Schmid	Chevron Texaco	Houston
Karl Jackson	chevron Texaco	Houston
David Meinert	CT	Houston
Jennifer Bolander	Oil Field Acct Report	Chicago
Steven Thibodeaux	Burlington	Farmington
Josh Cooper	Phillips	Farmington
Steve Cone	Self	Farmington
Mike McGovern	BR	FARMINGTON
James Bruce	—	Santa Fe

Eddie Pippin	CR	Farmington
John Roe	Dugan Prod.	Farmington
DAVID PORGE	Dugan Prod.	"
Jeff Balmer	3R	Farmington
SCOTT HALL	MILLER LAW	SANTA FE
Don DURKOFF	BP	Houston
BILL CAZZ	HOWARD & HOWARD LLP	SANTA FE
LARRY VAN RYAN	McELVAIN O & A	DENVER
SCOTT B. DAVES	MarkWest Res.	DENVER
KEVIN STOWE	MARKWEST RES.	DENVER

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: )

CASE NO. 12,888

APPLICATION OF THE FRUITLAND COALBED )  
METHANE STUDY COMMITTEE FOR POOL )  
ABOLISHMENT AND EXPANSION AND TO AMEND )  
RULE 4 AND 7 OF THE SPECIAL RULES AND )  
REGULATIONS FOR THE BASIN-FRUITLAND COAL )  
GAS POOL FOR PURPOSES OF AMENDING WELL )  
DENSITY REQUIREMENTS FOR COALBED METHANE )  
WELLS, RIO ARRIBA, SAN JUAN, MCKINLEY )  
AND SANDOVAL COUNTIES, NEW MEXICO )

02 JUL 30 11:12 AM  
01 JUL 30 11:12 AM

ORIGINAL

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING (Volume I, Tuesday, July 9th, 2002)

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

July 9th-10th, 2002

Farmington, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Tuesday, July 9th, 2002, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

I N D E X

July 9th, 2002 (Volume I)  
Examiner Hearing  
CASE NO. 12,888

	PAGE
EXHIBITS	4
APPEARANCES	5
 BURLINGTON WITNESSES:	
 <u>STEVEN HAYDEN</u> (Geologist, Aztec District Office, District 3, NMOCD)	
Direct Examination by Mr. Kellahin	14
Examination by Mr. Carr	38
Examination by Mr. Brooks	39
Examination by Examiner Stogner	50
Further Examination by Mr. Brooks	52
 <u>JAMES E. FASSETT</u> (Geologist, USGS)	
Direct Testimony	56
Direct Examination by Mr. Kellahin	69
Examination by Mr. Brooks	71
 <u>STEVEN M. THIBODEAUX</u> (Geologist, Burlington)	
Direct Examination by Mr. Kellahin	72
Examination by Mr. Hall	102
Examination by Examiner Stogner	103
 <u>CHRIS CLARKSON</u> (Reservoir engineer, Burlington)	
Direct Examination by Mr. Kellahin	112
Examination by Mr. Hall	161
Examination by Examiner Stogner	165

(Continued...)

## BP AMERICA, INC., WITNESSES:

RUSTY RIESE (Geologist, BP)

Direct Examination by Mr. Carr	168
Examination by Mr. Hall	191
Examination by Examiner Stogner	193

VU DINH (Reservoir engineer, BP)

Direct Examination by Mr. Carr	197
Examination by Mr. Hall	226
Further Examination by Mr. Carr	235
Further Examination by Mr. Hall	237
Examination by Examiner Stogner	240

## REPORTER'S CERTIFICATE

246

\* \* \*

## E X H I B I T S

Burlington/BP	Identified	Admitted
Exhibit 1	17	38
Exhibit 2	15	38
Exhibit 3	-	-
Exhibit 4	76	102
Exhibit 5	93	102
Exhibit 6	116	161
Exhibit 7	-	161
Exhibit 8	134	161
Exhibit 9	160	161
Exhibit 10	172	190
Exhibit 11	200	226
Exhibit 12	-	-
Exhibit 13	-	-
Exhibit 14	-	-
Exhibit 15	134	164

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

DAVID K. BROOKS  
Attorney at Law  
Energy, Minerals and Natural Resources Department  
Assistant General Counsel  
1220 South St. Francis Drive  
Santa Fe, New Mexico 87505

## FOR BURLINGTON RESOURCES OIL AND GAS COMPANY:

KELLAHIN & KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265  
By: W. THOMAS KELLAHIN

## FOR PHILLIPS PETROLEUM COMPANY:

MILLER, STRATVERT and TORGERSON, P.A.  
150 Washington  
Suite 300  
Santa Fe, New Mexico 87501  
By: J. SCOTT HALL

FOR BP AMERICA, INC.; WILLIAMS PRODUCTION COMPANY;  
and CHEVRON-TEXACO:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR  
110 N. Guadalupe, Suite 1  
P.O. Box 2208  
Santa Fe, New Mexico 87504-2208  
By: WILLIAM F. CARR

(Continued...)

## A P P E A R A N C E S (Continued)

FOR DUGAN PRODUCTION CORPORATION:

CURTIS & DEAN  
P.O. Drawer 1259, 506 West Arrington  
Farmington, NM 87401  
By: JOHN DEAN

FOR SAN JUAN COAL COMPANY and  
TEXAKOMA OIL AND GAS CORPORATION:

JAMES G. BRUCE, Attorney at Law  
324 McKenzie  
Santa Fe, New Mexico 87501  
P.O. Box 1056  
Santa Fe, New Mexico 87504

\* \* \*

ALSO PRESENT:

FRANK T. CHAVEZ  
District Supervisor  
Aztec District Office (District 3)  
NMOCD

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2   9:00 a.m.:

3           EXAMINER STOGNER: At this time I'll call the  
4   hearing to order. Please note the docket number, 20-02,  
5   and we're here in Farmington, New Mexico, at the Farmington  
6   Civic Center. And at this time I will call Case --

7           (Off the record)

8           EXAMINER STOGNER: We get a little informal in  
9   Santa Fe, and I apologize about that. Since we're here at  
10   a new place and there's a lot of new people, I'm Michael  
11   Stogner. I'm the appointed Hearing Examiner for today's  
12   case. I am an engineer, petroleum engineer, by training,  
13   been working with the State for 20 years.

14           To my left is David Brooks, my legal counsel.

15           And we've got Steve Brenner, he's the court  
16   reporter. This is a formal type of setting, so everything  
17   that is said today will be recorded and a transcript will  
18   be provided?

19           Anything else?

20           MR. BROOKS: I think that's all.

21           EXAMINER STOGNER: Some of the local people,  
22   Frank Chavez with the Aztec office of the OCD, I'm sure  
23   most of you know him.

24           What I will do is call the hearing to order, and  
25   I'll ask for appearances. Those of you that have legal

1 counsel know the drill on this. And then if there's  
2 anybody else that would like to enter an appearance at this  
3 time, we'll kind of play that by ear and have you introduce  
4 yourself at that time.

5 The way that things will work today when I call  
6 the case to order and we start presenting testimony -- or  
7 taking testimony, I should say -- the committee in which  
8 the Application has been filed, they will present the  
9 technical evidence. And I'm assuming that's going to  
10 probably take all day today. And then we'll continue on  
11 into tomorrow for other matters, or hear other testimony  
12 that might be available out there.

13 Anything else?

14 MR. BROOKS: Yeah, let me just add that the  
15 Committee will, as the Examiner stated, make the first  
16 presentation. There are several groups that have filed  
17 entries of appearance previous to this proceeding, some of  
18 them other industry parties, and then some non-industry  
19 parties have filed entry of appearance.

20 As I understand the Examiner's intention,  
21 following the Committee's technical presentation, then the  
22 other industry parties will be given an opportunity to make  
23 technical presentations also, and then the non-industry  
24 parties that have filed entries of appearance will be given  
25 an opportunity to make statements or presentations, and

1 then any members of the public who would like -- if there  
2 is time tomorrow, then any members of the public who would  
3 just like to say anything will be given an opportunity to  
4 do so as time permits, after all the people who have  
5 entered their appearances in this proceeding have been  
6 given an opportunity; is that correct, Mr. Stogner?

7 EXAMINER STOGNER: That is correct.

8 MR. BROOKS: Okay, go ahead.

9 EXAMINER STOGNER: At this time I'm going to call  
10 Case Number 12,888, which is the Application of the  
11 Fruitland Coalbed Methane Study Committee, better known as  
12 the Committee, for pool abolishment and expansion and to  
13 amend Rules 4 and 7 of the Special Rules and Regulations of  
14 the Basin-Fruitland Coal Gas Pool for purposes of amending  
15 well density requirements for coalbed methane wells, in Rio  
16 Arriba, San Juan, McKinley and Sandoval Counties, New  
17 Mexico.

18 At this time I'll call for appearances.

19 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of  
20 the Santa Fe law firm of Kellahin and Kellahin. I'm  
21 appearing today on behalf of Burlington Resources Oil and  
22 Gas Company, LP.

23 MR. HALL: Mr. Examiner, my name is Scott Hall.  
24 I'm with the Miller Stratvert Torgerson law firm in Santa  
25 Fe, representing Phillips Petroleum Company, and I have one

1 witness this morning.

2 MR. CARR: May it please the Examiner, my name is  
3 William F. Carr with the Santa Fe office of the law firm  
4 Holland and Hart, L.L.P. We represent BP America, Inc.,  
5 for whom I have three witnesses. We also represent  
6 Williams Production Company and Chevron-Texaco.

7 MR. DEAN: Mr. Examiner, my name is John Dean. I  
8 practice here in Farmington and I'm the representative here  
9 today for Dugan Production.

10 MR. BRUCE: Mr. Examiner, Jim Bruce of Santa Fe.  
11 I'm here today representing San Juan Coal Company and am  
12 also entering an appearance on behalf of Texakoma Oil and  
13 Gas Corporation. I have no witnesses.

14 EXAMINER STOGNER: Other appearances?

15 Okay, is there anyone in the audience that plans  
16 to make a statement when the opportunity arises? Please  
17 stand and identify yourself at this time.

18 Now, I did have a statement by Ms. Tweeti  
19 Blancett and a Dr. Brooks Taylor and Mr. Bill Humphries.  
20 And Ms. Tweeti Blancett was here earlier today, and I  
21 understand they're scheduled to make a statement, or  
22 request to make a statement for tomorrow.

23 Okay, with that, Mr. Kellahin, how do you foresee  
24 the technical evidence being presented today?

25 MR. KELLAHIN: Mr. Stogner, as an accommodation

1 to the Committee, I've agreed to present the first portion  
2 of the Committee work. We would commence with Mr. Hayden,  
3 who's the Chairman of the Study Committee.

4 We'll follow his presentation by Burlington's  
5 technical report to you on the results of their five pilot  
6 projects in what we call the underpressured portion of the  
7 pool. That would conclude my presentation at that point.

8 Mr. Carr will present Amoco, and then followed by  
9 that Mr. Hall will present Phillips' position.

10 The Committee, as I understand it, supports the  
11 increased density for the entire pool, whether it's in the  
12 overpressured fairway or in the lower-pressured low  
13 producing area. But within the fairway there is a division  
14 in the Committee as to how to handle that, whether it's  
15 simply a blanket infill drilling, as you do with the  
16 underpressured area, or whether there's an additional  
17 component, that component being a notice obligation and a  
18 special process which files with the District and could  
19 evolve into additional hearings for infill wells in the  
20 fairway.

21 Mr. Hall and Mr. Carr will present that argument  
22 for your discussion and their data on the fairway in the  
23 overpressured area.

24 Burlington's presentation will address the  
25 underpressured low-productivity area.

1           And at the end of that, we will have presented  
2 the Committee work product to you.

3           And with your permission, we'd like to have our  
4 witnesses sworn.

5           EXAMINER STOGNER: Okay, before we swear in the  
6 witnesses, is there any need for opening statements at this  
7 time?

8           Okay, you have how many witnesses?

9           MR. KELLAHIN: Including Mr. Hayden, there's  
10 three.

11          EXAMINER STOGNER: Mr. Dean, do you have  
12 witnesses?

13          MR. DEAN: Whether we have a witness or not will  
14 depend on what happens.

15          EXAMINER STOGNER: Okay. And Mr. Bruce, you have  
16 no witnesses; is that correct?

17          MR. BRUCE: I have no witnesses.

18          EXAMINER STOGNER: So at this time I think I have  
19 seven witnesses to stand and be sworn at this time?

20          MR. KELLAHIN: Mr. Stogner, I understand Mr.  
21 Fassett, Jim Fassett, is to make a presentation immediately  
22 following Mr. Hayden to give you a general geologic view of  
23 the pool.

24          In addition, I have Mr. Strickler here, who is  
25 responsible for the notification in the hearing, and we'll

1 present him at the end of the presentation.

2 EXAMINER STOGNER: Okay, so now we're up to nine;  
3 is that correct?

4 MR. KELLAHIN: Yes, sir.

5 EXAMINER STOGNER: I call nine of those parties  
6 to stand up at this time. And Mr. Dean, if you do present  
7 a witness please remind me to swear them in. Thank you.

8 (Thereupon, the witnesses were sworn.)

9 MR. KELLAHIN: Mr. Hayden.

10 Mr. Stogner, the presentation by the various  
11 members of the Committee has been reduced to a Power Point  
12 presentation. You're going to get the Phillips exhibits,  
13 the Amoco exhibits and the Burlington exhibits, plus Mr.  
14 Hayden's conclusions, in the Power Point presentation.

15 We're also going to hand out to you the hard copy  
16 books that include that information.

17 In addition, the hard copy books include some  
18 additional supporting documentation so that, should you  
19 desire to get into the further technical details of any of  
20 the aspects of the Committee work, we'll have subchapters  
21 in these books that you can go to and talk with the various  
22 experts about what those mean.

23 Our goal this morning is to give you an executive  
24 summary, if you will, so that you can see the issues, see  
25 the conclusions and see how they got to their conclusions.

1 And then at that point you're certainly free to ask them  
2 additional questions, which the exhibit book does support.

3 So the exhibit book we're going to start with,  
4 first witness is Mr. Hayden.

5 STEVEN HAYDEN,

6 the witness herein, after having been first duly sworn upon  
7 his oath, was examined and testified as follows:

8 DIRECT EXAMINATION

9 BY MR. KELLAHIN:

10 Q. Mr. Hayden, for the record, sir, would you please  
11 state your name and occupation?

12 A. I'm Steve Hayden, I'm the District Geologist for  
13 NMOCD here in Aztec.

14 Q. How long have you been in that position?

15 A. Two years.

16 Q. As part of your responsibilities for the  
17 Division, have you assumed the chairmanship of what we call  
18 the Coal Study Committee?

19 A. Yes, sir.

20 Q. And when did you start that?

21 A. Well, at the time I started work the Committee  
22 was already in operation. The first meeting that I  
23 attended was May 4th of 2000.

24 Q. The exhibit book will contain a tabulation of the  
25 various dates of meetings?

1 A. Yes, sir, I've got a...

2 Q. Let's do that now. If you'll turn to the Power  
3 Point presentation, we can look in the hard copy of the  
4 exhibit book, and if you turn to Tab 2, the first display  
5 begins your summary of the various Committee meetings?

6 A. Yes.

7 Q. Have you gone back and looked at the Division  
8 records and the Committee records from the inception of the  
9 Committee process?

10 A. Yes. Well, actually, this Committee was formed  
11 in the late 1980s to study the coalbed methane with the  
12 Fruitland Coal --

13 Q. Who formed that Committee?

14 A. Ernie Busch, who was my predecessor at NMOCD at  
15 Aztec.

16 Q. And how was the Committee formed?

17 A. It was formed by representatives of various  
18 operators within the Basin.

19 Q. Do the records reflect whether Mr. Busch invited  
20 any operator in the Fruitland Coal Pool to participate on  
21 that Committee?

22 A. Not on the original -- I don't have that much...

23 Q. Was an opportunity afforded to any operator in  
24 the pool to participate in that Committee?

25 A. All I can speak to is, since I've been here I've

1 kept all the operators informed.

2 Q. All right. Since you have taken over  
3 responsibility as chairman, have you afforded that  
4 opportunity to all of the operators?

5 A. Yes.

6 Q. Can you identify for us the various operators  
7 that have participated in the Committee process? Is there  
8 a way to find those in this book?

9 A. Not in the hearing book, but the participation  
10 has been...

11 Q. Do your notes reflect that you have the ability  
12 to identify the participants?

13 A. Yes, I have --

14 Q. Let's do that after the hearing, Mr. Hayden.

15 A. Okay.

16 Q. If you'll provide Mr. Stogner with a list of the  
17 companies that actively participated in that process --

18 A. Well, the main active participants have been --  
19 well, of course, Burlington, BP, Phillips, Williams, Devon,  
20 Dugan, Merrion -- I'm sure I'm leaving some out, but --

21 Q. All right, and so you don't omit someone, let's  
22 have you make a list and submit it to --

23 A. Yes, I will.

24 Q. Let's turn past the various dates that the  
25 Committee worked, and let's move towards where the

1 Committee was when it filed the Application to amend the  
2 pool rules.

3 If we look at the hearing book, behind Exhibit  
4 Tab Number 1 is a copy of the Application, is it not?

5 A. Yes.

6 Q. That Application contains the final committee  
7 draft and recommendations on the rule changes, correct?

8 A. Yes.

9 Q. Can you start our presentation with an overview  
10 of the entire pool so we can see where it is located? Do  
11 you have a slide that will do that?

12 A. Well, this is a slide that will serve two  
13 purposes. One is to show the pool that's basically defined  
14 by the outcrop extent of the Basin-Fruitland Coal -- or the  
15 Fruitland Coal formation within the San Juan Basin.

16 Q. Is this the study area, then, for --

17 A. This is --

18 Q. -- determining --

19 A. -- the study area --

20 Q. -- to what extent the pools have changed?

21 A. This line is the state boundary.

22 Q. Okay.

23 A. Our study area is south of the state boundary.

24 Q. Did your involvement on behalf of the Division  
25 involve you reaching any geologic conclusions?

1           A.    I was -- it was more to facilitate a --  
2 conclusions reached by the industry people in their look at  
3 the infill question.

4           Q.    So your testimony this morning is to report on  
5 the Committee work --

6           A.    Yes.

7           Q.    -- and you're not here to express geologic  
8 conclusions about any of these maps?

9           A.    No, I'm here to express the Committee's attitude,  
10 basically -- or the Committee's conclusions, basically.

11          Q.    Well, let's do that.  If we start with this map,  
12 what is it showing us?

13          A.    Okay, this map is showing BTU content of the gas  
14 which reflects the chemistry of the gas.  And what this  
15 does is, it shows us that there's a very marked demarcation  
16 between the chemical characteristics of the gas along this  
17 line right in here.

18                   North of this line is -- and south of this part  
19 here -- is what we call the fairway or the high-production  
20 area of the pool.

21          Q.    That dark blue or the purple-blue area --

22          A.    The dark blue and the white, yes.

23          Q.    -- is what we'll call the fairway?

24          A.    The fairway.

25          Q.    Okay.

1           A.    The fairway is, as you'll note if you look at the  
2 column on the side here that lists BTU content, is  
3 characterized by BTU ratings in the neighborhood of about  
4 910 -- or 900, let's say -- whereas as you come across the  
5 line to the south we jump immediately up into the range of  
6 1100 to 1200 BTUs.

7           Q.    Does this map currently show the extent of this  
8 information for the entire pool area?  Is this the whole  
9 pool.

10          A.    Yes.

11          Q.    Okay.

12          A.    This map, by the way, and the following two, were  
13 both generated by Brent Hale of Williams for the Committee,  
14 and they're based on public information, stuff published by  
15 both NMOCD and by the COGCC.

16          Q.    What does the current Rules allow for a spacing  
17 unit size in the pool?

18          A.    Okay, the current Rules state that a spacing unit  
19 is 320 acres, which will consist of any contiguous quarter  
20 sections of a governmental half section, and wells may be  
21 drilled only in the northeast and southwest quarters of any  
22 governmental section.

23          Q.    Did the Committee come to any conclusion about  
24 what to do concerning well density in the pool?

25          A.    What we're recommending is to allow an infill

1 well in the other quarter section, opposing the one that  
2 has been drilled, or will be drilled, to allow two wells  
3 per 320.

4 Q. And would that apply to the entire pool area?

5 A. Well, in this the Committee has some difference  
6 of opinion, and so what we're presenting is a proposal to  
7 infill or to permit infill outside of the fairway, which is  
8 -- Let me go to the next slide, and I'll show you.

9 Q. Don't do that just yet.

10 A. Oh, okay.

11 Q. In terms of the question, the Committee is  
12 unanimous on infill drilling the entire pool?

13 A. Yes.

14 Q. When you get to the fairway, there's a difference  
15 of what to do --

16 A. Right.

17 Q. -- with the notice procedures?

18 A. Right, we want to have -- or we're proposing to  
19 have an administrative procedure for infilling within the  
20 fairway.

21 Q. All right, we'll come back to that in a second.

22 A. Yes.

23 Q. So all the work done by the technical people got  
24 to the same conclusion concerning density?

25 A. Outside the fairway, yes.

1 Q. And inside the fairway there was to be four wells  
2 in a section, right?

3 A. In special circumstances, yes, when they go  
4 through the administrative procedure.

5 Q. Okay. Can you identify the area that will  
6 distinguish this fairway or overpressured area?

7 A. I can show you in the next slide.

8 Q. Let's do that.

9 A. This is a slide showing normalized daily rates at  
10 the highest average daily rate. And what we picked here  
11 was a line that excluded areas with wells producing more  
12 than 2 million cubic feet per day.

13 Q. All right, let's talk about this. You're looking  
14 at a daily rate map?

15 A. Right.

16 Q. And the color code tells me what?

17 A. The color code shows rate.

18 Q. The more intense or the darker the color --

19 A. The darker the colors --

20 Q. -- as you move into the red is a higher rate?

21 A. Red is the highest rate here.

22 Q. Okay.

23 A. The blue line is the line we imposed on this to  
24 define the fairway for this purpose.

25 Q. Okay. Who prepared this map?

1           A.    This is also from Brent Hale at Williams, and the  
2 following one too.

3           Q.    To the best of your knowledge, is it accurate in  
4 locating the producing rate of all the current coal wells  
5 in the pool?

6           A.    Based on the production figures supplied by the  
7 operators, yes.

8           Q.    Do you have some numbers to tell us how many coal  
9 wells are in the pool? Do you know that?

10          A.    Yeah, there's -- Well, depending on which  
11 database I look at, there's somewhere in the neighborhood  
12 of 3300 to 3500.

13          Q.    Have you subdivided that population between  
14 existing wells in the underpressured area versus the  
15 fairway?

16          A.    Yes, there's about 2500 wells outside the  
17 fairway.

18          Q.    In terms of scribing this line, did the Committee  
19 technical people discuss and share data about how to  
20 configure --

21          A.    Yes.

22          Q.    -- this shape and size?

23          A.    Yes, we had a --

24          Q.    Okay, and this line --

25          A.    -- a meeting --

1 Q. -- when we look at that line, if we're inside the  
2 interior of that enclosure on the blue, it's wells that  
3 will produce on a daily rate of 2 million or more a day?

4 A. Not necessarily. This is mainly to include the  
5 highest rate areas. There are areas within this, you'll  
6 note, some areas of lighter color within the fairway that  
7 produce less. The fairway is not a homogeneous reservoir.

8 That's the reason we're recommending the  
9 administrative procedure to allow infill, is that there are  
10 areas within it that will support the 160-acre infill.  
11 Other areas, there are wells that are arguably producing at  
12 least 320.

13 Q. All right, let's talk about -- So that our  
14 nomenclature is consistent, I'm going to refer to the high-  
15 pressure area, the high-productivity area, as the fairway.

16 A. Yes.

17 Q. Is that a correct way to characterize the area  
18 inside the blue line, by --

19 A. Yes, I think so --

20 Q. -- calling it fairway?

21 A. -- I like the term fairway better than high-  
22 pressure at this point, because the pressures have dropped  
23 a lot within the fairway.

24 Q. When you go back and look at the pool Rules,  
25 they're using the phrase over-pressured area and an

1 underpressured area.

2 A. Well, I think that's a reflection of the original  
3 conditions of the reservoir, and those have changed  
4 somewhat.

5 Q. And that's what I want to focus on now is what's  
6 happened.

7 So if we find this map and we look at what we now  
8 call the non-fairway portion of the pool --

9 A. Yes.

10 Q. -- within the green, was well density discussed  
11 and studied by the Committee?

12 A. Yes, it was.

13 Q. And how was that accomplished?

14 A. Well, the main thing that we'll discuss today is  
15 the pilot test by Burlington in which they covered -- I'm  
16 sorry, excuse me, hit the wrong button -- they covered an  
17 area all the way along the south side of the fairway and  
18 out in -- with one well out in here, with five wells that  
19 looked at infill.

20 Q. All right.

21 A. We also have an engineering study by BP that  
22 looked at an area up in here, the Carracas Canyon area.

23 EXAMINER STOGNER: Mr. Hayden, I'm going to stop  
24 you right here at this point. On your presentation, we are  
25 transcribing it. And I know that you're presenting this to

1 a lot of people here today, but I'm going to ask you to  
2 refrain from pointing and saying "here" and "here" and  
3 "here" --

4 THE WITNESS: Oh.

5 EXAMINER STOGNER: -- and for the sake of the  
6 transcript describe what you're pointing at, so a person  
7 that could be reading the transcript and looking at the map  
8 later -- It's a little hard to do, but you'll get used to  
9 it.

10 Q. (By Mr. Kellahin) All right, let's start over so  
11 we're not confused here.

12 A. Okay.

13 Q. Mr. Hayden, were all of Burlington's five pilot  
14 areas outside of the fairway?

15 A. Yes, sir, they were.

16 Q. And there will be some slides that specifically  
17 show where they're located?

18 A. Yes.

19 Q. Was Burlington's work product shared with the  
20 Committee?

21 A. Yes.

22 Q. What did the Committee come to as a final  
23 conclusion for well density outside the fairway?

24 A. Outside the fairway we're completely unanimous in  
25 backing infill. I don't know of anyone opposed to it.

1 There's no evidence that suggests it's not justified.

2 Q. All right. Now, let's talk about inside the  
3 fairway. Inside the fairway there are two ways the  
4 Committee approached handling increased density wells in  
5 the fairway. One approach is to make the Rules in the  
6 fairway exactly the same as wells outside the fairway?

7 A. Yes.

8 Q. There would be no special notice administrative  
9 process, right?

10 A. Yes.

11 Q. And the companies that espouse that position  
12 would then have the opportunity to select increased  
13 densities infill --

14 A. Yes, sir.

15 Q. All right. The Committee resolved the fairway  
16 insofar as increased density by creating a subdivision in  
17 the Rule whereby if you wanted an increased density well in  
18 the fairway, you would file an application that was subject  
19 to notice to the offsets. And if that notice generated an  
20 objection from an offset interest owner, it could then  
21 cause a hearing to be held over the necessity of the infill  
22 well?

23 A. Yes.

24 Q. Was that what happened?

25 A. Yes.

1 Q. When we look at how the Committee drafted the  
2 proposed Rule, can we find the Committee work product  
3 attached to the Application itself behind Exhibit Tab  
4 Number 1?

5 A. Yes.

6 Q. Okay. So when we look at the fairway, everybody  
7 agrees that you need more wells in the fairway. The  
8 question is whether there's additional notice involved in  
9 achieving those wells?

10 A. Everybody agrees that at least certain areas of  
11 the fairway will stand more wells, yes.

12 Q. Describe for Mr. Stogner in a summary fashion how  
13 this administrative process, if he agrees to utilize it,  
14 would function.

15 A. It would basically be an application process much  
16 like the standard applications to drill. It would be filed  
17 with the District, but there would be notification to  
18 offset operators.

19 Q. Let's talk about that. If I'm an operator and I  
20 file an APD with the District Office in Aztec --

21 A. Yes.

22 Q. -- for an infill well, increased density well in  
23 the fairway, then I have an additional notice obligation?

24 A. Yes.

25 Q. Who do I notify? Is it around the 320, or it

1 around just the portion that has the infill well?

2 A. It's around the portion that has the infill well;  
3 but effectively, since we'll still have 320-acre GPUs, it's  
4 notifying -- each of those offsets to that quarter will be  
5 part of a 320-acre block.

6 So it's around the infill, yes, to answer your  
7 question.

8 Q. All right. So if I have an infill well that's to  
9 be at a standard well location, it's standard because I can  
10 now be off-pattern, and as long as I'm 660 from the side  
11 boundary --

12 A. Yes.

13 Q. -- I'm standard, except I have a notice  
14 obligation now to my direct offsets as to that infill well,  
15 whether it gets drilled or not?

16 A. Yes.

17 Q. Okay. Has the Committee discussed what category  
18 of owners adjacent to that 160-acre tract are entitled to  
19 notice? Are you going to notify royalty owners?

20 A. No, it's operators.

21 Q. All right. When I look at the offsetting  
22 operators, let's assume I'm Burlington in the fairway, and  
23 I am my own offsetting operator. What happens with the  
24 notice, anything?

25 A. Well, I assume that you already know and you

1 don't need notice.

2 Q. All right. If I am an offsetting operator, other  
3 than Burlington for this example, than Burlington would  
4 send notice to that other operator?

5 A. Right.

6 Q. Is the Rule structured so that notification would  
7 have to be made to anyone other than an operator?

8 A. I don't believe so, no.

9 Q. You don't have to notify working interest owners,  
10 that kind of thing?

11 A. I don't think so, no.

12 Q. Did the Committee draw any distinction between  
13 notifying offsetting operators outside of a federal unit?

14 A. No.

15 Q. Did you make any distinction between notifying  
16 the operators within a federal unit?

17 A. No.

18 Q. Okay. If I'm Burlington -- let's assume, to make  
19 it easy, I'm outside of a unit and I'm adjacent to Phillips  
20 and Amoco. I would send them notice?

21 A. Yes.

22 Q. What does the Rule contemplate happening for a  
23 notice period? How long do I send them the notice?

24 A. I believe that's a 20-day period from the --

25 Q. Within that 20-day period, they can then file an

1 objection with the District?

2 A. Yes.

3 Q. What then is supposed to happen under this  
4 proposed Rule?

5 A. Then we send it to hearing in Santa Fe.

6 Q. And what will be the topic of the hearing?

7 A. The justification for having the well and whether  
8 or not it impinges on the correlative rights of the offset  
9 operators.

10 Q. That was the Committee recommendation?

11 A. Yes.

12 Q. The Committee did not get to a conclusion where  
13 there should not be infill drilling in the fairway?

14 A. No.

15 Q. We're going to have infill drilling in some  
16 fashion in the fairway?

17 A. That's my understanding, yes.

18 Q. That's where the Committee ended up?

19 A. That's where the Committee ended up, yes.

20 Q. And if we look at the Application, then, we can  
21 see the Committee proposed language on how to accomplish  
22 notice within the fairway?

23 A. Yes.

24 Q. Let's look at your next slide.

25 A. This is the same line, you'll notice the blue

1 line again, defining the high-rate areas of the fairway.  
2 And it's superimposed on cumulative production maps, and  
3 the cumulative production starts at -- well, the contour  
4 interval is one-half BCF.

5 So you can see that there's quite a bit of  
6 heterogeneity within the fairway itself on cumulative  
7 production, and you can also see that there's a pretty good  
8 fit of our rate line compared to cumulative production.

9 Q. Why did the Committee choose 2 million a day as  
10 the line upon which to scribe this boundary?

11 A. We had evidence presented in at least one case by  
12 BP that showed that 2 million a day and less was only  
13 draining about 200 acres.

14 Q. And what did you do on the other side of the  
15 line? That was the purpose of the line, then?

16 A. Yeah, it was to -- things that -- The continuous  
17 amount of the pool that tended to be higher rate than that,  
18 we included within the line. And where it tended to -- the  
19 rates tended to run lower, we excluded from the --

20 Q. Let me make sure I understand. If we take 2  
21 million a day based upon rate, daily rate alone --

22 A. Right.

23 Q. -- then there was agreement by the Committee that  
24 everything outside of that area justified increased  
25 density --

1 A. Yes.

2 Q. -- with not special notice?

3 A. Right.

4 Q. All right. Within this area, then, there was a  
5 difference about whether there's additional notice or not?

6 A. Yes.

7 Q. And the Committee could not unanimously decide on  
8 what to do with that issue?

9 A. Right.

10 Q. Okay, let's turn to the next display.

11 A. Okay, this is -- Bear with me a minute, I'll get  
12 through the text here. This is -- Do you want me to just  
13 go ahead and explain it or --

14 Q. Yeah. It's a little difficult to see, but go  
15 ahead. I think the hard copies in the exhibit book are  
16 easier to see, but what are you showing us?

17 A. Okay, this basically is, again, a map of the  
18 Fruitland Coal Pool within New Mexico. The area that's  
19 white here is the fairway. The colored area is the rest of  
20 the pool.

21 And what this shows -- and it's hard to see on  
22 this slide -- is existing wells within Pictured Cliffs  
23 pools outside the fairway. The Pictured Cliffs is the next  
24 formation below the Fruitland Coal.

25 There are 5723 Pictured Cliffs wells existing

1 outside the fairway. 4900 of those are more than 1320 feet  
2 from the nearest Fruitland Coal well. Of those, it's a  
3 good bet that there's enough that are actually within a  
4 separate quarter section to supply many targets for  
5 recompletion for infill to lessen the surface disturbance  
6 and incidentally lower costs to the producers.

7 Q. In the non-fairway tracts --

8 A. These are -- this is non-fairway, yes.

9 Q. -- when you look at the opportunity for accessing  
10 the coal gas in non-fairway tracts --

11 A. Yes.

12 Q. -- the Committee has suggested what as the way to  
13 exercise that opportunity?

14 A. Well, it's just -- a very easy way to exercise  
15 that opportunity is to use existing wellbores to recomplete  
16 and downhole commingle and then thus avoid having to drill  
17 new wells, having more surface disturbance and also  
18 lowering cost --

19 Q. Well, also there's an economic consequence --

20 A. Economic consequences are the driving force, of  
21 course.

22 Q. Did the Committee do anything more with that  
23 topic?

24 A. No.

25 Q. Did you go through economic analysis of what a

1 new coal well would cost in relation to other options of --

2 A. Not as a function of the Committee. That would  
3 be, you know, an initiative of the individual operators in  
4 their own areas.

5 Q. So this was just a recognition of the opportunity  
6 to use --

7 A. Yes.

8 Q. -- Pictured Cliff wells?

9 A. Yeah, and this is only Pictured Cliffs. There's  
10 also two or three small pools over in this area. I might  
11 note that Farmington on this map is right here, Bloomfield  
12 here, Aztec here.

13 EXAMINER STOGNER: I'm sorry, I wasn't watching.  
14 Where's "here"?

15 THE WITNESS: Oh, I'm sorry --

16 EXAMINER STOGNER: But it's clearly marked on  
17 the --

18 THE WITNESS: -- I said "here" again. But yes,  
19 it's clearly marked on the map.

20 To the west and to the south of Farmington  
21 there's also three fairly major pools that are Fruitland  
22 Sand and Pictured Cliffs that also offer the same  
23 opportunity. There's somewhere in the neighborhood of 6000  
24 Mesaverde wells also in the Basin, some of which overlap  
25 the non-fairway areas of the Fruitland Coal. So we're

1 presented with a lot of opportunities for infill based on  
2 recompletion versus new wells.

3 In the fairway itself we probably won't have this  
4 opportunity because the completions are generally open-  
5 hole, as opposed to through the pipe. So in this case we  
6 won't see this.

7 Q. (By Mr. Kellahin) Mr. Hayden, are you familiar  
8 with that portion of the Application that attempts to  
9 conform the Fruitland Rules to be consistent with what the  
10 Division has found to be the applicable Dakota Rules within  
11 a federal unit?

12 A. Yes.

13 Q. Let's talk about that.

14 A. Okay.

15 Q. I want to look at that portion of the Application  
16 that deals with changing the coal Rules to make them like  
17 what occurs in a federal exploratory unit in the Dakota.  
18 What's the change?

19 A. The change is that interior to the federal units  
20 the setbacks will be changed to be ten feet from the  
21 section boundaries and the quarter-section boundaries.

22 Q. How is that a change from the current coal Rules?

23 A. Well, the current coal Rules are 660 feet from  
24 the outside boundaries of the half-section GPU.

25 Q. So we shrink the interior boundaries within the

1 GPU so you can be ten foot off an interior line?

2 A. Yes.

3 Q. Was there unanimous agreement by the Committee to  
4 do that?

5 A. As far as I know, yes.

6 Q. Anything else that's changed?

7 A. Okay, the particulars of this are, the outside  
8 boundaries of the federal units, each will still have a  
9 660-foot buffer zone. Then any nonparticipating acreage  
10 within the federal units will have the 660-foot buffer  
11 zone, both --

12 Q. -- Let's do it again --

13 A. -- interior to them --

14 Q. -- so we don't lose track. I'm going to be  
15 inside a federal unit.

16 A. Inside the federal unit.

17 Q. And I am adjacent to a participating area in the  
18 coal, but my well is going to encroach on a drill block  
19 that is not fully committed to the PA?

20 A. Okay, the noncommitted acreage also will have a  
21 660-foot setback.

22 Q. Okay.

23 A. Noncommitted and nonparticipating, both.

24 Q. And if I am approaching a GPU that's got those  
25 characteristics, if I want to be closer than 660 --

1 A. Then you need a --

2 Q. I've got to get notice --

3 A. -- nonstandard location permit.

4 Q. I've got to get an NSL permit?

5 A. Right.

6 Q. Anything else about the Rule?

7 A. I believe that covers it.

8 Q. Okay. So the difference, then, is to conform  
9 this to what happens in the Dakota?

10 A. The same spacing as the Dakota and what's been  
11 applied for in the Mesaverde.

12 Q. Okay, so that everybody's got the same set of  
13 Rules --

14 A. Right.

15 Q. -- for these various formations?

16 A. Yes.

17 Q. Any opposition by the Committee to do those  
18 things?

19 A. Not that I'm aware of.

20 Q. This is your last display, is it not, Mr. --

21 A. Yes.

22 Q. -- Hayden?

23 MR. KELLAHIN: With your permission, Mr. Stogner,  
24 we would move the introduction of what Mr. Hayden has  
25 identified as Exhibits 1 through 2, and that will complete

1 his presentation.

2 EXAMINER STOGNER: Any objection?

3 MR. CARR: No objection.

4 EXAMINER STOGNER: Exhibits 1 and 2 will be  
5 admitted into evidence at this time.

6 Mr. Hall?

7 MR. HALL: No questions, Mr. Examiner.

8 EXAMINER STOGNER: Mr. Carr?

9 MR. CARR: Just a couple.

10 EXAMINATION

11 BY MR. CARR:

12 Q. Mr. Hayden, when we look at the fairway or the  
13 area that has been described as the high-productivity area,  
14 you talked about the notice requirements that the Committee  
15 discussed if you're proposing an infill well within this  
16 area?

17 A. Yes.

18 Q. And you indicated in your testimony that if you  
19 were proposing a well interior in a federal unit, that the  
20 notice requirement would be to the operator, which means  
21 there would really be only notice to yourself?

22 A. Yes.

23 Q. And are you aware that approximately 70 percent  
24 of this fairway is located within federal units?

25 A. Yes.

1 Q. And so except for the exterior notification, when  
2 you talk about notice you're really talking about a notice  
3 requirement for about 30 percent of the fairway area?

4 A. Yes, and the -- for the blocks around the outside  
5 of the federal units, yes.

6 MR. CARR: That's all I have. Thank you.

7 EXAMINER STOGNER: Mr. Bruce, Mr. Dean?

8 MR. BROOKS: My turn?

9 EXAMINER STOGNER: Yes.

10 MR. BROOKS: Very good.

11 EXAMINATION

12 BY MR. BROOKS:

13 Q. Mr. Hayden, I believe you've reviewed the  
14 background of the Committee, but I just wanted to explore  
15 this a little bit with you.

16 The formation of the Committee was a portion of  
17 -- a function of your responsibilities -- the formation and  
18 the direction of the Committee, or the chairmanship of the  
19 Committee, was a function of your responsibilities as an  
20 employee of the Oil Conservation Division --

21 A. Yes.

22 Q. -- correct?

23 However, were you the only Oil Conservation  
24 Division person on the Committee, or --

25 A. Yes.

1 Q. -- was there anyone -- Okay.

2 The rest of the people on the Committee were  
3 operators, correct?

4 A. There were also some BLM participants.

5 Q. Okay. There were not any people other than  
6 operators and the government people, though?

7 A. No.

8 Q. Okay. Now, what was the mission of the  
9 Committee? What did you set out to do?

10 A. We set out to test whether infill drilling was  
11 appropriate within the Basin-Fruitland Coal Pool.

12 Q. Now, to clarify the reasons for that a little bit  
13 more, because there are a lot of people here who are not  
14 very knowledgeable in this area, I suspect, in any  
15 underground formation in which you find oil or, in this  
16 case, gas, would it not be an accurate statement that it is  
17 physically impossible, no matter how you produce the gas or  
18 how many wells you drill to produce 100 percent of the gas  
19 in the reservoir?

20 A. That's probably a safe --

21 Q. Okay.

22 A. -- assumption.

23 Q. If you drill too few wells, then you will not  
24 produce all of the gas, because some of the gas won't make  
25 it to the wellbore, correct?

1           A.    Correct.

2           Q.    And if you drill too many wells, you will reduce  
3 the formation pressure which causes the gas to come to the  
4 surface, and therefore you'll probably produce less gas  
5 than you might some other way; is that not a correct  
6 generalization?

7           A.    That's probably true, yes.

8           Q.    So the purpose, then, of studying these things is  
9 to determine as best you can what is the optimum number of  
10 wells to be drilled in a pool in order to produce the  
11 maximum amount of gas that's down there, to make it  
12 available to the market; is that correct?

13          A.    Yes.

14          Q.    Okay. And you began your review -- Well, let me  
15 ask you one other thing, then.

16                The Oil Conservation Division -- our middle name,  
17 you might say, is Conservation. And so are we very  
18 concerned about figuring out how to shepherd New Mexico's  
19 resources in such a manner as to make the maximum amount  
20 available to the public?

21          A.    Yes.

22          Q.    And that's one of our statutory functions --

23          A.    Yes, it is.

24          Q.    -- as a Division, correct?

25          A.    Yes.

1 Q. And so that's one of the reasons why you were  
2 asked as district geologist for the Oil Conservation  
3 Division to form a Committee to study this matter; is that  
4 correct?

5 A. Yes, it was.

6 Q. And at present, the Rules governing the Fruitland  
7 Coal Pool permit one well for every 320 acres, that is --  
8 for each 320 acres, that is, two wells in each square mile  
9 of the --

10 A. Right.

11 Q. -- pool?

12 And the proposal that you are now advancing to  
13 the Division Hearing Officer, to the Division Director  
14 through the Hearing Officer, is that that be increased to  
15 permit a maximum of four wells in each section --

16 A. Yes.

17 Q. -- square mile?

18 And do you believe that the Committee's study  
19 indicates that that increase in number of wells will result  
20 in more gas being produced more efficiently than the  
21 present density?

22 A. Yes, I do.

23 Q. Now, you -- one thing I want to clarify about  
24 your exhibit, if you'll go back to the one that's entitled  
25 "2 MMCF per day line on rate map", and the reddish area on

1 there is what we're calling the fairway --

2 A. Yes.

3 Q. -- correct?

4 Now, you pointed out on one of the other maps  
5 where Farmington was, and you don't have the rivers marked  
6 on here, so it's harder to see. Can you give us an idea --

7 A. The --

8 Q. -- where Farmington is in relation --

9 A. Yeah, the --

10 Q. -- to the fairway?

11 A. -- San Juan River comes down through here, and  
12 Farmington is roughly in this area here --

13 Q. Okay, and you're point to the --

14 A. -- Aztec and Bloomfield.

15 Q. Okay. Farmington, then, is south and west --

16 A. South and west of the --

17 Q. -- of the fairway --

18 A. -- fairway --

19 Q. -- down in the area of the -- the white area, but  
20 not outside where it's surrounded by green?

21 A. Right.

22 Q. And Aztec is closer to the fairway, correct?

23 A. Yes.

24 Q. Now, where is the New Mexico-Colorado boundary on  
25 this map?

1           A.    Notice where the blue line is truncated there.  
2    That's the boundary with Colorado.

3           Q.    And how far south does this map go?  About where  
4    would you be if you were way down at the south end of this  
5    map?

6           A.    McKinley County, probably south of Cuba --

7           Q.    Okay.

8           A.    -- southwest.

9           Q.    And where is the southeast end of the fairway?  
10   Is there some landmark you can --

11          A.    Yeah, this --

12          Q.    -- locate that by?

13          A.    Well, I can tell you in a township sense easier  
14    than any -- otherwise.  This is 29 and 6, Township 29  
15    North, 6 West; 30 North, 5 West.

16          Q.    Now, we could look that up on a map, of course,  
17    but I was wondering if there was some landmark you could  
18    point out that would be meaningful to people who might not  
19    be familiar with the legal surveys?

20          A.    The San Juan-Rio Arriba County line runs right  
21    through here and then up the river.

22          Q.    Okay, very good.  I think you've done a good job  
23    of getting us located.

24                    Now, let me go to your exhibit that is entitled  
25    "Pictured Cliffs Locations available for Fruitland Coal

1 Re Completions". Now, this map is a little hard to see, but  
2 just to clarify what the significance of it is, there are  
3 dots that appear to be black on my copy. I'm not sure what  
4 color you'd characterize them on the exhibit that is on  
5 display, but those are existing wells?

6 A. Yes.

7 Q. And to clarify a little bit what's involved here,  
8 what is the Pictured Cliffs?

9 A. The Pictured Cliffs is a sandstone that  
10 represents the shoreline of the Cretaceous inland sea that  
11 was seaward of the Fruitland Coal, which represents the  
12 swamp behind the beach.

13 Q. So that the --

14 A. It's underneath --

15 Q. -- Pictured Cliffs is found at a greater depth  
16 when you drill down --

17 A. Yes --

18 Q. -- in the Fruitland Coal?

19 A. -- it's the next thing down from the Fruitland  
20 Coal.

21 Q. Now, the Pictured Cliffs also produces gas,  
22 correct?

23 A. Yes.

24 Q. And the OCD has previously authorized the  
25 drilling of four wells per square mile within the Pictured

1 Cliffs --

2 A. Yes.

3 Q. -- correct?

4 So there are a lot of wells out there that  
5 penetrate the Pictured Cliffs that do not produce from the  
6 Fruitland Coal, correct?

7 A. Yes, sir, that was the point of what I was --

8 Q. Now, there are a couple of other formations that  
9 underlie a part of this area at greater depth, correct?

10 A. Yes.

11 Q. And those would be the Mesaverde and the Dakota?

12 A. Yes, sir.

13 Q. And there are a number of wells out there that  
14 are producing from those formations also, correct?

15 A. Yes.

16 Q. Now, what is the spacing in those formations?

17 A. The Mesaverde and the Dakota have 320-acre GPUs  
18 that allow three infill wells to the original, so there's  
19 four wells per 320 and eight per section.

20 Q. Yeah, so -- Eight per section?

21 A. Yes.

22 Q. Yeah, okay. So they are also in a greater  
23 density --

24 A. Yes.

25 Q. -- than the Fruitland Coal? There are more wells

1 per section?

2 And the bottom line of all that is that there are  
3 a large number of wells out there that go through the  
4 Fruitland Coal, the drill hole goes all the way through the  
5 Fruitland Coal formation, but at present they are not open  
6 so that they produce in the Fruitland Coal?

7 A. Yes, that's correct.

8 Q. And many of those wells, not all of them, could  
9 be perforated in the Fruitland Coal so that they would  
10 produce from the Fruitland, correct?

11 A. Many of them would be candidates for that, yes.

12 Q. And I understood what you say to be -- what you  
13 testified, to say that because of the way in which those  
14 wells are -- I don't want to say the way in which those  
15 wells are drilled, but because of the way the pipe is set  
16 or not in the hole, that's more true outside the fairway  
17 than it would be in the fairway?

18 A. Yes, sir, most of the Fruitland Coal wells within  
19 the fairway are produced open-hole at the bottom. They  
20 don't have casing clear to bottom. They're produced open-  
21 hole, often by cavitation. And to have a deeper production  
22 necessitates having pipe across the Fruitland Coal, so that  
23 would eliminate those as possibilities within the fairway.

24 Q. Now, it's a lot less expensive for an operator  
25 who wants to complete a well in the Fruitland Coal to do so

1 by perforating the pipe in an existing well where the well  
2 is configured in such a way as to make that possible, than  
3 it is drilling a new well, other things equal, correct?

4 A. Yes.

5 Q. So it's a reasonable assumption that where that  
6 is possible the operators will be more likely to use an  
7 existing well versus drilling a new well?

8 A. That's my assumption, yes.

9 Q. Now, there's nothing in the proposed Rule that  
10 requires them to do one way or the other?

11 A. No.

12 Q. At present, if they want to -- if the operators  
13 want to complete a well in two formations, and they want to  
14 do so by allowing the gas to come up the same pipe, which  
15 technically we call downhole commingling, they have to file  
16 an application with the OCD to do that, correct?

17 A. Yes.

18 Q. Now, those are very frequently granted, are they  
19 not?

20 A. Yes.

21 Q. So there's really no great obstacle to the  
22 operators' doing that if the well is technically capable of  
23 doing it?

24 A. No, there's no major obstacle.

25 Q. Okay. Based on your study of these wells, do you

1 have a guess -- and normally we don't take guesses in legal  
2 proceedings, but I don't see any way you could have  
3 anything more accurate than that, and this is something  
4 that may be interesting to some people here. Do you have a  
5 guess as to what percentage of the new wells that we're  
6 authorizing might actually turn out to be through existing  
7 wellbores?

8 A. I don't.

9 Q. Do you think --

10 A. About all I can do is present what they -- you  
11 know, the raw figures for --

12 Q. Given the figures that you've looked at, do you  
13 think it might be as high as 50 percent?

14 A. I would hope so, but I can't --

15 Q. Yeah, I understand, that's why I said a guess.

16 Okay.

17 Now, your function in forming this Committee and  
18 coming before us here today is merely to recommend what the  
19 Committee study tends to indicate to you, correct?

20 A. Yes.

21 Q. And the final decision on this issue will be made  
22 by the Director of the OCD in Santa Fe after she has an  
23 opportunity to review the transcript of this proceeding and  
24 the recommendations of Mr. Stogner, correct?

25 A. Yes.



1 that more of an administrative type of a situation?

2 A. It's just an administrative convenience, yes.

3 Q. Is that pool in the fairway or not?

4 A. The southernmost part of it isn't, the rest of it  
5 is at this point.

6 Q. I want to make sure I'm clear. I've got one more  
7 question. This is the situation in which we're in the  
8 fairway, an operator wants to recomplete an infill well,  
9 they notify the offset operator -- in this case it's  
10 somebody else -- and that party objects. What will be the  
11 topic of the hearing again?

12 A. The justification for having the well and also  
13 the -- I would assume, the correlative rights issues that  
14 the person objected on, which would involve basically  
15 drainage data, whether they felt they were being encroached  
16 on.

17 Q. Now, the justification for having the well, that  
18 would entail what, drainage of the new well, the infill  
19 well, and --

20 A. I assume so, yes.

21 Q. -- how it would affect the offset? Is that what  
22 you're saying?

23 A. I assume so, yes.

24 Q. Are you proposing some sort of a sunset clause on  
25 this particular limitation in the -- or the Committee, I

1 should say, when I say you -- the Committee, were they  
2 suggesting a sunset clause on this particular portion of  
3 the Rule?

4 A. One effect of this Rule would be to allow for a  
5 lot of study of the infill possibilities within the  
6 fairway, and what we recommended was to revisit this in a  
7 year to see what the engineering data within the fairway  
8 showed us, because our studies basically didn't include  
9 inside the fairway, within New Mexico, so...

10 Q. So this justification for this additional well  
11 would be limited to that area within that fairway and also  
12 within the general area of the spacing unit, and not  
13 necessarily revisiting today's proceedings, I would assume?

14 A. Yes, I would assume, yes.

15 EXAMINER STOGNER: Any other questions of Mr.  
16 Hayden?

17 MR. BROOKS: Well, I had one follow-up on what  
18 you were asking, Mr. Examiner.

19 FURTHER EXAMINATION

20 BY MR. BROOKS:

21 Q. Looking at the proposed rule, what it says about  
22 the hearing -- and I'm reading from the Application that's  
23 Exhibit 1 in the exhibit book -- it says, "In the event an  
24 objection is timely received, or upon the District  
25 Supervisor's own initiative, the application shall be set

1 for a hearing before a Division Examiner."

2 And that would appear to mean that the hearing is  
3 on the application for a permit to drill, which suggests,  
4 although it doesn't spell that out in detail, it suggests  
5 to me that the concept is that the operator who proposes to  
6 drill a well will have the burden of proof at that hearing  
7 to sustain the propriety of his Application on the grounds  
8 of conservation and the protection of correlative rights.  
9 Is that the concept the way it's intended?

10 A. I would assume both parties would have a burden  
11 of --

12 Q. Well, in the sense that both parties have a  
13 burden at any hearing, and if one party makes their burden  
14 of proof and the other one, if they have something else to  
15 present, they have to show him, but the operator is going  
16 to have to come in and demonstrate a need for that well  
17 once there is an objection to it --

18 A. I would assume so, yes.

19 Q. -- it's not a situation where the operator can  
20 come in and say, Here's my application, you show there's  
21 something wrong with it? It's not a hearing on the  
22 objections, it's a hearing on the application --

23 A. Yes.

24 Q. -- the way the rule is presently drafted?

25 Okay, thank you.

1 EXAMINER STOGNER: No other questions, you may be  
2 excused.

3 Well, it looks like we've got some competition,  
4 so I'm going to ask everybody to speak loud whenever you do  
5 speak. These are not microphones. What these are are for  
6 the recorder and for the transcriber. I apologize about  
7 that, just wanted to remind everybody to speak loud.

8 MR. HAYDEN: If I might, I'd like to introduce  
9 the next speaker.

10 EXAMINER STOGNER: Okay.

11 MR. HAYDEN: Jim Fassett is a geologist retired  
12 from the USGS. He's been studying the Fruitland Coal for  
13 70 or 80 years, I believe, actually, since at least 1970  
14 when his first publications occurred on it. And he has a  
15 presentation put together from a professional paper that  
16 the USGS issued what, last -- year before last?

17 MR. FASSETT: 2000.

18 MR. HAYDEN: In 2000, yes. And he is going to  
19 present the USGS view of the Fruitland Coal as it exists at  
20 present. So...

21 EXAMINER STOGNER: Come forward, introduce  
22 yourself, take a seat, and again speak loud.

23 Do you also have slides along with your  
24 presentation?

25 MR. FASSETT: Yes, I do. Shall I begin or --

1           EXAMINER STOGNER: Yes, what -- I'm assuming this  
2 is the format, you're going to give us a little  
3 presentation today.

4           Is the presentation that you have along with the  
5 slides, is it included in the book that was given to me  
6 earlier?

7           MR. FASSETT: I don't think it is, but it can be.  
8 The presentation I'm going to give is a Power Point  
9 presentation, and I can give a copy of that CD to Steve  
10 Hayden, and he can make copies to provide to you.

11           (Off the record)

12           EXAMINER STOGNER: I am going to ask you to  
13 provide that CD, because it needs to be in the exhibit book  
14 for review at a later time.

15           MR. FASSETT: I might add that every slide that  
16 you will see here today has been published in some form.  
17 I've modified publications of mine to make them more  
18 suitable for a slide presentation.

19           MR. BROOKS: Right. What we need is probably --  
20 I think what we need is hard copies --

21           MR. FASSETT: Yeah.

22           MR. BROOKS: -- of each of the slides, the reason  
23 being that, as I explained in my examination of the last  
24 witness, the Director of the OCD will be reviewing the  
25 transcript of these proceedings, and she will need to look

1 at things that were displayed here, or will need to have  
2 that opportunity if she desires to look at anything that  
3 was displayed here.

4 MR. FASSETT: I understand, and I think Mr.  
5 Hayden can print these slides out quite easily and make  
6 them a part of the record.

7 MR. BROOKS: Okay, we understand that you will  
8 undertake to see that that gets done.

9 MR. FASSETT: Yeah, I will do that.

10 MR. BROOKS: Thank you very much.

11 JAMES E. FASSETT,

12 the witness herein, after having been first duly sworn upon  
13 his oath, was examined and testified as follows:

14 DIRECT TESTIMONY

15 MR. FASSETT: The title of my -- Well, first of  
16 all, as Steve said, I retired from the US Geological Survey  
17 in the year 2000, the end of June, after having worked for  
18 the US Geological Survey for about 40 years, and much of  
19 that work was focused on the San Juan Basin and the  
20 Fruitland Coal beds within the San Juan Basin.

21 I am currently affiliated with the US Geological  
22 Survey as a scientist emeritus, which means I'm a  
23 volunteer, basically, but I still do work for the US  
24 Geological Survey. I'm also a consulting geologist in  
25 addition to doing that work.

1           The title of the talk is "Distribution of  
2 Fruitland Formation Coalbeds in Space and Time", and I  
3 think the time part is quite important, as you will see as  
4 I get into my presentation.

5           I think we all tend to think of the world mostly  
6 in three dimensions. However, most geologists, or any good  
7 geologist, has to think of the fourth dimension as well,  
8 constantly, and that is time, because all of the rocks that  
9 we see in the rock record were deposited, for the most  
10 part, millions -- many hundreds of millions of years ago,  
11 and any sequence of rocks was deposited through a period of  
12 time. So I think it's important to emphasize that.

13           As Steve mentioned, most everything that you will  
14 see in my presentation was published as a chapter in USGS  
15 Professional Paper 1625B, and that's published only on a  
16 CD-ROM. And I might add that if anyone wants a copy of  
17 that publication I can provide that to them.

18           The study that I made of the San Juan Basin,  
19 which is which is shown within the Colorado plateau area,  
20 was part of the US Geological Survey's National Coal  
21 Assessment, a project that is still ongoing, but the  
22 Colorado plateau part is finished. That study took  
23 approximately five years and includes several other coal  
24 basins that are shown in the Colorado plateau area.

25           Several questions have been asked about where

1 things are relative to geographic locations in the Basin.

2 I have prepared this index map that shows the Colorado-New  
3 Mexico state line and the Utah-Arizona state line.

4 The green band is the Fruitland formation  
5 outcrop, which encircles almost the entire San Juan Basin.  
6 You can see the Jicarilla Apache Indian Reservation here,  
7 the Southern Ute Indian Reservation just north of the state  
8 line, to the west the Navajo Reservation.

9 And I have to add that's the traditional boundary  
10 that's been added to with the Navajo Irrigation Indian  
11 Project, and it now extends out into the area. So there's  
12 a fair amount of Indian land within the Basin. This area  
13 down here is the Bisti De-Na-Zin Wilderness Area. And then  
14 I've shown Chaco National Monument and Mesaverde Park up  
15 here for reference.

16 The major rivers you can see in the Basin, San  
17 Juan and the Pine and the Animas. And the location of  
18 Farmington, Bloomfield, Aztec, Cuba are shown for  
19 reference, and Ignacio, Colorado.

20 To emphasize the time aspect of the deposition of  
21 Fruitland Coals in the Basin I am showing this  
22 illustration. It's a chrono-stratigraphic cross-section  
23 that is designed on a datum down in the Lewis Shale, the  
24 Huerfanito bentonite bed, and that marker is clearly  
25 visible on most geophysical logs throughout the San Juan

1 Basin, and it makes a very convenient and also valuable  
2 reference line to which other stratigraphic geologic units  
3 can be related.

4 The units I'm going to talk about in this  
5 presentation are the Lewis shale formation, which was  
6 deposited in the Ocean; the Pictured Cliffs sandstone,  
7 which Steve has already referred to, which is a regressive  
8 shore-based sandstone -- in other words, a sandstone that  
9 was deposited as the sea regressed out of the San Juan  
10 Basin, and I'll show you a better diagram depicting that in  
11 a moment. And then overlying the Pictured Cliffs is the  
12 Fruitland formation and the Kirtland formation. And the  
13 Fruitland, of course, is the formation that contains the  
14 coalbeds that we're discussing today.

15 I'm not going to spend a lot of time on the  
16 details of these ages that are represented here, and one  
17 over here. By the way, this cross-section runs from the  
18 Hunter Wash area near Bisti in the southwest, up to Chimney  
19 Rock in the northeast part of the Basin.

20 What these ages represent are radiometric dates  
21 of volcanic ash beds that have been altered, and those ash  
22 beds can be dated quite precisely using a method called the  
23 argon-argon dating method. And what we see here is that  
24 the age of the Huerfanito bentonite bed, which has been  
25 dated over here near Regina is 75.76 million years old, and

1 progressively younger dates going up, and then the youngest  
2 date, just beneath the Ojo Alamo sandstone up in the  
3 Kirtland shale, is 73.04 million years.

4 So the difference is approximately 2 1/2 million  
5 years, which is the time it took for the Pictured Cliffs  
6 sandstone to regress from the southwest part of the Basin  
7 to the northeast part.

8 Over on the east side in the Lewis shale we were  
9 able to date an ash bed there as well, which pretty well  
10 fits this sequence.

11 The point of this slide is to show that the  
12 Pictured Cliffs and the overlying Fruitland Coals become  
13 progressively younger northeastward across the Basin. And  
14 I want to emphasize that, because when we look at a map or  
15 a cross-section showing Fruitland Coals that lie on top of  
16 the Pictured Cliffs, I want you to keep in mind that those  
17 coals are much older in the southwest part of the Basin  
18 than in the northeast, and there is absolutely no  
19 possibility that these coals down here could be correlative  
20 with coals up in the northeast part of the Basin.

21 This is what the continent of North America  
22 looked like back in about 72 million years ago. There was  
23 a western shoreline of the western interior seaway that  
24 extended from the Gulf of Mexico, and this map doesn't go  
25 that far north, but it went up to the Arctic Ocean. The

1 east boundary of that seaway is shown here. You can see it  
2 was quite a considerably large-extent seaway at that time.

3 The San Juan Basin is shown here, with the  
4 shoreline at 76 million years ago, and the shoreline at 73  
5 million years ago. And you can see what's interesting is  
6 the shoreline had a northwest orientation, pretty much  
7 entirely during the time that the seaway was regressing  
8 across this area.

9 If we look at the progression of the shoreline,  
10 remember the sea would have been here at 75.56 million  
11 years ago. About a million years later the shoreline was  
12 there, and behind that shoreline it would have been  
13 deposited shore-face Fruitland Coals, and then  
14 progressively younger shorelines up until 73.37 million  
15 years ago. And again we see that that trend has maintained  
16 a northwest orientation throughout that time.

17 This is a diagrammatic cross-section, and it's an  
18 attempt to portray the coal swamp environment in which  
19 Fruitland-formation coalbeds were deposited. Here is the  
20 Lewis seaway to the northeast, Pictured Cliffs sandstone  
21 being deposited at the shoreline, and just behind the  
22 Pictured Cliffs is a band of coal swamps.

23 Rivers flowed to the sea from the southwest to  
24 the northeast, and they had to flow through the coal swamp  
25 area, thus dividing up individual -- what we have today as

1 individual coalbeds into pods of coal that were not  
2 continuous along the back shore of the shoreline.

3           So you can see these swamps -- this is a snapshot  
4 in time of where coalbeds were being deposited, and a  
5 hundred years later any one of these rivers could have  
6 migrated. This one, for example, could have migrated into  
7 this coal swamp and totally stopped the coal or peat  
8 production in that area, whereas this one, this coal swamp,  
9 could have expanded and coal could have continued to form.  
10 So it was a very erratic, sporadic process in which these  
11 coalbeds were formed.

12           I've showed you a stratigraphic cross-section  
13 which was hung on a datum, which is a cartoon; it's a  
14 construct in order to show relationships.

15           In order to show the true present-day structure  
16 of the Basin, geologists construct structure contour maps  
17 showing the structure of a geologic basin, and the depth  
18 increases going from southwest to northeast, and we're  
19 going to look at this cross-section in a minute to show you  
20 what the structure of the Basin looks like in profile.

21           I've put the fairway on here, since it's a matter  
22 of discussion. The fairway as I've drawn it is based on a  
23 map that I got from Brent Hale with Williams, and this map  
24 depicts the fairway as defined on the basis of a million  
25 cubic feet per day versus two million, which is what Steve

1 Hayden showed on his map. There isn't too much difference,  
2 actually, in the outline of the Basin.

3 If we look at that structural profile, then,  
4 along that line of section, we can see that the dip into  
5 the Basin from the southeast is quite gentle, it's less  
6 than one degree, .8 degrees. The Basin floor flattens out  
7 here. There's a structural nose in this area, which is up  
8 near Ignacio, Colorado, and then a relatively steep-dipping  
9 flank of the Basin to the north.

10 This upper cross-section has a vertical  
11 exaggeration of 24 times. Down below I've shown a one-to-  
12 one cross-section or profile to show the true attitude of  
13 these rocks. You simply can't show the relationships in a  
14 one-to-one profile, as you can see. So this vertical  
15 exaggeration is required to show that.

16 This is a typical bulk density log for Fruitland  
17 Coals in the San Juan Basin. The Pictured Cliffs  
18 sandstone-Fruitland formation contact is shown here. As  
19 you can see, the depth goes from 1250 to 1050, about 200  
20 feet.

21 This is typical of the Fruitland in that the  
22 coalbeds are almost always concentrated in the lowermost  
23 part of the Fruitland. In some areas it goes -- the coals  
24 will go up as high as 300 feet up above the Pictured  
25 Cliffs, but normally, this is quite typical.

1           This line here is the 1.75 grams per cubic  
2 centimeter density line. To put that in simple terms, that  
3 just represents coal that contains about 50 percent ash.  
4 And coal is defined as a layer of organic material that  
5 contains less than 50-percent ash. So I have used a cutoff  
6 of 1.75 grams per cubic centimeter.

7           I've shown the line for 1.3 grams per cubic  
8 centimeter. That represents pure coal with no ash. And  
9 you can see that none of these coals quite reach that.  
10 This one gets pretty close, this one actually gets over  
11 there, part of the coalbed. And the ash content of  
12 Fruitland Coal throughout the Basin averages 28 to 30  
13 percent.

14           The cumulative coal or the net coal in this  
15 particular well, you can see I've shown the thickness on  
16 the right side and added them up down below, and there's 37  
17 feet of net Fruitland Coal in this particular well.

18           The reason I'm taking some time to explain this  
19 is that the next map I'm going to show will be a net coal  
20 isopach map for the whole Basin, and each of the control  
21 points on that map will include all of the coal beds in  
22 each of the control points.

23           Here is that net coal isopach map. This map  
24 shows the thickness of Fruitland Coals throughout the  
25 entire San Juan Basin. The thicknesses in this area are

1 quite thin.

2           This pattern, the colors don't show up as well as  
3 I had hoped on this slide projector, but this pattern here  
4 represents coal that is 20 feet or less in thickness, the  
5 white is 20 to 40 feet thick. This kind of brown color is  
6 40 to 80 feet thick. And up here along the northwest rim  
7 of the Basin, mostly in Colorado, the net Fruitland Coal  
8 reaches a thickness of about 100 feet. In one well I'll  
9 show you in another illustration, there's 102 feet of coal.

10           But keep in mind that these thicknesses are  
11 represented by multiple coal beds at each control point.

12           To construct this map, I used about four density  
13 logs per township, as evenly distributed as I could, to  
14 draw the map. And again, the fairway is shown, and these  
15 are areas of wells that produce over a million a day. And  
16 as you can see, there are some spots of those outside the  
17 fairway proper.

18           Okay, we're next going to look at this  
19 stratigraphic cross-section that follows that line.

20           This stratigraphic cross-section shows -- as I  
21 showed before on the earlier illustration, it's hung on the  
22 Huerfanito Bentonite bed as a datum. It shows the  
23 stratigraphic rise of the Pictured Cliffs sandstone across  
24 the Basin, and it shows the geometry of the Fruitland Coal  
25 beds.

1           And at any given well point on here there are  
2 multiple coals, but they're almost always different coals.  
3 For example, there are two coals in that well log, and  
4 there are three in this one, and none of those correlate.

5           I've shown the fairway area on here for  
6 reference, and it's quite interesting. The northern  
7 boundary of the fairway coincides fairly well with the  
8 stratigraphic rise in the Pictured Cliffs. You can see the  
9 thick Fruitland Coals here that are not continuous. That  
10 space and time is occupied by the Pictured Cliffs there.

11           This line represents a reversal in the earth's  
12 paleomagnetic field. And the reason I show that is because  
13 it represents a time line, and we have dated that quite  
14 precisely at 73.5 million years ago. And what's of  
15 interest is that that time line parallels the Huerfanito  
16 marker bed absolutely.

17           The southern boundary of the fairway is much more  
18 interesting geologically, and puzzling. It's quite sharp,  
19 as we have seen in my previous depiction and in Steve  
20 Hayden's depiction. But interestingly enough, there are  
21 coal beds that seem to correlate across the southern  
22 boundary of the fairway in this small area.

23           But the major point of this slide show is to show  
24 the distribution, as my title indicated, of Fruitland Coal  
25 beds through time. As I said before, these coalbeds down

1 here are about two and a half million years older than the  
2 coalbeds up here in the northeast part of the Basin.

3 Keep in mind, now, when we're looking at a cross-  
4 section, that the shoreline trend was running at right  
5 angles to this cross-section. And so these coalbeds, as we  
6 look along the shoreline trend, would be also broken up as  
7 separate pods of coal, separated by the river systems that  
8 were cutting through the environment of deposition of the  
9 coals.

10 Okay, this is a blow-up of the northern part of  
11 that cross-section, so you can see a little better detail  
12 in the distribution of coals. And basically what we see is  
13 that individual coalbeds are extremely discontinuous. This  
14 is a very nice, thick coalbed, but it comes out into the  
15 Pictured Cliffs to the northeast, and it doesn't extend  
16 into this well. And this is typical.

17 Occasionally, we will find correlations over five  
18 or six miles, possible, but that's relatively rare in the  
19 Basin. The norm is more like this where coalbeds are  
20 really quite discontinuous.

21 This is a much larger scale -- in other words,  
22 the wells are much closer together -- cross-section. I  
23 actually drew this for a study of the coalbed methane gas  
24 seeps up south of Durango, Colorado, to show the geometry  
25 of the coalbeds up there, and it's from a previous

1 publication on those gas seeps. But these wells are on the  
2 average of about a mile to a mile and a half apart.  
3 They're quite close together.

4 This area here is near Carbon Junction where the  
5 Animas River cuts through the outcrop of the Fruitland  
6 formation near the north rim of the Basin, and you can see  
7 this coalbed is relatively continuous for two or three or  
8 four miles. These coalbeds are very limited in their  
9 extent, and a large coalbed here, and then this myriad of  
10 thin coalbeds in the upper part of the Fruitland that --  
11 many of which have no continuity beyond a single well in  
12 which they were found.

13 So the conclusion of my presentation is that  
14 Fruitland Coal beds are discontinuous almost everywhere in  
15 the San Juan Basin.

16 And that concludes my presentation. I'll just  
17 put this slide up, it gives my name and address and -- e-  
18 mail address and street address, in case anyone might want  
19 copies of the professional paper that this work was taken  
20 from.

21 And as I said, if you contact me, give me a card  
22 or whatever. I'll be happy to send you a copy of that  
23 publication.

24 And that concludes my talk.

25 EXAMINER STOGNER: Thank you, Mr. Fassett.



1 Q. And in a horizontal extent there is discontinuity  
2 between individual coal seams or members?

3 A. For the most part, that's correct. As I said,  
4 it's extremely unusual when coalbeds can be correlated for  
5 any great distance, beyond a couple of miles or so.

6 Q. When we have that type of geologic environment,  
7 the current rules for the pool allow two wells to a  
8 section?

9 A. Yes.

10 Q. Do you have a geologic opinion about whether that  
11 is enough wells per section?

12 A. It's not really a -- okay, I guess it is a  
13 geologic -- I'm not a petroleum engineer. This is what I'm  
14 trying to say.

15 Q. I'm not suggesting that you answer it in an  
16 engineering context --

17 A. Right.

18 Q. -- but geologically, if I'm trying to access  
19 multi-layers that are discontinuous, do I need more  
20 wellbores than I now have?

21 A. I would say so, yes.

22 Q. Is that true of the fairway coals as well as the  
23 non-fairway coals?

24 A. Yes, there's no difference in the continuity of  
25 the coals in the fairway or outside the fairway.

1 MR. KELLAHIN: Thank you, sir.

2 EXAMINER STOGNER: Mr. Hall?

3 MR. HALL: We have no questions, Mr. Examiner.

4 EXAMINER STOGNER: Mr. Carr?

5 MR. CARR: No questions.

6 EXAMINER STOGNER: Mr. Bruce, Mr. Dean?

7 MR. DEAN: I don't have any questions.

8 EXAMINATION

9 BY MR. BROOKS:

10 Q. Okay, I just had one. You are not appearing --  
11 Although you do consulting work still for the United States  
12 Geological Survey, you're not appearing here as a  
13 representative of the United States Geological Survey; is  
14 that correct?

15 A. Not formally, I guess you would say, although  
16 when I worked for the US Geological Survey I made similar  
17 presentations as an expert geologic witness.

18 Q. But being here and making this presentation here  
19 is not a function of your duties with the United States  
20 Geological survey?

21 A. Well, it is in part. You know, I'm a public  
22 servant and so, you know, the US Geological Survey, of  
23 course, encourages us to provide basic scientific evidence  
24 in any forum that's requested, so -- The US Geological  
25 Survey did not tell me to come here today.

1 Q. That was really what I wanted to clarify.

2 And were you instructed by any federal agency  
3 that they took a position in this case and wanted you to  
4 appear on their behalf?

5 A. Oh, definitely not.

6 Q. Very good.

7 EXAMINER STOGNER: Okay. With that, Mr. Fassett,  
8 you may be excused.

9 At this time let's take a ten-minute recess.

10 (Thereupon, a recess was taken at 10:40 a.m.)

11 (The following proceedings had at 11:30 a.m.)

12 EXAMINER STOGNER: This hearing will come to  
13 order.

14 Mr. Kellahin?

15 MR. KELLAHIN: Thank you, Mr. Stogner.

16 We'd like to present Mr. Steve Thibodeaux. Mr.  
17 Thibodeaux is a petroleum geologist with Burlington.

18 STEVEN M. THIBODEAUX,

19 the witness herein, after having been first duly sworn upon  
20 his oath, was examined and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. KELLAHIN:

23 Q. Mr. Thibodeaux, you've been sworn in as a witness  
24 this morning?

25 A. Yes, I have.

1 Q. On prior occasions, have you testified before the  
2 Division?

3 A. Yes, I have.

4 Q. In what capacity?

5 A. As a geologist for the coal team primarily.

6 Q. In what case did you testify?

7 A. I testified in the original pilot infill well  
8 approval case last May.

9 Q. In addition to testifying in the pilot infill  
10 project case, have you continued to be involved as a  
11 geologist on behalf of your company in the study of that  
12 project?

13 A. Yes, I have.

14 Q. You've continued to participate on the pilot  
15 project?

16 A. Yes, I have.

17 Q. Have you participated with the Industry-Division  
18 Study Committee?

19 A. Yes, I have.

20 Q. And based upon that work, do you now have  
21 conclusions and geologic opinions about what to do  
22 concerning the density of wells in what we characterize as  
23 the non-fairway?

24 A. I do.

25 MR. KELLAHIN: We tender Mr. Thibodeaux as an

1 expert geologist.

2 EXAMINER STOGNER: Any objections?

3 MR. CARR: No objection.

4 MR. HALL: No objections.

5 EXAMINER STOGNER: Mr. Thibodeaux is so  
6 qualified.

7 Mr. Thibodeaux, if you will project a little bit  
8 louder.

9 THE WITNESS: No problem.

10 EXAMINER STOGNER: Lean into the microphone so  
11 everybody can hear you.

12 Is he hard to hear at this point?

13 FROM THE FLOOR: Yes.

14 EXAMINER STOGNER: Be aware of that.

15 THE WITNESS: I'll speak up.

16 MR. KELLAHIN: Your microphone is not as loud as  
17 this one.

18 THE WITNESS: I'll just talk real loud.

19 EXAMINER STOGNER: Okay, please do.

20 Q. (By Mr. Kellahin) Mr. Thibodeaux, before we look  
21 at your presentation, let's go back to May of last year  
22 when you requested the Division, through Mr. Stogner, to  
23 allow for the five pilot project areas in the  
24 underpressured non-fairway coals. What was to be the  
25 purpose of that study?

1           A.    The primary purpose of that study was to  
2 determine whether or not we were getting communication  
3 through the various layers on existing 320-acre spacing  
4 wells and whether or not 160-acre spacing wells would be  
5 tapping new reserves geologically.

6           Q.    Why was it necessary to have five pilot project  
7 areas in addition to the known data about those areas?

8           A.    Two reasons, really.  The reason we had five was  
9 that we wanted to capture as much geologic diversity as we  
10 could across the area, just so that we could properly  
11 characterize the underpressured portion of the field.

12                   And secondly, the kind of data that we were  
13 collecting in our pilot wells did not exist prior to our  
14 pilot program.  And specifically, we're talking about layer  
15 pressure and geologic data.

16           Q.    Has that data been obtained at this point?

17           A.    Yes, it has.

18           Q.    Are you satisfied that you have enough geologic  
19 data from which to derive reasonable geologic conclusions?

20           A.    Yes, we do.

21           Q.    Let's get to the conclusions.  What is the end  
22 result of all your study and all your science?  What are  
23 you going to tell us?

24           A.    The end result is that we believe that 160-acre  
25 infill development wells are justified.

1           Q.    Let's turn to your presentation.  Let's go to the  
2 summary slide.

3                    You've taken your conclusions of more wells and  
4 subdivided that into topics or areas for us to review that  
5 support your ultimate conclusion.  Let's look at those  
6 subdivisions.  Summarize for us each of those.

7           A.    Sure.  The first part would be a general  
8 geological overview of the Basin and how this ties to our  
9 pilot areas and underpressured area of the coal.  Some of  
10 the parts are similar to what we've seen earlier by Mr.  
11 Fassett, and some of them are slightly different.

12                   First, we'd like to point out that structure has  
13 a minimal impact in an underpressured area.  We're dealing  
14 in a relatively noncomplex area structurally, so that it  
15 has very little impact on production characteristics of the  
16 coal.

17                   We were able to identify internally to Burlington  
18 nine coal packages that we identified and mapped throughout  
19 the entire Basin.

20                   I know that earlier we heard from Mr. Fassett  
21 that some of these coals were noncorrelatable across very  
22 short distances.  We've elected to lump several coal  
23 members into a single package of which we were able to map  
24 and identify across the whole Basin, so it's a slightly  
25 different approach.

1           The major coal packages were correlatable, and we  
2 did when we mapped these things were able to identify what  
3 we've seen as modern-day analogs of the same peat  
4 deposition that occurred during Fruitland time.

5           Q.    Am I correct in remembering that Mr. Fassett's  
6 mapping was based upon a well density of two wells per  
7 township?

8           A.    He had four wells per township.

9           Q.    Four wells per township.

10          A.    And we opted to go for about two wells per  
11 section.

12          Q.    Okay. Based upon that increased use of  
13 additional data, you can still subdivide the coals like Mr.  
14 Fassett did?

15          A.    Absolutely.

16          Q.    Do you find that those coal packages are  
17 unconnected one from another vertically?

18          A.    Their connections differ from place to place.  
19 But yes, they are discrete vertical packages of coal.

20          Q.    And to what extent can you correlate these  
21 packages of coal intervals across the Basin?

22          A.    Throughout the entire time that coal was being  
23 deposited we're able to correlate those coals across the  
24 Basin, those coal packages.

25          Q.    And you've done that?

1 A. Yes, I have.

2 Q. Okay. What's the next summary?

3 A. Finally is that within the coal packages, each  
4 coal package is made up of individual coal beds, and there  
5 are many discontinuities in those coal beds and then in the  
6 packages themselves as they were disrupted by fluvial  
7 systems, as Mr. Fassett showed earlier.

8 Q. Do you agree with his geologic conclusion that  
9 you cannot separate out the fairway from the non-fairway  
10 tracts and have a significant geologic difference,  
11 discontinuity in vertical separations?

12 A. Yes, you have discontinuity in vertical  
13 separation in both the fairway and underpressured coals,  
14 non-fairway coals.

15 Q. Can you give us -- and perhaps we'll use one of  
16 the maps in a minute to give us the illustration of how the  
17 areas might be different, using different factors and what  
18 those factors are?

19 A. Certainly. The next map, the second overlay  
20 we'll be able to discuss that.

21 Q. All right, please continue.

22 A. The first display I have actually is a structural  
23 map. This is a map on the Pictured Cliffs sandstone which  
24 we've discussed earlier, which lies directly below the  
25 Fruitland Coal. It's a hundred-foot contour subsea

1 structure.

2 And what it shows is that on this map in red,  
3 along the top border, is a Fruitland Coal outcrop. The  
4 dark red line in the middle is Burlington's interpretation  
5 of the original overpressured and underpressured part of  
6 the coal.

7 The five squares are the five 16-section pilot  
8 areas within each of which we drilled our pilot well: The  
9 Davis up there in 31 and 10 -- 31 and 12, excuse me; the  
10 Turner Federal in 30 and 10; the San Juan 28-and-6 pilot  
11 well in 28-and-6; the 28-and-5 pilot well in 28-and-5; and  
12 finally the Huerfano well down at 27-and-10.

13 As you can see, our five pilot wells are all  
14 outside of the original overpressured boundary, and they're  
15 all on this gently dipping Chaco slope without a lot of  
16 structural influence.

17 Overlaid on top of this, I've put a rate map, a  
18 daily rate map from July of 2001. And the basic  
19 explanation is that all the colors in blue are less than  
20 500 million a day, 500 MCF a day, 500,000 cubic feet a day.  
21 The green colors are from 500,000 to a million, and red is  
22 a million a day and greater.

23 And you can see that all five of our pilot wells  
24 are in the areas where we have relatively low production  
25 compared to the fairway.

1           Some of the differences that Mr. Kellahin had  
2 asked me about earlier are not quite evident on this map,  
3 but the coals within the overpressured boundary are of  
4 higher range, they generally have higher CO<sub>2</sub> percentages of  
5 gas, they have more cumulative water and more cumulative  
6 gas production and more gas in place.

7           Q.    How did we turn up with the label overpressure/  
8 underpressure?  Where did that come from?

9           A.    Actually, what we're talking about is a normal  
10 pressure gradient of fresh water, which is about .433  
11 p.s.i. per foot of depth.  And so basically the coals  
12 inside the overpressured envelope -- the original  
13 overpressured envelope, I should say -- had a pressure  
14 gradient greater than .433 p.s.i. per foot, and outside  
15 there was less.

16          Q.    Do you have a type log, Mr. Thibodeaux, so we can  
17 see how you as a geologist have vertically separated these  
18 coal packages?

19          A.    Certainly.  My next display is a type log.  This  
20 is where we started internally.  Our original segregation  
21 of the coal package is identification up in 32-11 in  
22 Colorado.  We'll start on the bottom.

23                   The Pictured Cliffs sandstone is directly below  
24 the bottom coals.  The next three coals in sequence from  
25 bottom to top are Brown 3, Brown 2 and Brown 1.  These are

1 commonly known as the Basin coals throughout the Basin.  
2 That's separated just on top of that by a tonstein or one  
3 of the volcanic ash layers that Mr. Fassett referred to  
4 earlier. This tonstein is prevalent throughout the entire  
5 Basin; it's used as a correlation marker.

6 Above that we have the Green 3, Green 2, Green 1,  
7 P2 and P1 coals. These coals are commonly referred to as  
8 the middle sequence of coals in this Basin. Also within  
9 this sequence is another tonstein, the T2, which we found  
10 to be prevalent and recognizable throughout a large portion  
11 of the Basin.

12 And then finally above that are the Blue coals.  
13 You'll notice the Blue coals show two discrete coals. In  
14 some places they are very thick, in some places they are  
15 very thin. They are a grouping of a number of different  
16 coalbeds, as are basically each of these packages that  
17 we've identified.

18 Q. Do you have a schematic that would show how this  
19 cross-section is distributed across the Basin?

20 A. Sure, my next display is a schematic of the coals  
21 as we've labeled them.

22 As you can see, the Pictured Cliffs directly  
23 below the basal sequence of coals right in the middle of  
24 the schematic, more or less, is on the New Mexico-Colorado  
25 border. You can see as we go southwest in the updip

1 direction or the landward deposition side, our basal coals  
2 are all present. They begin to pinch out to the northeast  
3 as a Pictured Cliffs sandstone.

4 We had a minor transgressive event when the  
5 Pictured Cliffs came back in and pinched out a number of  
6 the middle coals.

7 And then finally as we get older in the section,  
8 or younger in the section and up, we can see that coals are  
9 beginning to form that follow the Pictured Cliffs  
10 transgression all the way out of the Basin and are more  
11 prevalent in Colorado than in New Mexico.

12 Q. When we get to the isopachs that you have  
13 prepared of the coal, are they lumped together in groups,  
14 or do you have individual isopachs in the Basin that cover  
15 all these subdivisions?

16 A. We've identified the nine major packages that we  
17 have isolated in isopachs separately as a coal package unto  
18 itself, and those are the -- these coals on the left-hand  
19 side of the schematic from Blue all the way down to Brown  
20 3.

21 Primarily we did not include the one labeled Y  
22 for yellow and the one labeled O for orange because those  
23 are more prevalent in Colorado than they are in New Mexico.  
24 They're considerably younger and had very little influence  
25 over the primary production we're interested in, in New

1 Mexico.

2 Q. Let me see if I understand your methodology. You  
3 have constructed individual isopachs for each of these nine  
4 coal packages?

5 A. Yes, I have.

6 Q. And what then did you do with each of the nine?

7 A. Each of the nine isopachs we've studied  
8 independently for density characteristics, gas-content  
9 characteristics. We looked at potential differences in  
10 isotherms, the way they were grouped together, so that we  
11 would have a better understanding of the coal, the  
12 Fruitland formation as a whole.

13 We found that we were probably more accurate in  
14 our gas-in-place mapping and our characterization of the  
15 reservoir when we looked at each group individually and  
16 added the groups up totally to look at the Fruitland Coal  
17 as a whole.

18 Q. As part of Burlington's team, are you working  
19 with reservoir engineers to study the coal?

20 A. Yes, I am.

21 Q. In order for the reservoir engineer to do his  
22 volumetric calculations of the original gas in place, how  
23 do you aid him as a geologist to make that calculation?

24 A. We use some data from our pilot wells that Chris  
25 developed in relationship -- Chris is my reservoir

1 engineer; he'll be appearing after me -- our relationship  
2 between density of the coal and gas content of the coal,  
3 and we did that by layer for each of the layers.

4 We would then take those relationships and I  
5 would supply Chris with the actual density measurements on  
6 those coals from all the control points that we had, as  
7 well as the individual thicknesses of each one of those  
8 wells. And then we added all of that up together to make  
9 one total original gas in place using all of the beds  
10 combined.

11 Q. So when we get to it, we're going to see the  
12 individual isopachs, and then we're going to see a map that  
13 sums those isopachs so that he now knows the total  
14 thickness on which to run his calculations for gas in  
15 place?

16 A. Actually, we ran gas-in-place calculations for  
17 each of the individual beds and then summed them all up  
18 together into one.

19 Q. Okay. Before we get to that point, have you  
20 examined further the structure and the arrangement of these  
21 coal layers?

22 A. Sure, we've looked at that in great detail,  
23 especially in the 16-section areas around each of our pilot  
24 wells.

25 Q. Well, let's start doing some of that now. Let's

1 turn to the display that shows the area and identifies the  
2 pilot projects.

3 Give us a second and help us get oriented as to  
4 what we're seeing.

5 A. Sure, you bet. This is a locator map. It just  
6 shows where I have regional strike and a dip cross-section.  
7 My strike cross-section runs from 32 North, 13 West, to the  
8 southeast down to 26 North and 4 West. My dip cross-  
9 section runs from the southwest in 27 North, 13, up to the  
10 northeast of 13 North and 8 West.

11 My strike section runs primarily through most of  
12 my pilot areas.

13 I have Farmington located up here. Let's see,  
14 that would be about 29-13, in the northeast corner of 29-  
15 13.

16 And then I have my five pilot areas, and I'll  
17 give you a description of each one of those in more detail  
18 later. But basically the Davis pilot area was in 31-and-  
19 12, the Turner Federal in 30-and-10, the 28-and-5 in 28-  
20 and-5, the 28-and-6 lives in 28-and-6, and the Huerfano in  
21 27-and-10, in the next -- Colorado border.

22 Q. What's the purpose of the strike-orientation  
23 cross-section?

24 A. As a general rule, the coals are a little bit  
25 more correlatable in the strike sense, as Mr. Fassett

1 implied earlier.

2           As the shoreline moved to the northeast, some  
3 coals were forming, and then as the shoreline moved again a  
4 different batch of coals formed. And so what we have is,  
5 along the strike section most of the coals are developed,  
6 and along the dip section we see the coals starting to lap  
7 onto each other as they get progressively younger.

8           Q. Do you have copies of these cross-sections?

9           A. Yes, they're my next two exhibits.

10          Q. Let's look at those.

11          A. First, we'll look at the Fruitland strike  
12 section. Again, the things I really want to point out on  
13 this are that these my nine coal packages that we've  
14 identified across the Basin. I was able to successfully  
15 correlate these across this entire strike section.

16          Q. What you're identifying are the horizontal lines  
17 on the display?

18          A. Yes, I have nine horizontal color-coded lines for  
19 each one of the coals. It's a little bit hard to read, I'm  
20 sorry about that, but the scale prevented me from making  
21 them any larger.

22                 And so we're able to successfully correlate these  
23 across. We have the use of the red dashed line in the  
24 middle as the T2 tonstein, an excellent marker, and along  
25 the bottom we have the T1 tonstein, also an excellent

1 stratigraphic marker. And the datum for this cross-section  
2 was the base of the basal coals, the PC lies directly below  
3 it.

4 Q. What are the principal geologic conclusions from  
5 looking at this strike section?

6 A. Principally that we're able to correlate the coal  
7 packages themselves across a very large area.

8 And secondly what I would like to point out is  
9 that these coal packages associate with each other  
10 differently. If we'll notice, across the well on the far  
11 left of this cross-section, you can see that these coal  
12 packages right here have split apart, and the next well to  
13 the right by maybe 50 feet. The top coal is now associated  
14 with some coals above it. The lower coal is now associated  
15 with coals below it.

16 This association of coals is very characteristic  
17 of what we see across the Basin where sometimes you can  
18 lump two or three packages together as one, and then in  
19 another well you have to lump several different packages  
20 together as a completely different layer.

21 Q. Let's look at the cross-section that demonstrates  
22 the other orientation.

23 A. This is the dip cross-section, which runs from  
24 the southwest to the northeast.

25 And as you can see where we started in the

1 southwest, we only have representation of the three basal  
2 coals, or the three oldest. We do have the tonstein, the  
3 T1 and the T2 tonstein present, which we used for markers.

4 And as we go farther to the northeast and follow  
5 the steady retreat of the Cretaceous shoreline, we begin to  
6 develop all the rest of the packages that we have been able  
7 to map across the Basin.

8 And again, you can see these coals associated  
9 with each other in different groupings, depending on where  
10 you are in the Basin.

11 Q. Can you give us an illustration of the geologic  
12 setting or depositional environment that causes this to  
13 occur?

14 A. Sure, my next slide will show a particular map  
15 that we developed that I enjoy. This is called the T1  
16 subcrop map.

17 Basically, T1 is the tonstein. And the little  
18 type log in the bottom left of this slide with the red line  
19 right through it, that is the volcanic ash marker that lies  
20 just above the basal coal section.

21 Now, that represents an instantaneous moment in  
22 time. What we've done is, we've taken that ash bed and  
23 mapped what it was lying on at the time it was deposited.  
24 If it was lying on a coal, we labeled that brown on our  
25 map. If it was on a clastic such as a shale or a

1 sandstone, we colored it yellow. If it was absent  
2 completely from the section, we assumed it was washed away  
3 by water and colored that blue.

4 And then we further interpreted to where our land  
5 sediments turned into marine deposits, based on the  
6 wireline log responses and developed our shoreline.

7 And what we have in essence is, if we had taken a  
8 plane and flown over the Fruitland Coal 75 million years  
9 ago and mapped or taken a picture of what it looked like  
10 just prior to the volcano blowing up, this is what we would  
11 have seen. We would have seen this nice little shoreline  
12 transected by all these rivers feeding the Cretaceous sea,  
13 and then in between these rivers the swamps and floodplains  
14 and things that were developing vegetation with coal plains  
15 on them.

16 And we further -- I took this and I rotated it  
17 about 90 degrees, so the shoreline is actually rotated  
18 northwest-southeast, so that it would coincide with a  
19 picture I have of a modern peat-forming environment in  
20 Indonesia, the Mahakam delta.

21 And other than the shoreline differences where we  
22 have a straight shoreline and a lobate shoreline, you can  
23 see remarkable similarities between what we've mapped in  
24 our geologic depositional setting to the left in the  
25 Fruitland, and what's going on currently in the Mahakam

1 delta in Indonesia. We can see the same river systems  
2 bisecting these different coal-forming areas or peat-  
3 forming areas.

4 And one other thing I'd like to point out is that  
5 if this was buried and several million years from now it  
6 turned into a coal forest, we see that this same coal near  
7 the shoreline, this is made up of different plant material  
8 than the coal made up in here, than the coal made up in  
9 these hardwood forests up here.

10 And so the same coal would have different  
11 characteristics or qualities, basically, of ash content and  
12 vitrinite reflectance than -- depending on where it was in  
13 this depositional setting. And we've used this to our  
14 advantage in trying to understand the variances in coal  
15 quality throughout the Basin.

16 Q. Let's turn to the next slide.

17 A. And finally, this is just one cross-section. We  
18 do have a cross-section for each of the pilot areas. We  
19 only felt it was necessary to show one to illustrate our  
20 point.

21 This is a strike section from the northwest  
22 corner of the Davis area to the southeast corner. It  
23 starts in 32 North and 12 West, runs through the Davis well  
24 in Section 12, 31-and-12, and then ends up in northeast 17,  
25 31-11, in the southeast.

1           And mainly what we wanted to show is, this is how  
2 we grouped our coals for this individual well -- they  
3 change from every well -- is that we had the P2 and G1  
4 coals grouped into one layer, the G2 coal as a second  
5 layer, the G3 and B1 as a third, and finally that lower B1  
6 and the other -- B2 and B3 coals is the 4th layer.

7           And you can see that even in this relatively  
8 short cross-section of only a few miles, the changing  
9 character of these coals. In particular, I'd like to point  
10 out the basal coal in southeast, or on the right, which is  
11 very thick and well developed.

12           And as we move to the northwest or to the left of  
13 this slide, we'll see this coal thin and split. Although  
14 these are the same coal packages, all formed during pretty  
15 much the same time, we see some fairly remarkable  
16 discontinuities and changes in the character of these  
17 coals.

18           And this was typical of all the infill areas that  
19 we looked at.

20           Q. From a geologic perspective, how would you go  
21 about deciding the density of your wells in a section to  
22 access multi layers of coal that had this type of  
23 discontinuity associated with it? How do you find what to  
24 do with your wells and what density do you try to achieve?

25           A. Actually, we went through every wireline log we

1 could find in every section and looked for wells where we  
2 had a good wireline data, basically good row B and good  
3 gamma-ray data, which is identify coals from non-coal  
4 formations. And so if we found two per section, we figured  
5 that we had a good enough control.

6 Sometimes we had three and four per section,  
7 where we had some doubts about the quality of our wireline  
8 data. Some sections we had no data at all of good wireline  
9 quality. So basically the data itself dictated how much we  
10 could actually get per section.

11 Q. When we look at the Davis infill area strike  
12 section, are the conclusions here applicable to the other  
13 four pilot areas?

14 A. Absolutely.

15 Q. Do we see a vertical discontinuity of these  
16 different layers?

17 A. We see vertical discontinuities, differences in  
18 the vertical grouping and separation between these layers,  
19 as well as lateral discontinuities and differences in the  
20 lateral continuities of each of the coalbeds.

21 Q. Have you sampled enough different combinations in  
22 the non-fairway coals to give you illustrations of the  
23 different variables available?

24 A. We believe we have sampled a wide variety of  
25 geological combinations, of both lateral and vertical

1 heterogeneity in these coals, and we believe that that is  
2 directly transferable to the vast majority of the  
3 underpressured area.

4 Q. All right, sir, let's turn to Exhibit Tab 5 and  
5 let's look at the summaries that you have for each of the  
6 five pilot areas.

7 A. Sure. What we'll do is, we'll talk about the  
8 five pilot areas and how they relate to the packages that  
9 we've been able to map, and how that relates to original  
10 gas in place.

11 One of the things that we wanted to do was, we  
12 tried to get good representation of all the major coal  
13 packages, and we want to locate these in areas of high,  
14 medium and low production areas.

15 In other words, if we had the same coals in all  
16 of our wells, we wanted some wells that had those same  
17 coals that didn't produce very much, some that produced a  
18 pretty good amount of gas, and some that some that produced  
19 a -- prolific for basically underpressured coals. We  
20 picked those locations accordingly. Each well within those  
21 locations had a unique grouping of those coal packages as  
22 they float around in the section.

23 And then finally, we used the data from all those  
24 individual layers, as we discussed earlier, to develop what  
25 was the end result of this, was original-gas-in-place map,

1 so that Chris could begin using the data that he got from  
2 our pilot infill wells to extrapolate that throughout the  
3 rest of the Basin to determine the effectiveness of 320-  
4 versus 160-acre wells.

5 Q. Can you now go through the various building  
6 blocks to get us to the conclusion map that shows us the  
7 gas-in-place --

8 A. Sure.

9 Q. -- calculation? Let's do that.

10 A. This slide is basically what we've already talked  
11 about. This is the location, the actual physical location,  
12 of the five pilot wells. Around each of those we drew a  
13 16-section area which we studied in great detail. And then  
14 Chris used that data, geological data and other data, to  
15 input into the simulations and models.

16 This is a cumulative production map. You can see  
17 a similar map from Mr. Hayden earlier. The colors are a  
18 little bit different. Basically, the blue are -- anything  
19 in blue, the wells have accumulated less than .5 BCF. The  
20 greens are half a B to a B. Red is 1 to 7 B's, and yellow  
21 is greater than 7 BCF cumulative production to date.

22 Again, on all these slides I'll have the five  
23 pilot areas marked. I've located Farmington again for your  
24 reference. And the blue outline is the outline for the 90  
25 or so townships that we were able to acquire digital

1 wireline data on and map. And so that blue outline is  
2 basically the basis of all the data for the maps that  
3 you'll be seeing next.

4 All these are similar, all the maps I'm going to  
5 show you are similar in design. They're all isopach  
6 thickness of the nine coal layers or coal packages that we  
7 mapped across the Basin. They're all in the same contour  
8 interval of 5 feet. On the left of each one of these maps  
9 you'll see a type log, and circled in a red box will be the  
10 coal layer that this isopach map represents.

11 The New Mexico-Colorado state line is in there  
12 for reference, as well as the five 16-section pilot areas  
13 that we looked at in detail.

14 The first one -- We'll start with the oldest  
15 coals and work our way up.

16 The first is a Brown 3 thickness isopach. At  
17 this point in time, the shoreline -- and I can't describe  
18 this without reference -- was out here. And I know that  
19 "out here" doesn't translate well. The shoreline was  
20 several dozen miles, basically, past the thickness of these  
21 coals. These coals hadn't developed vegetative cover yet,  
22 the land was too new. And so this is the very earliest,  
23 first formation of Fruitland Coals we've seen in the Basin.

24 Brown 2, the next coal up, we can see a nice  
25 stable shoreline here during Brown 2 formation. We had --

1 This again represents multiple coal- -- individual coalbeds  
2 that were formed during Brown 2 time. And we can see that  
3 we had a nice stable shoreline and a very stable  
4 depositional environment. We had good representation of  
5 this coal throughout most of the Basin, or these coal  
6 packages, and all five of our pilot infill wells are  
7 represented with a Brown 2 coal.

8 We'll move up to the last of the basal coals, the  
9 Brown 1. We can see again the shoreline orientation has  
10 not changed, it has prograded just a little bit farther to  
11 the northeast. The thin white spots are actually  
12 development of new fluvial systems that are now bisecting  
13 these coal pods.

14 What I'd like to point out in this slide in  
15 particular is that although these coal packages are  
16 correlatable throughout the entire Basin, individual coal  
17 beds and within the package itself, there exist significant  
18 discontinuities. There's a thin running right through the  
19 Davis area, there's another thin running just northwest of  
20 the Turner Federal area where river systems were bisecting  
21 these coal-forming swamps that we see in the darker brown  
22 where we had not very much disruption.

23 Now, we'll jump above the T1 tonstein and get to  
24 the first of the middle coals, what are commonly called  
25 middle coals, or the Green 3. Again, we can see the same

1 thing, the shoreline orientation is the same, it maybe has  
2 moved a couple miles farther to the northeast. We see down  
3 in the southeast portion of this, the 28-and-6 and 28-and-5  
4 areas, we had a good stable development of vegetative cover  
5 that turned into coal. In the northwest these coals  
6 probably had not quite as stable of an environment; we  
7 never did develop a very thick amount of those up there.

8 We'll move further up the section to the Green 2  
9 coal, and one thing in particular I'd like to point out was  
10 that little fluvial system that was developing earlier has  
11 now become a pretty major river system that has cut this  
12 coal pod completely in half. We also see down just north  
13 and right through the 28-and-6 area, another little river  
14 system begin to develop. But this system pretty much  
15 disrupted any plant or vegetative development for all of  
16 Green 2 time.

17 We'll move up to the final of the G coals, the  
18 Green 1 thickness isopach. Again, primarily what I'd like  
19 to point out is, the shoreline has remained relatively  
20 stable in this position. We can still see the influence of  
21 the river system in the northwest and the river system in  
22 the southeast that has bisected this coal, and we see  
23 numerous isolation points between these individual coal  
24 pads in the lateral sense.

25 We're now moving up into the upper middle coals,

1 so this is P2. This is a very well developed coal that's  
2 easily recognizable. It's made up of two or three beds  
3 that can be correlated off and on throughout most of the  
4 Basin. But even during this point of very stable peat  
5 deposition we can see this river system was still quite  
6 active in here, and basically preventing the deposition of  
7 any peat or coal formation later in time.

8           Finally, the last of the upper middle coals will  
9 be the P1 coal thickness. One thing I'd like to point out,  
10 the shoreline has prograded quite a few miles now to the  
11 northeast, the river system that was so prominent  
12 throughout there, through many of the coals that we looked  
13 at earlier is now almost gone. We can see the traces of  
14 some other river systems winding their way through this, as  
15 we had intermittent fluvial systems develop and then move.  
16 And now what we can begin to see in the southwest of this  
17 map, in the lower left hand corner, is dry land encroaching  
18 behind the coal-forming swamps that formed up close to the  
19 Cretaceous sea line.

20           And finally -- and this is the last coal package  
21 we'll look at, an isopach by itself -- these are the Blue  
22 coals. These are made up of a number of individual coal  
23 beds that were too difficult to break into individual  
24 packages. We lumped a large group of them together. At  
25 this point in time what I'd like to point out is that the

1 shore line has migrated certainly outside of my mapped  
2 area, and probably outside the Basin at this point in that  
3 we see a lot of dry land encroaching where we had no more  
4 swamp development updip and to the landward side of this  
5 map. Even in this map, although we don't have the  
6 prominent fluvial systems that we had earlier, we can see  
7 the thins that run and bisect this coal from one end to the  
8 other, from the land side all the way to the sea where we  
9 had intermittent fluvial development.

10 So if you add all those up together, all those  
11 layers together, what we have is a total thickness isopach.

12 And one thing I'd like to point out on the  
13 isopach is that you can see the prominent thin that we  
14 discussed earlier. That is a direct result of that fluvial  
15 system that was active for so much of the time, that many  
16 of the coal packages we've identified were deposited and  
17 laid down.

18 We can see, if we use our imagination, a nice  
19 delta formation right here. This was a fairly stable delta  
20 platform where the coals were developed. It looks very  
21 much like the Mahakam delta we looked at earlier. It shows  
22 us that we we're probably on the right track as far as  
23 interpreting the depositional environment for these coals.

24 And we can also see the line right -- that runs  
25 from the northwest to the southeast and bisects the

1 Colorado border. This is the place where the Pictured  
2 Cliffs shoreline had stalled for quite some time, allowing  
3 for these nice swamp developments updip and landward.

4 So we take all that information and all the data  
5 from all those isopach'd layers and density-versus-gas-  
6 content relationships that Chris developed using data from  
7 our pilot wells, and we're able to finally come up with a  
8 Fruitland Coal original-gas-in-place map.

9 The colors are fairly easy. The blue is 0 to 5  
10 BCF per 320-acre spacing, the greens are 5 to 10 BCF, and  
11 the reds are greater than 10 BCF per 320-acre spacing.

12 Now, this is primarily influenced by several  
13 factors. One, thickness of the coal, of course. Two,  
14 depth and/or pressure of the coal. The higher the  
15 pressure, the higher storage capacity that these coals  
16 have. And finally by rank. The higher rank of the coal,  
17 the greater ability that coal had to both generate and  
18 store gas later in time.

19 And so the overpressured battery that we see in  
20 red also fairly closely parallels a jump in rank or the  
21 coalification of the coal from about .78 vitrinite  
22 reflectance on greater. So therefore we can see very  
23 evidently and clearly that the coals in the fairway area  
24 that we discussed earlier have a much higher gas content.

25 The coals in the 28-and-6 and 28-and-5 area show

1 a fairly good gas content, primarily because there was very  
2 good development. We looked at that stable peak forming  
3 platform earlier. And also this is the deepest part of the  
4 Basin, so they have more pressure and more thickness of the  
5 coals there, and therefore they have a higher original gas  
6 in place.

7 As we move updip to the Huerfano area the coals  
8 are thinning, they're a lot shallower, and therefore our  
9 gas-in-place numbers are starting to decrease.

10 So finally, I have a conclusion slide, and this  
11 is quick.

12 There are significant discontinuities in the  
13 major coal packages. The major coal packages, each and  
14 every one, had discontinuities, primarily because of  
15 fluvial systems that disrupted peat formation.

16 The coal quality displays vertical and lateral  
17 heterogeneity. In other words, if it was near a river and  
18 that river flooded periodically, it dumped a lot of stuff  
19 into that peat, which then turned into what we call ash in  
20 the coals.

21 The coals that are farther away from those rivers  
22 or farther away from the shore had less disruption of the  
23 plants that were growing there, that turned into peat, that  
24 turned into coal. And these are generally a little  
25 cleaner, so there's a lot of that going on.



1 Q. And at this point is it known how many locations  
2 in the Fruitland Coal that Burlington proposes to drill?

3 A. That number hasn't been set yet. We haven't  
4 submitted our budget, but we have a rough idea.

5 Q. And what is that?

6 A. Around 150 wells, I'm pretty sure.

7 MR. HALL: All right, thank you.

8 EXAMINER STOGNER: Mr. Hall.

9 Mr. Carr?

10 MR. CARR: No questions.

11 EXAMINER STOGNER: Mr. Bruce, Mr. Dean?

12 MR. DEAN: I have no questions.

13 EXAMINATION

14 BY EXAMINER STOGNER:

15 Q. In referring to the cross-sections and the  
16 depiction of the different deltas over time, there's a  
17 substantial distance between the lower Green and that upper  
18 Green. Let me see, I'm not using the right terminology.  
19 Let me switch over here to -- If you had the G3 and the G2,  
20 there's a substantial thickness there. What was this made  
21 of, and what happened at that depositional time?

22 A. Well, primarily the reason that we picked G3  
23 is -- G3 instead of another brown, is because of that  
24 tonstein that separates the G3 from the brown coals. And  
25 it was just a matter of schematics, Mr. Examiner. We could

1 as easily have lumped that in with the basal because it's  
2 most often associated with the basal section.

3 In between that time what you have was a series  
4 of -- a period of time where primarily clastic deposition  
5 was going on. There wasn't a lot vegetative matter, or if  
6 there was, it wasn't being preserved as peat so that it  
7 could later form into coal.

8 Q. So there wasn't a change in sea level at that  
9 time?

10 A. There was one, and it occurs -- it was a  
11 relatively -- a fairly major transgressive event, and it  
12 occurred right after G3 time.

13 If you look on the schematic cross-section, which  
14 was about the third slide I showed, I believe, you can see  
15 that orange tongue of upper Pictured Cliffs sandstone  
16 coming in from the right. It lies right on top of the G3  
17 coal. And basically what happened was, that didn't extend  
18 much farther south than, say, 29 North, give or take. But  
19 that disrupted the coal-forming environment quite  
20 considerably.

21 Q. What happened to the disturbance between the top  
22 of the P1 to the bottom of the lower Blue coal?

23 A. That was basically, in my opinion, at least, it  
24 looked to me like after P1 the shoreline made a major  
25 regressive move. For quite a number of years it was

1 stalled, more or less, in about a 15- or 20-mile-wide belt  
2 where it moved back and forth within that 20 miles but did  
3 not -- there's a period of time when the transgression --  
4 or regression, the retreat of the Cretaceous sea -- it  
5 stalled for out quite a number of time, and then after P1  
6 deposition it looks like it just took off again to the  
7 northeast.

8           And if you remember between the P1 shoreline, the  
9 Blue shoreline had already moved all the way out of the  
10 Basin at that point in time.

11           Q.   Mr. Thibodeaux, were you involved in the hearing  
12 in which the five infill areas were chosen at the time by  
13 Burlington?

14           A.   Yes, sir, I was.

15           EXAMINER STOGNER:   And that was in August of  
16 2000; is that correct, Mr. Kellahin?

17           MR. KELLAHIN:   I thought it was May --

18           THE WITNESS:   I believe it was May --

19           MR. KELLAHIN:   -- of last year.

20           THE WITNESS:   -- of last year.

21           EXAMINER STOGNER:   May.   Okay, because I want to  
22 make administrative notice.   Was that Order Number R-  
23 11,639?

24           MR. KELLAHIN:   Yes, sir.   Here's a copy of that  
25 order.

1           EXAMINER STOGNER: Okay, I'll take administrative  
2 notice of Case Number 12,651, which resulted in the  
3 issuance of Order Number R-11,639.

4           Q. (By Examiner Stogner) My question is, were you  
5 expecting to find what you found, that you're presenting  
6 today, or any surprises? What were you expecting at the  
7 time?

8           A. We already mapped these same nine layers --  
9 actually, we had mapped eleven of them -- for an area that  
10 didn't quite extend -- it barely extended past the fairway  
11 coals. And so we picked up another 60 or 70 townships of  
12 digital data and began mapping that.

13           So I had already had a pretty good idea of what  
14 the geometry of these coals were and the depositional  
15 environment. There were not a lot of surprises. Actually,  
16 the new data we tacked onto the southwest to cover the  
17 underpressured portion of the field fit very nicely with  
18 the data we have previously mapped to the north and  
19 northeast.

20           Some of the only surprises that we may have seen  
21 were the high degree of noncommunication between these 320-  
22 acre wells. As we had stated in the original hearing for  
23 the pilot infill, when Chris Clarkson had originally  
24 simulated the 28-and-6 area, we were doing single-well  
25 pressures. And most of the wells in the 28-and-6 area

1 showed more or less the same bottomhole pressure when all  
2 the zones are open.

3 And then when we finally had the opportunity to  
4 test these things by layer, what surprised us was that  
5 there was such a variation in degree of communication  
6 between these various layers.

7 And that was maybe the only real eye-opener for  
8 me, was the high degree of noncommunication some of these  
9 layers had on existing wellpads.

10 EXAMINER STOGNER: I don't have any other  
11 questions of Mr. Thibodeaux.

12 Any other questions?

13 MR. KELLAHIN: No, sir.

14 EXAMINER STOGNER: You may be excused. Thank  
15 you, Mr. Thibodeaux.

16 THE WITNESS: Thanks.

17 EXAMINER STOGNER: Mr. Kellahin?

18 MR. KELLAHIN: Mr. Stogner, Mr. Clarkson's  
19 testimony exceeds an hour. You may want an early lunch.  
20 We're 15 minutes short of noon. If we start his  
21 presentation it will extend through the next hour or so.

22 (Off the record)

23 EXAMINER STOGNER: We'll recess for lunch at this  
24 time and reconvene at one o'clock.

25 (Thereupon, noon recess was taken at 11:48 a.m.)

1 (The following proceedings had at 1:15 p.m.)

2 EXAMINER STOGNER: Before we get started here,  
3 off the record.

4 (Off the record)

5 EXAMINER STOGNER: -- and this was filed by Mr.  
6 Jim Bruce for San Juan Coal Company. Is there any  
7 discussion with the legal --

8 MR. KELLAHIN: Mr. Stogner, I represent  
9 Richardson Operating Company. We were the Applicant in  
10 that case. It was heard by you last November. An order  
11 was issued recently. And at the prehearing conference last  
12 Tuesday, we discussed this topic with the coal company and  
13 you present.

14 We're opposed to Mr. Bruce's motion.

15 At that prehearing conference I asked that the  
16 Richardson property, which also includes about 1600 acres  
17 that Dugan controls, I asked that that area remain included  
18 in this hearing now, because the Richardson property is  
19 only part of the dispute with the coal company. Mr.  
20 Bruce's filing shows an outline, and he's outlined in green  
21 the rest of the coal property.

22 So the dispute with the coal company is more  
23 property than is involved with Richardson. We ask that  
24 that be included in the case today, and you decided to  
25 exclude it. That matter is currently before the Commission

1 on the *de novo* appeal.

2 Having excluded the acreage, it makes not sense  
3 to now encumber this record with a transcript for a case  
4 that involves acreage that you've already excluded, so I  
5 see no point in doing this, unless you want to change your  
6 mind and put the Richardson acreage back into this hearing,  
7 and I'd be delighted with that change.

8 MR. BROOKS: Mr. Kellahin, for purposes of  
9 clarification on the exhibit you just showed, what is the  
10 acreage that was the subject matter of the severance order  
11 that we entered? I remember asking several questions of  
12 you and of other counsel that were there about this  
13 issue --

14 MR. KELLAHIN: Mr. Brooks, if you look at Mr.  
15 Bruce's exhibit --

16 MR. BROOKS: Yes, sir.

17 MR. KELLAHIN: -- the area outlined in yellow is  
18 the acreage approved for infill drilling for Richardson.

19 MR. BROOKS: Right.

20 MR. KELLAHIN: Within that area Mr. Dugan  
21 controls about 1800 acres. It's not specific to operator,  
22 it's not specific to the well. That area has been  
23 excluded, and it includes areas that are controlled by  
24 Dugan.

25 MR. BROOKS: Right.

1 MR. KELLAHIN: In addition, outside of the  
2 yellow, in the green area, there are other leases held by  
3 Dugan and others that now have not been excluded.

4 MR. BROOKS: So the --

5 MR. KELLAHIN: Does that answer --

6 MR. BROOKS: -- green -- the area that is within  
7 the green outline but not within the yellow outline is  
8 still within this proceeding --

9 MR. KELLAHIN: Right.

10 MR. BROOKS: -- pursuant to our severance order?  
11 That was our understanding.

12 MR. KELLAHIN: Right.

13 MR. BROOKS: Okay, thank you.

14 EXAMINER STOGNER: Mr. Dean?

15 MR. DEAN: My name is John Dean, I represent  
16 Dugan Production. And I guess our position is that we  
17 recognize that in the other case we have some acreage  
18 that's bound by that case and we don't dispute that, but we  
19 have other acreage surrounding that co-exists with coal  
20 leases, and our understanding from Mr. Bruce is, there's  
21 going to be no request that any Dugan land be excluded from  
22 this hearing, other than what's in the Richardson case. As  
23 long as that's true, we don't have any objection to that  
24 being put in the record.

25 But if they're going to ask that the Dugan land

1 be excluded, then we object to the Richardson record being  
2 put in this case, which we did not appear at by our own  
3 choice, but we did not appear at that hearing. We do  
4 recognize that we're bound in that case, our acreage that's  
5 inside the acreage that's described in that application.

6 But it's been represented to me by Mr. Bruce that  
7 there be no request from San Juan Coal to exclude any Dugan  
8 land from the change in the Fruitland Coal rules, if there  
9 is one. And as long as that's the case, we don't object to  
10 the record being put in.

11 But we don't understand why it needs to be put in  
12 here, because the land that it refers to is excluded from  
13 this hearing, which is part of our land. So we don't  
14 understand why it needs to be in there.

15 MR. BROOKS: I believe that their motion, which  
16 you have read, does not ask for any specific relief, other  
17 than to place this evidence in the record.

18 MR. DEAN: No. But one would wonder what the  
19 purpose of having that record in this case would be.

20 MR. BROOKS: Okay.

21 (Off the record)

22 EXAMINER STOGNER: Thank you, gentlemen. At this  
23 time, I'm going to approve the motion and incorporate the  
24 record in Case Number 12,734, into this matter at this  
25 time.

1           So with that, Mr. Kellahin?

2           Can I get somebody to close the doors in the  
3 back? Thank you.

4           MR. KELLAHIN: We're going to start on Mr. Chris  
5 Clarkson's presentation. Mr. Clarkson is a reservoir  
6 engineer with Burlington, and his responsibilities for his  
7 company involve the engineering aspects in the non-fairway  
8 coal.

9                           CHRIS CLARKSON,

10 the witness herein, after having been first duly sworn upon  
11 his oath, was examined and testified as follows:

12                           DIRECT EXAMINATION

13 BY MR. KELLAHIN:

14           Q. Mr. Clarkson, for the record, sir, would you  
15 please state your name and occupation?

16           A. My name is Chris Clarkson. I'm a reservoir  
17 engineer with Burlington Resources on the Fruitland Coal  
18 Team.

19           Q. You're going to have to speak up or pull that  
20 closer to you, sounds like it's on.

21           A. Is that better?

22           Q. Yes, sir, you're soft-spoken, so you're going to  
23 have to talk into that.

24                           You reside here in Farmington?

25           A. Yes, I do.

1 Q. Have you been one of Burlington's  
2 representatives, technical representatives, that has  
3 participated on the Committee work for the pool?

4 A. Yes, I have.

5 Q. What has been the extent of your involvement?

6 A. My involvement has been to determine the  
7 reservoir-engineering data, the need for infill drilling in  
8 the underpressured envelope.

9 Q. Have you testified before the Division on prior  
10 occasions?

11 A. No, I have not.

12 Q. Summarize for us your education. When and where  
13 did you get your degrees?

14 A. I obtained a bachelor's of applied science and  
15 master's of applied science and a doctorate at the  
16 University of British Columbia in the years 1992, 1994 and  
17 1998.

18 Q. Summarize for us your employment.

19 A. I've been employed with Burlington Resources for  
20 the last four years in the capacity as a reservoir  
21 engineer, specializing in coal, Fruitland Coal.

22 Q. As part of that specialization, do you utilize  
23 any of the disciplines or skills associated with reservoir  
24 simulation?

25 A. Yes, I have.

1 Q. Summarize for us what it is that you do with that  
2 aspect of engineering.

3 A. We have utilized reservoir simulation to  
4 determine the appropriateness of infill drilling in  
5 portions of the Fruitland Coal as well as projecting  
6 estimated recoveries for the existing spaced wells.

7 Q. If I were to call Burlington here in Farmington  
8 and ask for the simulation expert for the coal in the  
9 underpressured area, who would I talk to?

10 A. That would be me.

11 Q. Have you participated, then, on behalf of  
12 Burlington with the study of the engineering aspects for  
13 the five pilot projects in the non-fairway properties?

14 A. Yes, I have.

15 Q. What has been that involvement?

16 A. My involvement has been to perform the -- or to  
17 oversee the reservoir testing of those five infill pilot  
18 wells, as well as perform reservoir simulation of the pilot  
19 wells, and immediate offset wells to those pilot wells.

20 Q. What position did Burlington take concerning the  
21 Committee work product that now is before Mr. Stogner as an  
22 Application for a rule change?

23 A. Burlington Resources supports the Committee's  
24 Application.

25 Q. As part of that Committee process, what portion

1 of the presentation did Burlington commit to present to Mr.  
2 Stogner?

3 A. Burlington Resources has committed to present  
4 information on the underpressured portion of the Fruitland  
5 Coal Pool.

6 Q. Have you had sufficient data in order to study  
7 that area and reach engineering conclusions?

8 A. Yes, we do.

9 Q. And have you reached those conclusions?

10 A. Yes, we have.

11 Q. Are we about to see a presentation that includes  
12 those conclusions?

13 A. Yes, sir.

14 MR. KELLAHIN: We tender Mr. Clarkson as an  
15 expert reservoir engineer.

16 EXAMINER STOGNER: Any objection?

17 MR. HALL: No objection.

18 EXAMINER STOGNER: Mr. Clarkson, on your  
19 educational, is that a bachelor of science in engineering?

20 THE WITNESS: Oh, I'm sorry, it's applied science  
21 or engineering, yes, sir.

22 EXAMINER STOGNER: And you got your PhD at  
23 British Columbia in what discipline?

24 THE WITNESS: Geological engineering.

25 EXAMINER STOGNER: Dr. Clarkson is so qualified.

1           Q.    (By Mr. Kellahin)  Let's turn to your first  
2 slide, Mr. Clarkson, and let's start with a summary so that  
3 Mr. Stogner has an outline of where you're going with your  
4 presentation.

5           A.    Yes, sir, I will begin with a brief outline of  
6 the subject matter that I will talk about today.

7                   I will start with a summary which includes the  
8 four key conclusions that we have obtained from the infill  
9 pilot study that Burlington Resources has implemented,  
10 along with a recommendation regarding the need for  
11 increased density in the underpressured envelope.

12                   I will then present a series of exhibits that  
13 support those key conclusions.

14                   The next topic will be an overview of the pilot  
15 well testing program, followed by a discussion of the well  
16 testing simulation and economic results.  Specifically, we  
17 will talk about three of the pilot wells that we drilled,  
18 the Huerfano Unit 258S, the Davis 505S, and the San Juan  
19 28-and-6, 418S.  I will go into detail only with the  
20 Huerfano Unit well to illustrate the types of testing and  
21 reservoir simulation that we performed in the infill pilot  
22 study.  I will then summarize the results of the Davis 505S  
23 and the San Juan 28-and-6 Unit 418S.

24                   The next subject will be -- I'm trying to  
25 understand the transfer of pilot well results to the

1 underpressured envelope. I will demonstrate that we can  
2 take the pilot well results and extrapolate those to the  
3 rest of the underpressured envelope.

4 And finally, I will finish up with some  
5 conclusions regarding the study.

6 Q. You have performed simulation studies of three of  
7 the five pilot areas?

8 A. Yes, sir.

9 Q. What happened to the other two?

10 A. The three pilot wells -- or pilot areas that we  
11 did simulate represented the range in testing that we had  
12 obtained for the underpressured envelope. The two wells  
13 that were left out of the study or the simulation work were  
14 the Turner Federal 210S and the San Juan 28-and-5 201S.  
15 The purpose of leaving those out was that we believe them  
16 to be analogous to the Davis 505S in terms of depletion  
17 characteristics and the performance of the offset producing  
18 wells, so we chose to model only the Davis 505S.

19 Q. Let's turn to your summaries. When we do all the  
20 work and get to the conclusion, let's talk about the  
21 conclusions now.

22 A. The four main conclusions that we have obtained  
23 as a result of the infill pilot study was that current well  
24 density in the underpressured portion of the pool results  
25 in inadequate recovery. Stated differently, we expect a

1 relatively low recovery of the in-place resource in the  
2 underpressured envelope.

3           The second conclusion is that pilot wells  
4 demonstrate inadequate drainage in some or all of the coal  
5 layers as inferred from data, measured pressure data, that  
6 we obtained at those infill pilot wells.

7           The third conclusion is that additional  
8 completions -- in this case, one per spacing unit -- will  
9 result in additional recovery of reserves.

10           And lastly, the final conclusion is that pilot  
11 well results are transferable to the rest of the  
12 underpressured envelope.

13           Q.    Let's turn to the locator map that shows the  
14 Division the location of these pilot areas in relation to  
15 other markers.

16           A.    Sure.  This is a locator map that shows the  
17 location of the five infill pilot wells that the NMOCD  
18 granted us approval to drill last year.  The wells are  
19 located here.  This is the Davis 505S, the Turner Federal  
20 210S, the Huerfano Unit 258S, the San Juan 28-and-6 418S,  
21 and the San Juan 28-and-5 201S.

22           Other prominent markers on this map include the  
23 City of Farmington, which is located here, the Cities of  
24 Aztec and Bloomfield.  The Colorado-New Mexico border is  
25 located here.

1 Q. Let's turn to the next display. Are you working  
2 with a geologist on this project?

3 A. Yes, I am.

4 Q. And who is the geologist?

5 A. Mr. Steve Thibodeaux.

6 Q. Mr. Thibodeaux testified this morning that his  
7 work product resulted in the preparation for your further  
8 use of a Fruitland original-gas-in-place map?

9 A. Yes, sir.

10 Q. We're now looking at a map that shows us recovery  
11 factors?

12 A. Yes.

13 Q. Before we get to the recovery factor, do you have  
14 to start with a gas-in-place map?

15 A. Yes, you do, a geologic model needs to be  
16 constructed in order that an original gas-in-place map be  
17 created. Mr. Thibodeaux has created such a geologic model.

18 Once that is completed, the use of additional  
19 adsorption isotherm data or gas-content data is used in the  
20 calculation of an original-gas-in-place map.

21 Q. In your engineering opinion, was Mr. Thibodeaux's  
22 work suitable for your use?

23 A. Yes, sir.

24 Q. And were you able to create a map that showed the  
25 original gas in place for the entire pool?

1 A. Yes, we did.

2 Q. And that was one of the last displays Mr.  
3 Thibodeaux showed?

4 A. Yes, sir.

5 Q. All right. Now, let's look at this one. Your  
6 work was focused on the non-fairway coals?

7 A. That is correct.

8 Q. And so what we see is a result of that work  
9 summarized on this map?

10 A. Yes, sir.

11 Q. Why is the white area or the fairway excluded  
12 from this presentation?

13 A. At this point in time, Burlington Resources does  
14 not have sufficient data at their disposal to create an  
15 accurate recovery-factor map for the fairway.

16 Q. Let's go back and talk about what the data is,  
17 and what the engineering methodology is, that distinguishes  
18 the fairway analysis from what you have available to work  
19 with in the non-fairway properties.

20 A. The two components, the key components that are  
21 required for the generation of a recovery-factor map are an  
22 estimation of the estimated ultimate recovery of the wells,  
23 as well as an original-gas-in-place calculation for a 320-  
24 acre-spaced location.

25 The fairway differs from the underpressured

1 envelope in that historically Burlington Resources has used  
2 material balance methods to calculate the estimated  
3 ultimate recovery in the fairway. Because of the lack of  
4 pressure data that we have available to us, we simply  
5 cannot generate estimated ultimate recovery maps for the  
6 entire overpressured fairway.

7 In addition to that, original-gas-in-place maps  
8 for the fairway have not typically been used by Burlington  
9 Resources as an estimate -- or as a tool for estimating the  
10 ultimate recoveries. We are currently in the process of  
11 generating those original-gas-in-place maps and have not  
12 completed that study at this point in time.

13 Q. The engineering study that Burlington has ongoing  
14 in the fairway --

15 A. Yes.

16 Q. -- is done by an engineer other than you?

17 A. That is correct. We have a staff reservoir  
18 engineer dedicated to that task.

19 Q. Are Burlington's conclusions, engineering  
20 conclusions, about the fairway any different than Amoco's  
21 engineering conclusions brought to the Committee?

22 A. No, they are not.

23 Q. You agree that there's additional opportunity for  
24 infill wells in the fairway?

25 A. Yes, we do.

1           Q.    Describe for me now what engineering data you  
2    have available to you to calculate estimated ultimate  
3    recoveries from the non-fairway properties, and then by  
4    subtraction of gas in place get you to the remaining gas to  
5    be recovered.

6           A.    The underpressured envelope has -- basically, we  
7    have access to well production data throughout the  
8    underpressured interval. Conventional decline-curve  
9    analysis is appropriate for the estimation of estimated  
10   ultimate recoveries in the nonprolific or the  
11   underpressured portion of the pool.

12                    We have calculated estimated ultimate recoveries  
13   using those techniques for a well population of  
14   approximately 1270 wells in the underpressured envelope,  
15   hence we feel that we have a very good representation of  
16   the underpressured envelope in terms of estimated ultimate  
17   recovery.

18           Q.    Are you aware, Mr. Clarkson, that the Division  
19   has determined by their pool orders that conventional  
20   decline-curve analysis cannot be used as an engineering  
21   tool to determine estimated ultimate recoveries in the  
22   fairway?

23           A.    Yes, I am aware of that.

24           Q.    And at this point you continue to develop with  
25   other engineers the pressure data to look at opportunities

1 for drilling additional wells in the fairway?

2 A. That's correct.

3 Q. All right. Let's look at, then, your work  
4 product in the nonfairway properties.

5 A. All right.

6 Q. What have you concluded?

7 A. Before we leave this map, I would like to point  
8 out a couple of additional points.

9 The five infill-well locations are spotted on  
10 this map with red squares. One of the reasons that we have  
11 chosen the infill-well locations we have is that they  
12 represent the range in expected recovery that we would see  
13 in the underpressured envelope.

14 For example, the Davis 505S, Turner Federal 218S  
15 and the 28-and-5 wells are located in areas where we expect  
16 the range of recovery factors to be between zero and 20  
17 percent of the original gas in place. The San Juan 28-and-  
18 6-Unit location is spotted in an area where we expect the  
19 recovery factors to range from 20 to 40 percent. And  
20 finally, the Huerfano unit pilot is spotted in a more  
21 prolific area where we expect the offsetting producing  
22 wells to recover between 40 and 70 percent of the original  
23 gas in place. Hence, we believe we have represented the  
24 range of recoveries that one would see in the  
25 underpressured envelope.

1 Q. All right, sir. What have you concluded?

2 A. Our first conclusion is that current density  
3 results in inadequate recovery. What we are showing here  
4 is a pie chart that demonstrates the recovery of original  
5 gas in place with the current well spacing for a population  
6 of approximately 1270 wells, assuming a 320-acre drainage  
7 volume.

8 The estimated recovery of original gas in place  
9 for this well population is only 18 percent, which means  
10 that approximately 82 percent of the resource is left in  
11 place. The specific numbers associated with this pie chart  
12 is that the original gas in place for this population of  
13 wells is approximately 5 TCF, and the estimated ultimate  
14 recovery for this population of wells is approximately .9  
15 TCF. So this slide demonstrates the current density  
16 results in inadequate recovery.

17 The next series of slides that I will present  
18 illustrate conclusion number two, which is that pilot wells  
19 demonstrate inadequate drainage in some or all of the coal  
20 layers. I will show a series of bar charts that show the  
21 layer pressure data that we were able to collect for the  
22 five infill pilot locations. I will start with the Davis  
23 505S.

24 The red bars represent the original pressures  
25 estimated at the infill location prior to any coal

1 depletion in this particular area.

2 The blue bars represent actual measured pressures  
3 at the infill location upon the completion of drilling of  
4 the infill well.

5 For this particular case, it should be noted that  
6 very little pressure differential exists from initial  
7 pressure to the current pressures, which illustrates to us  
8 that very little depletion has occurred at this particular  
9 location.

10 I also will point out that the top pressure and  
11 the middle -- pardon me, the top measured pressure and the  
12 third measured pressure were still building when we pulled  
13 the gauges out of the hole, meaning that those pressures  
14 will probably build up to greater than what is represented  
15 here.

16 Q. Prior to the pilot project study, did you have  
17 this layered pressure data to work with?

18 A. No, sir, we did not, we only had single-layer  
19 pressures at our disposal for some areas.

20 Q. Please continue.

21 A. The next slide shows the three measured pressures  
22 or the three layer pressures for the San Juan 28-and-5 Unit  
23 201S. The red bars again represent the original pressures  
24 estimated at this location. The blue bars represent the  
25 current measured pressures at this location.

1           It is important to note that the original  
2 pressures estimated for this area are somewhat smaller than  
3 the actual measured pressures, and the reason for this is  
4 that those pressures, initial pressures, are estimated from  
5 the original pressures from offset producing wells, and  
6 there are some cases where the pressures of the offset  
7 producing wells may not have built up to their full  
8 pressure. This is a very low-permeability area, and it  
9 takes a substantial period of time for pressures to build  
10 up. Hence the discrepancy between the original pressures  
11 and the current pressures.

12           However, in this example it is clear that the  
13 current pressures are illustrative of very little depletion  
14 at this particular location.

15           The next slide shows the four-layer pressures for  
16 the Turner Federal 210 S, again the original pressures  
17 being red, current pressures being blue.

18           This well in this area, we have the same  
19 situation as the San Juan 28-and-5 Unit in that our  
20 estimated original pressures are somewhat lower than the  
21 current measured pressures.

22           Also, I will point out that in the top zone we  
23 were not able to get a good pressure. Our first pressure  
24 built up to about 52 p.s.i. We re-perforated this zone and  
25 still got the same pressure. So this is somewhat of an

1 anomalous point.

2 The rest of the pressures built up to similar to  
3 the original pressures in the well.

4 The next slide illustrates the layer pressures  
5 associated with the San Juan 28-and-6 Unit 418S. In this  
6 particular case is an example of significant differential  
7 depletion between layers.

8 The top zone, as you'll notice, the pressure  
9 built up to very close to what the original pressure was  
10 calculated to be, whereas the three bottom zones showed a  
11 substantial amount of depletion. This indicates that there  
12 appears to be inadequate drainage in at least one of the  
13 coal layers, whereas the other three coal layers appear to  
14 be depleting.

15 Our final example is from the Huerfano Unit 258S  
16 well. This example is similar to the 28-and-6 in that the  
17 top layer pressure appears to show very little depletion,  
18 whereas the middle pressure shows a substantial amount of  
19 depletion from original pressure. The third pressure, we  
20 were unable to obtain a reasonable pressure estimate on  
21 this zone.

22 Q. You've got some layered pressure data for all  
23 five pilot wells now?

24 A. Yes, we do.

25 Q. And having looked at that engineering data, what

1 does it tell you about well density?

2 A. This data supports increased density in the  
3 underpressured envelope in that some, if not -- or many  
4 coal layers show very little or no depletion at the infill  
5 locations.

6 Q. What's the next part?

7 A. This next slide supports our conclusion number  
8 three, which is that additional completions result in  
9 additional recovery. What we have shown here is a bar  
10 chart that shows the recovery of original gas in place for  
11 the three modeled pilot areas. The red portion of the bar  
12 represents the recovery of original gas in place for the  
13 current spacing. The blue portion of the bar represents  
14 the incremental recovery we would expect for infill  
15 drilling.

16 For example, with the Huerfano Unit 258S, we  
17 expect the parent wells or the currently spaced wells to  
18 recover approximately 57 percent of the original gas in  
19 place. The infill wells will increase that recovery to  
20 approximately 65 percent of original gas in place. This  
21 represents a 15-percent increase in recovery for this area.

22 Q. In the absence of the infill well, then, you  
23 would not get this additional 15 percent?

24 A. That is correct.

25 Q. So the 15 percent in the Huerfano study

1 represents additional recovery from the pool that you would  
2 not otherwise achieve?

3 A. That is correct.

4 Q. Okay. What happens in the 28-and-6 Unit?

5 A. In the 28-and-6 area, we expect somewhat more  
6 incremental recovery. The 28-and-6 unit parent wells are  
7 projected to recover approximately 29 percent of the  
8 original gas in place, whereas infill drilling should  
9 increase that recovery up to approximately 40 percent of  
10 original gas in place. This represents a 37-percent  
11 increase in recovery in this particular area.

12 The Davis area, being the least prolific in terms  
13 of the performance of the offset producing wells, shows the  
14 most incremental recovery of the three areas, or the most  
15 relative increase in recovery.

16 The Davis 505 S area shows that the parent wells  
17 would recover approximately 16 percent of the original gas  
18 in place, whereas infill wells will increase that recovery  
19 to 28 percent of original gas in place, hence a 68-percent  
20 increase in recovery for this particular area.

21 Q. For the five pilot areas, you are now persuaded  
22 as an engineer that the infill well is going to result in  
23 the recovery of additional gas?

24 A. That is correct.

25 Q. How did you address the issue of determining

1 whether those recoveries from the five pilot project areas  
2 are representative of the range of opportunity for the rest  
3 of the fairway -- the rest of the properties outside the  
4 fairway?

5 A. We will cover that with the next exhibit. What  
6 we have plotted here is the increase in recovery factor due  
7 to infill development as a function of the parent well  
8 recovery factor. And what we have spotted on this chart  
9 are the estimated increase in recovery factors for the  
10 three pilot areas that we modeled.

11 How one uses a graph of this sort is to estimate  
12 the recovery due to the parent wells, extrapolate up to the  
13 curve and then extrapolate over to the Y axis. That will  
14 tell you the percentage increase in recovery that one would  
15 expect associated with the infill wells.

16 Q. Let me see if I understand how this works. Where  
17 on this curve or line do you plot the results of the other  
18 two pilots that are not shown on this curve?

19 A. The other two pilots would be more similar to the  
20 Davis area, in that the parent well recoveries are in the  
21 same range of parent well recoveries, and hence we would  
22 expect similar types of increase in recovery due to infill  
23 drilling.

24 Q. Let me have you explain how to make the curve  
25 work. Let's assume I have a parent well.

1 A. Uh-huh.

2 Q. I can determine its recovery factor in a  
3 conventional way with decline-curve analysis?

4 A. That is correct.

5 Q. I can do that? And let's say I can determine,  
6 based upon the original-gas-in-place map, that my parent  
7 well's recovery is going to be 40 percent.

8 A. That is correct.

9 Q. I'll start at the 40-percent line.

10 A. Okay.

11 Q. And I read up to the red line where they  
12 intersect.

13 A. That is correct.

14 Q. Now, I go over to the left margin and I can know  
15 now what portion of my cumulative production from the two  
16 wells now will represent the incremental increase in  
17 recovery because of infill?

18 A. That is correct, the increase in recovery factor  
19 that one would expect with infill is read off of the left  
20 axis, the Y axis, if you will.

21 Q. And if I'm in an area that looks like the Davis  
22 example, what happens with the results of my infill effort?

23 A. We would expect, if one extrapolates over to the  
24 curve, recoveries in the range of, say, 60 to 80 percent,  
25 incremental recoveries -- recovery-factor increases of 60

1 to 80 percent, in that area.

2 Q. And if I'm down in Huerfano where a part of that  
3 area is the darker red, where I'm achieving better recovery  
4 with the parent well, is there still an opportunity for  
5 incremental recovery with the infill well?

6 A. There is still opportunity for incremental  
7 recovery, yes.

8 Q. And what is that on this display?

9 A. With the Huerfano it would be approximately  
10 15-percent increase.

11 Q. Let's go back and fill in the pieces. You've  
12 given us your conclusions. Let's go back through the  
13 pieces of the study so Mr. Stogner can look at the  
14 engineering data and the details of how you modeled the  
15 reservoir and how you got to your conclusions.

16 Let's talk about the test program.

17 A. I will now overview the pilot -- well, pardon me,  
18 the pilot-well testing program, we have drilled, Burlington  
19 Resources has drilled five pilot wells in geologically  
20 diverse areas of the underpressured envelope as outlined by  
21 Mr. Thibodeaux earlier. We also chose these pilot wells to  
22 represent the range in production performance and estimated  
23 ultimate recovery for the offsetting producing wells.

24 We as part of this program collected coal  
25 cuttings from the infill well locations for up to five coal

1 layers. These coal cuttings were then tested for coal  
2 quality -- in other words, the inorganic/organic content of  
3 the coals -- using a procedure referred to as proximate  
4 analysis.

5 We also performed adsorption isotherm testing on  
6 those coal-cutting samples from the wells in order that we  
7 may determine the gas content of those individual coal  
8 horizons. We then used those gas-content data to calculate  
9 original gas in place for the coal layers at the infill  
10 locations.

11 We then ran open-hole logs over the coal  
12 intervals for the purposes of estimating coal density,  
13 which was coupled with the gas-content results to determine  
14 the original gas in place per layer.

15 We then collected multiple pressures, layer  
16 pressures at the infill locations, in this case up to four  
17 pressures at the infill location. Upon completion of  
18 drilling of the well we perforated and isolated individual  
19 coal zones so that we may determine what their current  
20 pressure is. We used that pressure data to determine the  
21 degree of coal-layer depletion at the infill locations.

22 The final step was to fracture-stimulate the  
23 infill wells using techniques very similar to the offset  
24 producing wells, and we produced the wells for a period of  
25 up to 180 days. And the purpose of that was to compare the

1 production performance of the infill wells with the offset  
2 producing wells, as well as for data that would be input --  
3 or would be modeled in a reservoir-modeling approach.

4 Q. Let me take you to the end of the book, and look  
5 at Exhibit Tab 15 for a moment. If you turn to 15, flip  
6 past the cover sheet and you're going to get into a pilot  
7 area for the Davis study?

8 A. That's correct, yes.

9 Q. And you have these plats or maps for each of the  
10 simulated model areas?

11 A. Yes, we do.

12 Q. So if Examiner Stogner wants to see the  
13 configuration and well locations, it's in the exhibit book?

14 A. That is correct.

15 Q. All right, you now have your test program  
16 described for us, Mr. Clarkson. Let's move beyond Exhibit  
17 Tab 7 and go to 8. Let's have you talk about your pilot  
18 simulation economic results.

19 A. I will now summarize the pilot well testing/  
20 simulation/economic results.

21 Burlington Resources drilled five pilot wells.  
22 We tested these wells, stimulated them and produced them.  
23 All five pilot wells, as we showed earlier, contained some  
24 coal layers with little depletion as inferred from pressure  
25 data.

1           As we also stated earlier, only three of the  
2 pilot areas were modeled: the Huerfano, the Davis and the  
3 San Juan 28-and-6 Unit. The reason why the San Juan 28-  
4 and-5 and Turner Federal was left out of the modeling  
5 effort is that they are believed to be analogous to the  
6 Davis in that they demonstrate a lack of depletion and poor  
7 production performance of the offset producing wells.

8           Q. Let's start with the Huerfano Unit, that pilot  
9 study in the Huerfano with that well. We're going to go  
10 through that one from start to finish, and then you can  
11 summarize what happens with the others.

12          A. Yes, sir.

13          Q. Yeah, let's go through the steps, then. Let's  
14 talk about the summary for the Huerfano, and then we'll  
15 talk about the parts.

16          A. For the Huerfano Unit 258S, sufficient data was  
17 collected to evaluate the pilot area for infill. In other  
18 words, sufficient pressure, gas content and production data  
19 were acquired for the purposes of evaluating this area for  
20 infill.

21                   For reference, the original gas in place on a  
22 320-acre basis is 3.3 BCF for the Huerfano area, which  
23 represents the lowest gas in place of the three areas that  
24 we modeled.

25                   Three layer pressures were collected, and as we

1 showed in an earlier slide the top layer here shows little  
2 depletion. The middle layer shows a substantial amount of  
3 depletion. And the bottom coal layer pressure, we were  
4 unable to obtain a reasonable pressure for that zone.

5 A successful history match was obtained using a  
6 numerical simulator of the infill well layer pressures and  
7 the flowing pressures for eight offset producing wells.

8 We then built a scaled-up model in order to  
9 perform sensitivities for 160-acre infill and in order to  
10 determine the incremental reserves associated with 160-acre  
11 infill in this area. Those stimulation results show that  
12 there is an increase in reserves for this pilot area.

13 The final summary bullet point here is that the  
14 infill recompletes are economic in this particular area,  
15 although this is the least economic area compared to the  
16 other two pilot areas that we studied.

17 I will now show a location map that shows the  
18 location of the Huerfano Unit 258S pilot well, with respect  
19 to the offset producing wells. The infill test well -- the  
20 pilot test well, is located approximately in the center of  
21 the area that we studied or modeled. The offset producing  
22 wells are shown with purple diamonds and triangles, and  
23 they represent existing producing coalbed methane wells.

24 I will also point out that the simulation area  
25 that we modeled corresponds to this rectangle, showing that

1 we modeled not only the infill well but the eight offset  
2 producing wells in the area.

3 Q. Why did you choose a simulation grid boundary of  
4 this size?

5 A. We chose a model of this size to represent the  
6 variability that we see in the production performance of  
7 the offset producing wells. We also wanted to try and  
8 eliminate boundary effects that are often associated with a  
9 smaller simulation model.

10 Q. And did you do that here?

11 A. Yes, we did.

12 Q. Please continue.

13 A. I will now describe to you in fair detail the  
14 steps that were used in the reservoir simulation procedure.  
15 I will use the example of the Huerfano Unit 258S, although  
16 we used the same procedures for the other two pilot areas  
17 that we modeled.

18 The first step was the incorporation of pilot  
19 well and offset well test data into the reservoir  
20 simulation. We obtained open-hole logs from the infill  
21 well location that was used to complete a pilot area  
22 geologic model, which Mr. Thibodeaux was responsible for.  
23 This geologic model is 16 sections in extent and includes  
24 coal layer thicknesses and bulk densities that were  
25 ultimately incorporated into the simulation model.

1           The next step was to take the adsorption isotherm  
2 data that we had collected and the coal density information  
3 that we had obtained to develop a correlation between  
4 isotherm parameters and coal density. The purpose of this  
5 was to calculate original gas in place by layer at each of  
6 the infill well locations.

7           The third step was to collect multi-layer  
8 pressures, which were then used as a parameter in the  
9 history-matching effort. In other words, we history-  
10 matched the multi-layer pressures at the infill well  
11 location. We also used the pilot well production data as a  
12 parameter to history-match in the simulation.

13           Lastly, we used pilot well offset data in the  
14 form of type-curve analysis to generate permeability and  
15 skin-factor estimates for the offset producing wells. The  
16 importance of this is that we used these estimates to  
17 constrain the permeabilities that we ultimately used in the  
18 simulation model.

19           Q. You've set up the simulation to match known  
20 production and to match known pressure points.

21           A. Actually, we used the simulation to match  
22 pressures at the infill well location and flowing pressures  
23 of the offset producing wells. The simulation model was  
24 actually driven with historical gas rate; that was an input  
25 into the simulator.

1 Q. At this point, then, you tried to run the model,  
2 the computer model, to match known history points?

3 A. Yes.

4 Q. And the known data you're matching is the  
5 pressure data and the production --

6 A. Yes.

7 Q. -- of the study area?

8 A. The pressure data -- the flowing pressure data,  
9 and in the multi-well simulation, which we'll get into in a  
10 minute, we matched the flowing pressures of the wells and  
11 the infill pilot pressures.

12 The first step, however, was to use single-well  
13 models and input the type-curve derived permeability and  
14 skin estimates to obtain a production match of the offset  
15 producing wells.

16 So sorry, there's two --

17 Q. Is this methodology consistent with conventional  
18 engineering modeling of a reservoir by simulation?

19 A. Yes, it is.

20 Q. In order to make the match, are there any  
21 reservoir parameters that you adjust in order to make the  
22 simulation perform like the existing data shows it should  
23 perform?

24 A. Yes, in the multi-well simulation that we will  
25 show here shortly, the permeability by layer was adjusted

1 to match the flowing pressures and the pressures at the  
2 infill well location.

3 Q. Are you satisfied that your adjustments of the  
4 permeability stayed within reasonable ranges of engineering  
5 expectations for wells like this?

6 A. Yes, we are.

7 Q. What's the range of permeability you're using?

8 A. In the case of the Huerfano area, the  
9 permeabilities by layer range from approximately .6  
10 millidarcies to approximately 52 millidarcies. The  
11 composite perm, which is obtained by basically summing up  
12 the permeabilities for those four layers, is 14 1/2  
13 millidarcies, which is consistent with the type-curve  
14 results that we obtained from offset producing wells.

15 Q. All right, let's go to the next display.

16 A. This next display shows that once we input type-  
17 curve-estimated permeability and skin information into a  
18 single well model, we are able to reproduce the production  
19 performance of that well.

20 This is a specific example of the Huerfano Unit  
21 255, whereby we used a single-well model which predicts the  
22 gas rate as a function of time, gas rate being in MCF a  
23 day, as a function of time.

24 The blue dots represent the production  
25 performance, the actual data for the well. The red line

1 represents the predicted production performance for this  
2 well, using the type-curve-derived permeability and skin  
3 numbers.

4 This is a validation of the permeability and skin  
5 numbers that were derived from type-curve analysis.

6 Q. Once you've calibrated your model and you can  
7 simulate known history, then you're able to use that  
8 simulation to forecast what would happen in the future for  
9 that well?

10 A. That is correct.

11 Q. And when we look at this display, once we get to  
12 the right of the circles, we're now forecasting what will  
13 happen to this production as we move through time?

14 A. That is correct.

15 Q. Go ahead.

16 A. The next step in the history -- or pardon me, in  
17 this reservoir simulation procedure, was to history-match  
18 pilot offset wells, in this case a multi-well simulation  
19 using Eclipse numerical reservoir simulator.

20 I will now talk about some of the specifics of  
21 the model.

22 The model parameters included a model grid that  
23 was a 47 by 57 by 3, in other words, a model grid that had  
24 three vertical layers of an average grid block size of  
25 approximately 200 by 200. The model area in the case of

1 the Huerfano area was 2561 acres, which incorporated the  
2 eight offset producing wells plus the infill well in the  
3 simulation.

4 It's important to note that each of the vertical  
5 grid blocks in the simulator correspond to the coal layer  
6 pressures that were measured at the infill location, so  
7 that the model reflects the data that was actually  
8 collected.

9 The next step in the multi-well reservoir  
10 simulation included the input of reservoir parameters. In  
11 this case, the coal layer original-gas-in-place numbers  
12 were calculated from an isotherm-versus-coal-density  
13 relationship that we were able to obtain from pilot-well-  
14 adsorption-isotherm data. We then assumed a relationship  
15 between coal-layer permeability and coal density to obtain  
16 a permeability estimate for each of the coal layers, using  
17 the average density for that layer.

18 The permeability in coal is assumed to be a  
19 function of the coal density in that typically the lowest-  
20 density coals are the most highly fractured and hence the  
21 most permeable. So we assumed a relationship between those  
22 two parameters.

23 The other reservoir properties that were used in  
24 the model included data from core data and literature  
25 values.

1 Q. Does Burlington maintain a library of isotherms  
2 in the coal?

3 A. Yes, we do.

4 Q. Of that population, how did you select the  
5 appropriate isotherm that's applicable to this well?

6 A. We actually collected isotherm data from each of  
7 the individual coal wells or infill wells by layer. We  
8 then used that data from all the pilot wells and created a  
9 correlation between the isotherm parameters and density of  
10 the coal, which was then used in the calculation of  
11 original gas in place for each of the pilot areas, and in  
12 fact the entire underpressured coal envelope.

13 Q. What do you use an isotherm for? What's the  
14 point?

15 A. An adsorption isotherm is a measure of the gas  
16 content, is a measure of pressure for coal. If one knows  
17 the initial pressure and the isotherm parameters, one can  
18 calculate the gas content for a particular coal under  
19 initial conditions.

20 Q. Do you have an example of an isotherm on the next  
21 page?

22 A. This is actually an example of the correlation  
23 between an adsorption isotherm parameter and the coal  
24 density that was used for the pilot well modeling.

25 What this is is a plot of the Langmuir volume,

1 which is an adsorption isotherm parameter, which is a  
2 function of coal density of the coal. The Langmuir volume  
3 is one of the two parameters that are used in the Langmuir  
4 equation, which is commonly used to correlate experimental  
5 adsorption isotherm data.

6 How this is used is, if one knows the average  
7 density of a particular coal, one extrapolates up to the  
8 curve and then over to the left-hand axis to obtain an  
9 estimate of the Langmuir volume. That is then input into  
10 the adsorption isotherm equation, and combined with  
11 pressure will give you a gas-content estimate for this  
12 particular coal.

13 Q. How do you construct the red line?

14 A. That is simply a linear correlation to the data,  
15 a single -- using a correlation.

16 Q. Now, what do you do with this information?

17 A. This information is used to calculate the gas  
18 content by layer in the coal. The gas contents are then  
19 coupled with coal-density and thickness information to  
20 calculate an original gas in place for each of the layers  
21 in the coal.

22 Q. All right. What happens next?

23 A. The next step or the next slide here shows how  
24 the history match was achieved for the multi-well  
25 simulation. The simulation was driven by historical

1 monthly gas rates, and as I mentioned earlier, the flowing  
2 pressures of the offset producing wells and the pressures  
3 at the pilot infill well location were predicted with the  
4 simulation model. In this case, we assumed single-phase  
5 flow, in that there's a lack of historical water production  
6 in this particular area.

7           The permeability-versus-coal-density relationship  
8 was adjusted to match the pressures at the infill location  
9 as well as the flowing pressures of the offset producing  
10 wells. It's important to note, however, that the composite  
11 permeabilities that were derived from this estimate were  
12 constrained to be within the range that one observes for  
13 the offset producing wells.

14           There was also some adjustment in skin factor in  
15 order to achieve a flowing bottomhole pressure match.

16           This next slide illustrates the relationship  
17 between permeability and coal density that was used in the  
18 Huerfano area to achieve the history match that I discussed  
19 earlier.

20           The top layer permeability, as I mentioned  
21 earlier, is approximately .6 millidarcies and this is  
22 consistent with the fact that this top layer is the least-  
23 depleted layer at this location.

24           The middle layer is a 24-millidarcy layer, and  
25 the bottom coal layer is 52 millidarcies. The composite

1 layer, as I mentioned earlier, is 14 1/2 millidarcies,  
2 which is consistent with the offset producing wells in the  
3 area.

4 I will now show you the two parameters that were  
5 history-matched in this simulation model, the first being  
6 the multi-layer pressures that were observed at the infill  
7 well location.

8 What I've shown here is, the red bars represent  
9 the original pressures at the infill location, prior to  
10 offset well production. The dark blue bar represents the  
11 actual measured pressure at the infill location, upon  
12 completion of the drilling of that well. The light blue  
13 bar represents the simulated pressure at this infill  
14 location at the end of history match, and one can observe  
15 that we have obtained a fairly good match to those  
16 pressures. The bottom zone, as I mentioned earlier, we  
17 were unable to obtain a reasonable pressure for that zone.

18 The one other data point that we have on here is  
19 the green bar which represents the post-fracture-  
20 stimulation dip in pressure that was taken just prior to  
21 first delivery of this particular well.

22 Some additional data that I've put in the slide  
23 for reference includes the total layer thickness associated  
24 with each of the pressure zones that were measured in this  
25 well. I note that the top zone is the thickest layer at 27

1 feet thick, the bottom two zones are somewhat smaller or  
2 thinner zones, representing nine feet and six feet  
3 thickness.

4 I've also shown the original gas in place  
5 calculated for each of those layers. This is a model  
6 average original gas in place on a 320-acre basis. The top  
7 zone, of course, being the thickest, has the most original  
8 gas in place, whereas the bottom two zones have  
9 substantially less original gas in place.

10 I have also shown the remaining gas in place  
11 associated with each of those layers, and as I mentioned  
12 earlier, the top zone appears to be the least depleted,  
13 whereas the bottom two zones do show some depletion.

14 The second history match parameter in the  
15 simulation model included the flowing bottomhole pressures  
16 for the eight offset producing wells to the pilot infill  
17 well.

18 This is an example, again, using the Huerfano  
19 Unit 255, which shows the flowing bottomhole pressure as a  
20 function of time. The blue dots represent the actual  
21 flowing pressures at this infill location, or -- or pardon  
22 me, this offset producing well location. The red line  
23 represents the simulator-predicted flowing bottomhole  
24 pressure. This demonstrates that there's a reasonable  
25 match of the simulator to actual data and that the

1 permeability or composite permeabilities that we used in  
2 the simulator are reasonable.

3           The next step in the simulation procedure was to  
4 use the model that we used to history-match the offset  
5 producing wells to predict what the well production would  
6 be for the infill well location, and this was done for the  
7 Huerfano area.

8           In this case, we drove the simulator using  
9 scheduled flowing pressure, which was estimated from the  
10 measured casing pressure of the well. In this case also,  
11 the skin factor was adjusted to be consistent with the  
12 range of the offset producing wells.

13           I will now show a plot that shows the history  
14 match of the infill well production data. This plot shows  
15 the gas rate in MCF a day as a function in time for the  
16 Huerfano Unit 258S infill location. The blue dots  
17 represent actual production data for this well. The red  
18 line represents the simulator-predicted production rates  
19 for this infill location. And as you can see, it is a very  
20 good match.

21           The next and final step in the simulation  
22 modeling procedure was to build larger scale models, in  
23 this case 16 sections in area, to forecast infill well,  
24 incremental and accelerated reserves. The purpose of  
25 building a larger scale model was to reduce any battery

1 effects that may be associated with a smaller model, as  
2 well as to represent the parent and infill locations on a  
3 regular spacing.

4 The model grid in this case is a 40-by-40-by-3,  
5 again, three vertical layers in the simulation model,  
6 consistent with the history-match model. The model area,  
7 as I mentioned earlier, is 16 sections so that there were  
8 32 parent wells and 32 infill wells that were simulated  
9 using a regular pattern.

10 The reservoir parameters that were used in the  
11 scaled-up model are identical to those that were used in  
12 the history-match model. Coal layer thickness,  
13 permeability and all other properties were set equal to the  
14 history match model.

15 The forecasting of the parent and infill wells  
16 was achieved using the following procedure. The scale-up  
17 model started basically at the end of the history match of  
18 the offset producing well such that the initial pressures  
19 in the model were the same as the pressures achieved at the  
20 end of the history match.

21 The parent wells were then forecast, assuming  
22 that no infill development occurred, were forecast out to  
23 the year 2033. Infill wells were scheduled during a  
24 separate run in the year 2003, and then forecast out to the  
25 year 2033, again forecast out for a 30-year time-frame.

1           The simulation in this case was driven by flowing  
2 bottomhole pressure, and it's important to note that the  
3 flowing bottomhole pressure profile for all the wells in  
4 the model were identical.

5           I will now show the increased density recovery  
6 profile for the Huerfano unit area for the years 2003 to  
7 2033. This plot will require a little bit of explanation.

8           The left-hand axis represents the cumulative gas  
9 production, the right-hand axis represents an incremental  
10 gas production. The bottom three curves in this plot, the  
11 red, blue and green curves, represent the cumulative gas  
12 production over that 30-year time frame for three different  
13 scenarios, which I will now describe.

14           The blue curve represents the cumulative  
15 production over a 30-year period for a single parent well,  
16 assuming no offset infill development.

17           The green curve represents the same parent well,  
18 but subject to offset infill development. In other words,  
19 we would expect some reduction in cumulative production of  
20 the parent well due to the presence of the infill well.

21           The difference between these two curves  
22 represents the accelerated reserves component associated  
23 with the infill well. In other words, the difference in  
24 cumulative production between the parent with no infill and  
25 the parent with infill -- the volume difference here

1 represents gas that would have been recovered by the 320-  
2 acre-spaced well, had no infill well been drilled.

3 The red curve, on the other hand, represents the  
4 cumulative production from two wells, the parent plus the  
5 infill well. The difference between the red curve and the  
6 blue curve represents the incremental gas production  
7 associated with infill development. And as one can see,  
8 there's an approximate 50-50 split between incremental gas  
9 and accelerated gas associated with infill development.

10 The last curve, the purple curve, which is read  
11 off of the right axis, represents the incremental reserves  
12 profile associated with a single infill well, such that  
13 after 30 years the infill well would be expected to cum  
14 approximately 270 million.

15 We will contrast this particular slide with the  
16 Davis and the 28-and-6 areas, which show a substantially  
17 more relative incremental gas production.

18 Q. You have each of these type of displays for the  
19 other areas modeled?

20 A. Yes, we do.

21 Q. Let's stay on this for a second, make sure we can  
22 read it. If you start with the top purple curve --

23 A. Yes.

24 Q. -- I'm going to read the conclusions off the  
25 right axis or right margin?

1 A. That is correct.

2 Q. And if all I want to know is the additional gas  
3 to be attributed in the Huerfano area as a result of having  
4 two wells instead of one --

5 A. Yes, that is correct.

6 Q. -- that volume of gas is going to be what?

7 A. That incremental gas volume associated with  
8 infill drilling is 270 million, approximately.

9 Q. All right. If I want to look at what a single  
10 well by itself in the spacing unit would do, I'm going to  
11 look at the blue line?

12 A. Yes, that is correct.

13 Q. And to see a single well by itself as to how it  
14 will recover, I'm going to read off the left margin?

15 A. That is correct.

16 Q. I'll go over there and find what that single well  
17 will do?

18 A. Yes.

19 Q. And you recognize that when you have two wells  
20 there's going to be some overlap where those two wells are  
21 affecting each other?

22 A. Yes, that's correct.

23 Q. And so the parent well is going to be affected --  
24 or that gas is going to be accelerated to a certain  
25 percentage?

1 A. Yes, that is correct.

2 Q. And how do I find that percentage on this  
3 display?

4 A. The difference between the blue curve, which  
5 represents the parent well with no infill, and the green  
6 curve, which represents the parent well with offset infill  
7 development, would be the accelerated-reserves component.

8 Q. And then I can read that off of the left scale?

9 A. That is correct.

10 Q. And if I want to know what the infill well is  
11 going to do, I'm going to read the red line?

12 A. Yes, the red line represents the total of the  
13 infill and the parent cumulative production over that --

14 Q. All right, so the 160 red line is the cumulative  
15 total of the two?

16 A. Yes.

17 Q. And I would read that one now off of the left  
18 axis?

19 A. That is correct.

20 Q. All right, let's look at the next slide.

21 A. The next slide is an illustration of the  
22 projected infill well performance for the Huerfano area.  
23 It simply is a plot of gas rate as a function of time over  
24 that 30-year time frame for a single infill well.

25 Notice the initial rates are projected to be just

1 over 200 MCF a day, declining to approximately -- just  
2 below 20 MCF a day over that 30-year period.

3 Q. Next slide. This is one of your conclusion  
4 slides, and it's where we started a while ago. This now  
5 shows us in these three model areas the portion of  
6 additional gas to be recovered as a result of infill  
7 drilling?

8 A. That is correct. This is a reproduction of a  
9 slide that we showed earlier, showing the Huerfano Unit  
10 area and the other two mottled areas and the relative  
11 increase in recovery that one would expect with infill  
12 drilling in the Huerfano area relative to the other two  
13 areas.

14 We note that relatively smaller percentage of  
15 incremental reserves would be yielded in the Huerfano  
16 compared to the 28-6 and the Davis areas.

17 Q. Mr. Hayden this morning reported to Mr. Stogner  
18 that the Committee's expectation is that they could take  
19 existing wellbores, such as Pictured Cliffs wells, and  
20 recomplete those to add coal gas production from the coal  
21 seam?

22 A. Yes.

23 Q. Do you have a series of displays where you  
24 studied that to see if it's economic --

25 A. Yes.

1 Q. -- to improve the recovery from the gas pool by  
2 recompletion?

3 A. Yes, we do.

4 Q. Let's look at that.

5 A. The next slide shows that infill recompletes --  
6 in other words, if we were to recomplete an existing  
7 wellbore to the Fruitland Coal and produce the Fruitland  
8 Coal, that this recomplete would be economic in the  
9 Huerfano area.

10 The after-tax present value calculation for this  
11 particular area is around \$13,000, discounted at 10-percent  
12 rate. This represents the poorest economics of the three  
13 areas, which we will show here in a few minutes.

14 The primary economic assumptions that went into  
15 this economic modeling included a gas price at \$3.25 per  
16 MMBTU. This is a NYMEX average gas price for the month of  
17 June, 2002.

18 The operating cost assumed for this particular  
19 area was about \$1000 per well per month. The capital costs  
20 were around \$200,000, which include the perforation and  
21 stimulation of the coal zone within the existing wellbore.

22 And finally, the gross- and net-revenue interests  
23 are 100 and 84 percent respectively, which represents an  
24 average that one sees for the pilot wells that we modeled.

25 And what's important here is that these represent

1 incremental economics whereby we calculated a cash flow for  
2 a 320-acre-spaced case and subtracted that from a 160-acre  
3 case to determine the incremental net present value  
4 associated with that case.

5 Q. Have you satisfied yourself as an engineer that  
6 there's additional gas to be recovered by an infill  
7 program?

8 A. Yes, we have, or I have.

9 Q. And the economics here are attributed to the  
10 recompletion of the Pictured Cliffs well?

11 A. Yes.

12 Q. And the \$200,000 is the cost attributable to  
13 recompletion in the coal seam?

14 A. That is correct.

15 Q. And it's economic to capture that additional gas,  
16 in your opinion, using these parameters?

17 A. Yes, it is.

18 Q. Are all these within reasonable engineering  
19 expectations for the industry to apply to their own  
20 properties?

21 A. We believe so.

22 Q. Let's look at the summary now for the others,  
23 starting with the Davis. What are your conclusions about  
24 the Davis study?

25 A. Unlike the Huerfano area, we will not go into the

1 simulation detail that I showed earlier, but I simply will  
2 summarize the key points associated with this area.

3           These points are that sufficient data was  
4 collected to evaluate the pilot area for infill  
5 development. Sufficient pressure, gas-content and  
6 production were collected for that purpose.

7           For reference, the original gas in place for that  
8 area is approximately 4.3 BCF for 320-acre area, which is  
9 actually higher than the Huerfano area, in part due to the  
10 higher pressures, initial pressures, that one sees in this  
11 particular area.

12           Four layer pressures were collected. All coal  
13 layers, as we showed earlier, show very little depletion.

14           A five-layer, dual-porosity simulation model was  
15 used in a history-matching effort, and we were able to  
16 successfully history-match the infill well layer pressures  
17 as well as the offset four producing well flowing  
18 pressures.

19           The scaled-up model again was used to calculate  
20 incremental reserves associated with 160-acre spacing, and  
21 we found that in this case incremental reserves were  
22 yielded.

23           Finally, infill recompletes are economic in this  
24 area as well, and in fact are somewhat better than the  
25 economics that I showed for the Huerfano area.

1 I will now show a representation of the increased  
2 density profile as a function of time for the Davis area,  
3 and I will not reiterate the meaning of each of these  
4 curves, other than to note that the incremental recovery  
5 associated with the Davis area is much larger than what we  
6 expected for the Huerfano area.

7 Incremental volume percent in this case is 81  
8 percent, and the accelerated reserves component is only 19  
9 percent.

10 Also note that the single infill well would yield  
11 a recovery of just under 500 million in incremental  
12 reserves over that 30-year period.

13 So contrast this with the Huerfano area, we see  
14 that there's much more incremental reserves that could be  
15 had in this area.

16 Q. That again is your summary slide we talked about  
17 earlier?

18 A. Yes.

19 Q. Let's look to the results of the 28-and-6 pilot.

20 A. With the 28-and-6 area, again, summarizing,  
21 sufficient data were collected to evaluate this area as  
22 well. The original gas-in-place estimate is somewhat  
23 larger than the other two areas at 5.6 BCF per 320-acre.

24 Four layer pressures were collected, the top  
25 layer showing very little depletion as we illustrated

1 earlier, whereas the other three layers did show some  
2 depletion.

3 A 13-layer dual-porosity simulation model was  
4 used in this case, because the heterogeneity at this  
5 particular location was greater than our ability to measure  
6 it with pressure data, so we needed a more complex model to  
7 accurately history-match the infill well pressures.

8 We were able to obtain a successful history match  
9 of the infill well layer pressures and the flowing  
10 pressures of four outside producing wells.

11 The scaled-up modeling showed that incremental  
12 reserves would be yielded with the 160-acre program.

13 And finally in this case, infill recompletes are  
14 also economic. In fact, this represents the best of the  
15 three areas in terms of net present value associated with  
16 infill recompletes.

17 Q. The total volume expected for the incremental  
18 production as a result of infill drilling in this area is  
19 what?

20 A. For a single infill well, the incremental  
21 reserves are estimated to be approximately 600 million in  
22 reserves.

23 Q. And then again we're back to your summary slide  
24 on this area?

25 A. Yes, the final slide shows a bar chart that shows

1 the incremental volumes of the 28-and-6 area relative to  
2 the other two areas, and one can see that the incremental  
3 reserves are in between the Davis and the Huerfano area in  
4 terms of percentage increase in recovery.

5 Q. If you'll turn to Tab 9, and let's go to the  
6 conclusions, because each of these previous three we talked  
7 about in your introduction. We talked about your method  
8 for taking the pilot study results and transferring it to  
9 the underpressured area?

10 A. Right.

11 Q. We've done that. Let's talk about your  
12 conclusions.

13 A. Okay.

14 Q. Let's go back and have you summarize your  
15 conclusions, which is the last page behind Exhibit Tab 9.

16 A. The four main conclusions that were obtained as a  
17 result of this infill pilot study is that current well  
18 density in the underpressured portion of the pool results  
19 in inadequate recovery. The pilot wells demonstrate that  
20 inadequate drainage occurs in some or all of the coal  
21 layers as represented by measured pressure data.  
22 Additional completions result in additional recovery in all  
23 cases that we modeled and studied. And finally, the pilot-  
24 well results are transferable to the rest of the  
25 underpressured envelope.

1 Q. Were the exhibits prepared under Exhibit Tab 6  
2 through 9 plus the additional information behind 15  
3 compiled under your supervision and direction?

4 A. That is correct.

5 Q. And that represents your work product?

6 A. That is right.

7 MR. KELLAHIN: That concludes my examination of  
8 Mr. Clarkson.

9 We would move the introduction of his Exhibits 6  
10 through 9, plus 15.

11 EXAMINER STOGNER: Any objections?

12 MR. HALL: No objection.

13 EXAMINER STOGNER: Exhibits 6 through 9 will be  
14 admitted into evidence at this time.

15 Mr. Hall?

16 EXAMINATION

17 BY MR. HALL:

18 Q. Mr. Clarkson, let me make sure we understand the  
19 purpose for which your testimony is being offered here  
20 today.

21 As I understand it, your study was limited to the  
22 pilot project areas, and then you attempt to demonstrate  
23 the applicability of that study to the underpressurized  
24 area?

25 A. That is correct.

1 Q. Burlington is not recommending that your  
2 testimony be used to establish a basis for infill rules for  
3 the high-productivity area, is it?

4 A. This study was limited to the underpressured  
5 envelope, and the results herein are applicable to the  
6 underpressured envelope. However, Burlington supports BP's  
7 testimony, which will be shown later, and the results  
8 therein regarding the high-productivity fairway.

9 Q. And what is it that prevents you from applying  
10 your methodology and your analysis and your results to the  
11 high-productivity area? What data is missing?

12 A. We at this point in time do not have all the --  
13 we don't feel at this point that we have enough data in the  
14 form of multi-layer pressures and reservoir simulation to  
15 comfortably extrapolate these results to the high-  
16 productivity fairway.

17 Q. Do you believe it would be prudent to gather  
18 additional data like that before pool rules are adopted for  
19 the high-productivity area?

20 A. Burlington Resources supports BP's testimony in  
21 that BP has collected the types of data that we believe  
22 allow us to make a judgment as to the applicability of the  
23 infill within the high-productivity fairway.

24 Q. Except for the pressure data you mentioned?

25 A. They do have somewhere some pressure data.

1 Q. But is it sufficient in your view?

2 A. We believe the results that they have  
3 demonstrated are sufficient to apply their results to the  
4 fairway.

5 Q. The 150-well Fruitland drilling program that Mr.  
6 Thibodeaux testified to earlier this morning, of those 150  
7 locations, how many of those will be in the underpressured  
8 area?

9 A. The vast majority of those are actually estimated  
10 to be in the high-productivity fairway.

11 Q. All right. Of those locations, what percentage  
12 will be infill locations?

13 A. I'm not sure at this time what that percentage  
14 is.

15 Q. Is it a high percentage?

16 A. It's relatively lower percentage of  
17 underpressured wells compared to overpressured wells.

18 Q. In your economic analysis for the infill in the  
19 underpressured envelope area, why did you limit that  
20 analysis to just recompletions?

21 A. We have in fact run economics for stand-alone new  
22 drills as well. We simply showed recomplete economics  
23 because Burlington Resources will try and develop the  
24 infill program economically in the underpressured envelope,  
25 and we will in all cases look for areas where we can

1 perform recompletes as opposed to stand-alone new drills,  
2 simply because there's some additional capital cost, as  
3 well as other issues associated with infill drilling.

4 So we showed recomplete economics to show that we  
5 would pursue those opportunities where they exist.

6 Q. Did you also do recomplete economics on  
7 recompletion targets within the high-productivity area?

8 A. I did not.

9 Q. Okay. Do you know that there are a number of  
10 recomplete targets in the high-productivity area for  
11 Burlington?

12 A. There are -- as Mr. Hayden testified earlier, I  
13 don't believe there's as many opportunities for recompletes  
14 in the fairway as in the underpressured envelope, simply  
15 because of the way that we complete the overpressured  
16 wells.

17 MR. HALL: I believe that's all I have, Mr.  
18 Examiner.

19 EXAMINER STOGNER: Mr. Carr, before I call you, I  
20 did fail to take into notice Exhibit Number 15, so I'll --  
21 That has been offered and accepted.

22 So Mr. Carr?

23 MR. CARR: I have no questions of Dr. Clarkson.

24 EXAMINER STOGNER: Let the record show that I  
25 believe Mr. Jim Bruce and Mr. Dean are no longer here.

## EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY EXAMINER STOGNER:

Q. I want to refer to your recovery profile from 2003 to 2033, and I believe the one you used was the Huerfano area; is that correct?

A. Yes, sir.

Q. Okay, I want to make sure that I'm reading this correctly. Okay, the blue line is the current well within the spacing unit; is that correct?

A. That is correct.

Q. And the green line would be the infill well without the original well producing?

A. Actually, the green line represents the parent well production performance in the presence of infill well development.

MR. KELLAHIN: Mr. Clarkson, would you take a moment and find that slide so the audience --

THE WITNESS: Oh, I'm sorry.

MR. KELLAHIN: -- can see what you're talking about?

Q. (By Examiner Stogner) Okay, my question was, the blue line, that represents the current well?

A. That's correct.

Q. And the green line represents the new infill well?

1           A.    It represents the same parent well, but with  
2   offset infill well performance.  In other words, you have  
3   one existing well in the 320, and that represents -- the  
4   cumulative profile associated with that would be the blue  
5   curve, and then the green curve would be that same single  
6   well but with offset infill well development.

7           Q.    Okay, that's where I was getting confused then.

8                    Now, the red line would represent the infill well  
9   just in that spacing unit?

10          A.    It would represent the two wells, the infill plus  
11   parent well.

12          Q.    Okay.  Now, I remember in your testimony there  
13   was something mentioned about the water production.

14          A.    Yes, sir.

15          Q.    But that was absent from the Davis area; is that  
16   correct?

17          A.    All three areas that we modeled showed a relative  
18   lack of historical water production.

19          Q.    Was this taken into account whenever the pilot  
20   areas were chosen, of the historical water production?  I'm  
21   taking it, it's low anyway in those areas.

22          A.    Yes, it is.  For the most part, although this  
23   isn't true for the entire underpressured envelope, a lot of  
24   the wells appear to be relatively dry in that they don't  
25   produce a great deal of water.  And so the pilot wells were

1 in areas where the reservoir is relatively dry.

2 Q. Did you see any effect on what little water  
3 production was there from the original well versus the  
4 infill well?

5 A. There's a potential for whatever water production  
6 data -- or pardon me, the parent well may have produced  
7 some historical water production and hence it may have  
8 impacted the performance initially of those wells, but  
9 there does not appear to be any impact of water production  
10 performance on the infill location.

11 EXAMINER STOGNER: I have no other questions of  
12 this witness.

13 MR. BROOKS: I have nothing.

14 EXAMINER STOGNER: No follow-up, you may be  
15 excused.

16 MR. KELLAHIN: That concludes our presentation on  
17 behalf of Burlington.

18 EXAMINER STOGNER: Okay, let's take a 10-minute  
19 recess. And which one will go next?

20 MR. CARR: BP will go next, our witness will be  
21 Rusty Riese.

22 EXAMINER STOGNER: Okay, why don't you turn your  
23 microphones off at this time?

24 (Thereupon, a recess was taken at 2:40 p.m.)

25 (The following proceedings had at 3:00 p.m.)

1 EXAMINER STOGNER: Okay, we'll go back on the  
2 record at this point.

3 Let's see, Mr. Kellahin, you've finished up  
4 Burlington?

5 MR. KELLAHIN: We've concluded.

6 EXAMINER STOGNER: Okay, Mr. Carr?

7 MR. CARR: May it please the Examiner, at this  
8 time we call Rusty Riese, BP America, Inc.'s, geological  
9 witness.

10 RUSTY RIESE,  
11 the witness herein, after having been first duly sworn upon  
12 his oath, was examined and testified as follows:

13 DIRECT EXAMINATION

14 BY MR. CARR:

15 Q. Would you state your name for the record, please?

16 A. My name is Rusty Riese.

17 Q. Spell your last name.

18 A. R-i-e-s-e.

19 Q. Where do you reside?

20 A. I reside in Katy, Texas.

21 Q. And by whom are you employed?

22 A. I'm employed by BP America.

23 Q. What is your position with BP America?

24 A. My job title is consulting geologist.

25 Q. Have you previously testified before the New

1 Mexico Oil Conservation Division?

2 A. I have not.

3 Q. Could you briefly summarize your educational  
4 background for the Examiner?

5 A. My educational background is a bachelor's of  
6 science in geology from New Mexico Tech in 1973, a master's  
7 and a PhD, both in geology, from the University of New  
8 Mexico, in 1977 and 1980 respectively.

9 Q. Since graduation, for whom have you worked?

10 A. Since graduation I have worked for the New Mexico  
11 Bureau of Mines and Mineral Resources, Gulf Minerals,  
12 Anaconda, various divisions of Atlantic Richfield, Vastar,  
13 when Atlantic Richfield spun Vastar off, and now, because  
14 of acquisitions, I'm with BP.

15 Q. Mr. Riese, did you actually testify in the  
16 Colorado case where infill development was approved in the  
17 year 2000?

18 A. Yes, I did.

19 Q. And are you familiar with the Application filed  
20 in this case on behalf of the Fruitland Coalbed Methane  
21 Study Committee?

22 A. Yes, I am familiar with it.

23 Q. Are you familiar with the Basin-Fruitland Coal  
24 Gas Pool?

25 A. Yes, I am.

1 Q. Have you made a geological study of this  
2 reservoir?

3 A. Yes, I have.

4 Q. And are you prepared to share the results of that  
5 work with Mr. Stogner?

6 A. Yes, please.

7 Q. Has your study involved properties on both sides  
8 of the New Mexico and Colorado state line?

9 A. Yes, it has.

10 MR. CARR: We tender Mr. Riese as an expert  
11 witness in petroleum geology.

12 EXAMINER STOGNER: Mr. Riese, when you said on  
13 both sides of the state line, are you talking on the San  
14 Juan Basin?

15 THE WITNESS: Yes.

16 EXAMINER STOGNER: Inclusive or --

17 THE WITNESS: Colorado portion of the Basin and  
18 the New Mexico portion of the Basin.

19 EXAMINER STOGNER: Okay, and not the Raton Basin?

20 THE WITNESS: I have also worked in the Raton  
21 Basin, but I was referring just to San Juan.

22 EXAMINER STOGNER: Okay, you said you were at New  
23 Mexico Tech --

24 THE WITNESS: Yes.

25 EXAMINER STOGNER: -- in 1973?

1 THE WITNESS: Yes.

2 EXAMINER STOGNER: Do you know Mr. Roy Johnson?

3 THE WITNESS: Intimately.

4 EXAMINER STOGNER: Okay, are there any  
5 objections?

6 MR. HALL: No objection.

7 MR. CARR: We would request that you do not hold  
8 that against Mr. Riese.

9 THE WITNESS: Please.

10 MR. CARR: And we've tendered him as an expert in  
11 petroleum geology.

12 EXAMINER STOGNER: So accepted.

13 Q. (By Mr. Carr) Would you initially summarize what  
14 it is that BP seeks in this case?

15 A. BP's aggregate testimony this afternoon is  
16 intended to provide support of amendment to Rule 7 to  
17 authorize infill drilling of up to two wells within a  
18 standard 320-acre gas spacing and proration unit by  
19 increasing the well density from the current one well per  
20 320-acre unit to two wells per 320-acre unit, or 160-acre  
21 infill development.

22 We also wish to provide additional testimonial  
23 support for a poolwide 160-acre infill development. We  
24 hope to oppose effectively proposals for separate rules and  
25 procedures for the low-productivity area and the high-

1 productivity area as they have been discussed today.

2           And we wish to enter this aggregate testimony in  
3 support of the recommendation of the Study Committee to  
4 determinate the Cedar Hill Basin-Fruitland Coal Gas Pool  
5 and the concomitant expansion of the Basin-Fruitland Coal  
6 Gas Pool.

7           My specific contribution to those efforts will be  
8 to briefly try to demonstrate the correlations between the  
9 New Mexico portion of the Basin and the Colorado portion of  
10 the Basin, thereby demonstrating that the engineering data  
11 which will follow mine is appropriately applied across the  
12 state line, irrespective of where the data were gathered,  
13 and thereby help you see what kind of case studies we have  
14 available for the high-pressure/high-productivity area that  
15 Burlington did not have the data to speak to.

16           I will also be specifically speaking to  
17 elaboration of some of the discontinuities, via  
18 illustration, that the previous speakers, specifically Jim  
19 Fassett and Steve Thibodeaux, referred to.

20           Q.    Have you prepared certain exhibits for  
21 presentation here today?

22           A.    Yes, I have.

23           Q.    And are those contained behind Tab 10 in the  
24 exhibit book?

25           A.    Yes, they are.

1 Q. Let's go to the first of those exhibits, a  
2 location map, and I would ask you to review the information  
3 on that exhibit for Mr. Stogner.

4 A. The map that's before you in the book and on the  
5 screen is a map of the northern portion of the total Basin.  
6 The state line between Colorado and New Mexico is shown in  
7 green. The dark political boundaries are township and  
8 section lines. The beige-and yellow-curvilinear feature  
9 that sketches itself through the northwestern piece of the  
10 map area and then swings out through the northeastern  
11 portion of the map area is the Fruitland-Pictured Cliff  
12 outcrop.

13 The red lines that trace themselves across this  
14 map are our interpretation, my interpretation, of the  
15 magnetic features that are present in the basement.

16 Typically, a geologist interprets variations in  
17 magnetic field as indications of fault offsets, and my  
18 intention in showing this particular map is to indicate  
19 that the basement architecture of this basin does not  
20 change from the New Mexico portions up into the Colorado  
21 portions. And it's this basement architecture which was  
22 established longer than 300 million years ago which  
23 establishes the locations of the various Pictured Cliffs  
24 beaches and Fruitland swamps through the late Cretaceous  
25 time.

1 I reinforce that point by having several other  
2 features on this map.

3 To the southwest are some lavender or pale purple  
4 marks and lines which show linears in the high-productivity  
5 areas of the Pictured Cliffs. So those are Pictured Cliffs  
6 sandstone trends. And we typically interpret those areas  
7 with high Pictured Cliffs productivity, high gas rates,  
8 high cums are in the heart of beach complexes. And as you  
9 can see, there's a strong correlation between the locations  
10 of those high-productivity areas and the underlying  
11 basement fractures and subtle faults which we think created  
12 the accommodation space for them to be deposited in.

13 Further to the north and east are a series of  
14 blue lines with dates on them, and those correspond to the  
15 beach lines and dates that Jim Fassett testified to  
16 earlier, and those are in fact his lines from his 2000  
17 publication in Professional Paper 1625. And what you  
18 should see there again is the strong correlation of those  
19 paleo-beach lines as he interpreted them in and about the  
20 Fruitland with the underlying basement features.

21 Q. Go down to your isopach map, which is the second  
22 exhibit behind Tab 10.

23 A. The succeeding map is an isopach, it's a gross  
24 isopach. It's much cruder, with apologies to Mr. Fassett,  
25 than the material that Steve Thibodeaux provided during his

1 testimony.

2 I provide this only as a brief revisit to the  
3 fact that the depositional systems of the Fruitland  
4 consistently carried themselves from New Mexico into  
5 Colorado as the beaches retreated during the late  
6 Cretaceous out to the north.

7 We also are using this map to show where we're  
8 going to place a cross-section line, and you can see the  
9 trace of that cross-section line in red through the central  
10 portion of that map area.

11 Q. Let's go to the cross-section and review that for  
12 Mr. Stogner.

13 A. The cross-section is on the following page. And  
14 as with the previous witnesses, I have to apologize for the  
15 difficulty in reading its scale, so I'll try to make it as  
16 simple for you as I can.

17 This is a southwest-to-northeast section that was  
18 initially constructed using every well, so two wells per  
19 section.

20 We then extracted alternate wells in an effort to  
21 condense it so that we could get it to one page and present  
22 it to you here in this format.

23 The yellow shading that you see on the individual  
24 well traces is intended to indicate the presence of sand.  
25 The lowermost yellows, which are accentuated by a gray-blue

1 highlighting between them are intended to be the Pictured  
2 Cliffs.

3 On the extreme right hand of the section on the  
4 northeast end you can see that there are two of those  
5 intervals. Those are intended to represent the primary  
6 main Pictured Cliffs body, as well as that upper secondary  
7 body that is commonly referred to in the industry as the  
8 Pictured Cliffs tongue.

9 In red are the various coal intervals, and the  
10 coal intervals here are lithostratigraphic intervals that  
11 were interpreted in the same manner that you heard Mr.  
12 Fassett discuss earlier. We used a 1.75-grams-per-cubic-  
13 centimeter cutoff.

14 The pale greens and blues that are scattered  
15 through the upper section are simply silts and mudstones.  
16 The point that we want to make with this particular exhibit  
17 is that the discontinuity that one can perceive in the  
18 total Fruitland section, the total section that carries  
19 little red blips in it to the southwest, is very similar in  
20 character to what you see to the northeast in Colorado.

21 We also want to make the point that while we  
22 don't necessarily correlate coal packages as extensively as  
23 Mr. Thibodeaux has described, neither do we see them to be  
24 quite as stratigraphically or depositionally discontinuous  
25 as what Jim Fassett was speaking to.

1           Our position is that there are discontinuities in  
2 the coal such as both of those people described to you  
3 earlier. We simply see them at slightly different scales.  
4 This is a way of illustrating that and illustrating the  
5 offlap that each of those previous witnesses spoke to.

6           The discontinuities that are within those coals  
7 are specifically the discontinuities to which I want to  
8 speak, because both of those witnesses brought those  
9 features up. But other than speaking to the one channel  
10 that Mr. Thibodeaux described in the northeastern portion  
11 of the study area, there really wasn't much other reference  
12 made to the specifics of what they might look like, and  
13 that's the direction I would like to go.

14           So if I ask you to go to the next exhibit, what  
15 you will see will be a vegetation map of the Okeefenokee  
16 swamp.

17           Now, Mr. Thibodeaux offered -- and let me say as  
18 I move into this series of comments, I don't disagree with  
19 anything that Steve said regarding vegetation and  
20 variations in vegetation type and how those vegetation  
21 types will influence the kind of coals that are deposited.

22           He, however, only described in his Mahakam delta  
23 example about three, four, five different kinds of  
24 vegetation types.

25           This particular map in the Okeefenokee swamp,

1 which is a back-barrier-swamp environment similar to what  
2 we think big pieces of the Fruitland were deposited in,  
3 documents that there are perhaps two dozen different kinds  
4 of vegetation types, each indicated by a change in color.

5 And the point that I need to make with you and  
6 want to leave with you is that swamp environments such as  
7 the Mahakam delta or the Okeefenokee swamp are very dynamic  
8 environments, and you're not going to get the same tree  
9 type growing in the same geographic location for two or  
10 three million years at a time.

11 So as you picture the way the Fruitland  
12 developed, you have to allow in your imagination, if you  
13 will, that this map re-sorts itself every time we get  
14 another millimeter of deposition, and that through the  
15 course of Fruitland Coal deposition we probably replicated  
16 this type of map area by scrambling the colors hundreds of  
17 times, and those variations are what give us the variations  
18 in the vertical stratigraphy. Those variations are how we  
19 get lateral variability in the Fruitland.

20 And as well, what's wandering through this  
21 particular swamp is the Suwannee River, which is this  
22 feature right here. There's the Suwannee River, working  
23 its way back up through here. We also see places where it  
24 has either allowed the coals to be scoured out underneath  
25 it, or where coal has abandoned the channel and coals have

1 draped themselves across the top of it.

2 And it's illustrations of those kinds of  
3 discontinuities that I'm hoping to move to with my next  
4 series of illustrations.

5 Q. Let's go to the photographs, let's go to the  
6 first one, entitled "Channel Truncation of Coals".

7 A. The exhibit before you is a photograph taken of  
8 the highwall at the San Juan Mine, which is just east of  
9 Farmington here, and what it shows is a coal sequence right  
10 here, which I think probably shows up better in the hard  
11 copies, and which is completely scoured out at that point  
12 by this channel.

13 This white rock is a fluvial system, this coal  
14 has been scoured. The one underneath it carries all the  
15 way across, and was not scoured.

16 These are the kinds of reservoir discontinuities  
17 that might cause us to lose 30, 40, 50 or 60 percent of our  
18 producing section within a very short distance from a  
19 wellbore, and they're also the kinds of discontinuities  
20 that we are completely unable to map in the subsurface with  
21 data at the scale that they're acquired in the oil and gas  
22 industry.

23 Moving on to the next illustration, what I would  
24 like you to see here is some of those hundreds of  
25 repetitions in migrations in the vegetation through time.

1 This is also a photo graph in the highwall of the San Juan  
2 Mine, and I'd like you to see two things in this figure.

3 First, I would like you to look at the whole  
4 texture of this highwall and see that there are variations  
5 in the way the rock is weathering, the way it is crumbling  
6 and failing in the highwall. There are pieces that are  
7 very resistant right here, there are pieces that are less  
8 resistant here, there are pieces with variable levels of  
9 resistance here. And I've indicated sequentially the  
10 middle of the section, the lower third or so, and then very  
11 close to the top with those three points.

12 EXAMINER STOGNER: Okay, if I may --

13 THE WITNESS: Yes, sir.

14 EXAMINER STOGNER: -- I think what you're  
15 saying -- I want to make sure that this gets in the record.  
16 Would you go over those areas, but describe them as  
17 you're -- instead of "here", "here" and "here", because I  
18 think this needs to be on the record.

19 THE WITNESS: Certainly. I'm going to move  
20 myself, for clarify, to the hard copy that I have before  
21 me, and then try to follow for the rest of the audience, if  
22 that's appropriate, as I move forward.

23 From just before the center of this figure there  
24 are two individual coalbeds that are perhaps a foot or so  
25 thick each. One is here, and one is there.

1 Q. (By Mr. Carr) Okay, where is "here" and "there"?

2 A. Right smack in the middle of the section.

3 Q. Running across it?

4 A. Running laterally, left to right. All of the  
5 bedding here is shown horizontally.

6 And what should be seen, as one looks at either  
7 of these two beds and moves either to the left or to the  
8 right, is that the character in the way that bed erodes  
9 changes: The amount of structural cleating and fracturing  
10 that is restricted to the bed either increases or decreases  
11 as one moves left to right across the figure, staying  
12 within the confines of that bed. What that speaks to is  
13 variations in the kinds of coal macerals which form the bed  
14 and the kinds of vegetation that were there initially.

15 At a finer scale, if one looks just underneath  
16 those two thick, one-foot-thick beds in the center of the  
17 section, one will see a beige clastic layer. This is one  
18 of the ashfalls such as Mr. Thibodeaux described in his  
19 earlier testimony. It's in the middle of the photograph,  
20 runs left to right across its whole extent, and this is a  
21 time marker.

22 Immediately under that are some coals that are  
23 much more finely bedded. Those coals, in turn, represent  
24 -- in the foot or so of thickness that they show, represent  
25 differences in vegetation type that are beyond what the

1 earlier beds described show. My point in all of this is  
2 that as one looks at vertical variations in the  
3 stratigraphy, one should expect to see those same  
4 variations laterally. That's a fundamental principal in  
5 stratigraphy called Walther's principle.

6 And so the kinds of discontinuities that Mr.  
7 Thibodeaux was alluding to in his testimony at the Mahakam  
8 delta and that I'm trying to illustrate with the  
9 Okeefenokee swamp metaphor and that I'm trying to show you  
10 here in the Fruitland proper are all things that should be  
11 taking place on a scale of anywhere from 80 to 160 to 320  
12 acres. That's the size of the individual color blobs that  
13 one sees in the Okeefenokee swamp metaphor, and we're very  
14 confident that that's a good example for a Fruitland-type  
15 swamp, because we get many of the same trace fossils in the  
16 Fruitland as we see in current species in that swamp.

17 So the current -- the present being the key to  
18 the past, we think that we've got a pretty good handle on  
19 how rapidly the vegetation can change and how small our  
20 reservoir performance units or drainage areas can therefore  
21 be on a bed-by-bed basis.

22 Now, this so far has spoken only to stratigraphic  
23 variations. The kinds of variations and reservoir  
24 performance unit truncations that have not been spoken to  
25 and which I feel very strongly need to be illustrated are

1 shown in the next couple of figures.

2 Q. Go to the next photos and review the faulting  
3 that you see there.

4 A. And again, I will -- because of clarity issues on  
5 the screen versus the hard copy, for the purposes of you,  
6 the Examiner, I will go through the hard copy and then  
7 revert back with pointer for the purpose -- for assistance  
8 to the audience.

9 What one should see in the lowermost portion of  
10 this highwall -- This is a highwall photograph of the  
11 Navajo Mine highwalled that at the time I took this  
12 photograph was approximately a mile and a half long. So we  
13 would have had three 320-standard-spacing-unit wells  
14 represented in this highwall, one at each end and one in  
15 the middle.

16 Near the very base of the highwall is a coal bed  
17 that is probably not visible to the audience but which is  
18 about four feet thick. In the very center of the  
19 photograph one can see that it has been offset by a fault  
20 and that the right-hand side is downthrown relative to the  
21 left-hand side. One can also see in the hard-copy  
22 illustrations that that offset is approximately -- the  
23 fault offset is approximately equal to the thickness of the  
24 bed, or about four feet.

25 If one traces the fault upsection to the left,

1 one lands at the next coalbed, which is in the southeastern  
2 portion of the northwest quadrant of the photograph, and  
3 one can see that the fault is still there but that the  
4 amount of offset has significantly diminished.

5 Moving up the fault a little bit further, we come  
6 to coalbed number three, which is a very, very thin bed and  
7 which now shows only a fold. And if we move vertically up  
8 the wall from there to coalbed number four, we can see that  
9 there is neither a fault nor a fold.

10 The fault that I've just described to you is what  
11 we describe as a lystric normal fault. You can see from  
12 the illustration that it has a curved, concave upward  
13 profile, and that as you approach the floor of the mine it  
14 will become asymptotic or tangential to the bed.

15 Lystric faults such as this are growth faults,  
16 they occurred during sedimentation, and that's how one  
17 explains the change in throw from its lower reach to its  
18 upper reach. As sediments were accumulating on the right-  
19 hand side of the picture, they were pushing and settling  
20 faster than the sediments on the left-hand side of the  
21 picture, and we were creating structural discontinuities at  
22 the time of sedimentation.

23 Now, the significance of that in terms of the  
24 data that we acquire is that there is no database that we  
25 are capable of generating in either the seismic, the

1 petrophysical or the geologic world that can find that sort  
2 of thing in the subsurface unless we drill through it  
3 specifically or unless we are in very close proximity to it  
4 and can see it in pressure-transient testing.

5           If we were to construct geologic maps on these  
6 individual beds, coalbeds, the one through four that I've  
7 already enumerated for you, what one would see would be a  
8 very, very smooth structural slope as one moved all the way  
9 across this highwall from one end to the other. So we  
10 can't even see these things with very, very detailed  
11 mapping.

12           EXAMINER STOGNER: Before you go on, let's go  
13 back to -- you used a terminology that I'm not familiar  
14 with, and that's the lystric fault. Do you want to spell  
15 that?

16           THE WITNESS: Lystric is spelled variously,  
17 l-y-s-t-r-i-c or l-i-s-t-r-i-c. Those faults are most  
18 commonly found in passive continental margins, in deltaic  
19 settings where there is a tremendous amount of  
20 sedimentation taking place. So they occur, for example, in  
21 the Niger delta, in the Amazon delta, in the Mississippi  
22 delta. They can have throws of tens of thousands of feet.

23           And as they develop, one of the features that is  
24 unique to their downthrown side is that they develop an  
25 anticlinal flexure. As the downthrown side continues to

1     subside and slide down that fault, what will happen is that  
2     rock further from the fault stays high.

3             And so if you look at coalbed number two,  
4     numbering from the bottom up, and you start at the fault  
5     and move to the right, you can see that structurally you're  
6     moving updip just a little bit and then back down again.  
7     Those features are called rollover anticlines.

8             And I bring that to your attention because those  
9     are the dominant -- or have been the dominant oil and gas  
10    exploratory targets in big pieces of the offshore Gulf of  
11    Mexico for many years. So this kind of fault structure and  
12    its genesis have been very well studied and documented.  
13    It's not something that I'm making up, in other words.

14            EXAMINER STOGNER: You do know Roy.

15            (Laughter)

16            Q. (By Mr. Carr) All right, let's go to the next  
17    photograph.

18            A. As I described just a moment ago, those faults  
19    become parallel to bedding, and at some point in there,  
20    their distal reaches, as they continue to slide, we have to  
21    have a material balance in the rock that's being moved.  
22    You can't just slide it forever.

23            And so what we see again in the Gulf of Mexico,  
24    and what we see here, is that at some point out  
25    downstructural dip whose distance is determined by the

1 thickness of the section and the competency of the rock,  
2 that fault will start climbing section again. And as it  
3 does, what it will create will be a series of features that  
4 look like thrust faults.

5           And so in the central left portion of this figure  
6 what you will see is that there are two coalbeds in very  
7 close proximity to one another, one a quarter of the way up  
8 through the photograph, another about a third of the way up  
9 through the photograph. The upper of those two has a very  
10 much broken top surface. Those are the places where these  
11 little faults are coming off the lystric and are creating  
12 above that in this next thin little coal bed, a whole  
13 series of fault-propagation folds.

14           All of these faults that are shown in the upper  
15 of the lower two beds -- so the one that's about a third of  
16 the way up -- all of those would constitute reservoir  
17 continuities sufficient to stop lateral flow of  
18 hydrocarbons, and these cannot be mapped. These are soft-  
19 sediment features, these occurred during sedimentation.

20           And then finally, there's one last figure which  
21 shows one more fault, and this is the last of the exhibits  
22 that I have prepared to show you. This particular fault  
23 you will see -- I'm moving from the lower right to the  
24 upper left -- there's a clear discontinuity in the rock  
25 bedding across it.

1           What I would draw to your attention is that the  
2   offset at the lowermost contact of the coal and the offset  
3   at the uppermost contact of the lower coal package are  
4   approximately the same, that the offset on that thin little  
5   single, couple-inch-thick stringer that's in the upthrown  
6   side on the left of the photograph, and its counterpart on  
7   the downthrown side on the right-hand side of the  
8   photograph are about the same displacement as what we saw  
9   at the bottom.   What this suggests is that this fault  
10  occurred after sedimentation, it is not lystric.

11           However, if one continues up the fault we can see  
12  that as you move across it and look at offsets on  
13  succeeding beds, that offset diminishes.   And so this  
14  appears to be a fault that has some post-depositional  
15  movement on it, some syn-depositional movement on it, and  
16  may actually even be spinning off a little lystric piece  
17  right in through here, and that's what that little curve  
18  and drag may be related to.   These are again features that  
19  we cannot see and are probably as young as Oligocene in  
20  age.

21           And those are the last of the exhibits that I  
22  have prepared from my studies.

23           Q.   What conclusions can you draw from this geologic  
24  work in the Basin-Fruitland Coal?

25           A.   Well, the primary conclusions that I have drawn

1 are these: First, that the rock on the New Mexico portion  
2 of the Basin is very much like the rock on the Colorado  
3 portion of the Basin, and that's consistent with the  
4 testimony that's been offered by both the Burlington people  
5 and Mr. Fassett.

6 The second conclusion that I draw is that there  
7 are any number of reservoir discontinuities that can simply  
8 not be mapped, that can be very effective in terms of  
9 occluding permeability along bedding, prohibiting drainage  
10 of the reservoirs, and that the frequency with which they  
11 occur in the mine highwalls where I have investigated them  
12 would suggest to me that 320-acre spacing is nowhere near  
13 sufficient for adequate drainage of the resource present  
14 here.

15 I would also conclude from the work that I have  
16 done that the rock, because it is similar on both sides --  
17 all portions of the Basin -- should exhibit similar  
18 engineering characteristics, and I have been trying to  
19 thereby set the stage for the engineering testimony that  
20 Mr. Dinh is going to offer following my discussions.

21 Q. You agree with Mr. Fassett that there is  
22 substantial discontinuity throughout this reservoir?

23 A. Absolutely, there is.

24 Q. And do you see any difference between the area --  
25 the fairway and the remainder of the reservoir?

1           A.    My studies do not show any difference in the  
2    scale of discontinuities or their presence or absence from  
3    the high-productivity area into any other portion of the  
4    Basin.

5           Q.    From your geologic study can you conclude that  
6    infill drilling is warranted throughout this pool and  
7    reservoir?

8           A.    Yes, I do conclude that infill drilling is  
9    warranted.

10          Q.    Were BP America exhibits, the nine exhibits  
11    behind Tab 10, prepared by you or compiled at your  
12    direction?

13          A.    Yes, they were.

14          Q.    Can you testify as to their accuracy?

15          A.    They are as accurate as I am able to make them.

16          MR. CARR:  Mr. Stogner, at this time we'd move  
17    the admission into evidence of the BP America, Inc.,  
18    exhibits behind Tab 10.  There are nine of them.

19                EXAMINER STOGNER:  The nine exhibits behind Tab  
20    Number 10, or Exhibit 10 in this matter, if there's no  
21    objection --

22                MR. HALL:  No objection.

23                EXAMINER STOGNER:  -- will be accepted.

24                MR. CARR:  That concludes my direct examination  
25    of this witness.

1 EXAMINER STOGNER: Thank you, Mr. Carr.

2 Mr. Kellahin?

3 MR. KELLAHIN: No questions.

4 EXAMINER STOGNER: Mr. Hall?

5 MR. HALL: Thank you, Mr. Hall.

6 EXAMINATION

7 BY MR. HALL:

8 Q. Mr. Riese, of the evidence you've presented to  
9 Mr. Stogner today, you have a cross-section across Mr.  
10 Fassett's isopach that runs from Cedar Hill area up to  
11 Ignacio, correct? And then you also have your photographic  
12 stratigraphy of the San Juan Mine, and that's -- What would  
13 you say? Ten miles northwest of the City of Farmington?  
14 Is that about right?

15 A. Ten miles northwest is probably a good guess, and  
16 this section, I think, is actually somewhat further west  
17 than Cedar Hill.

18 Q. Okay. And your other photographs are from the  
19 Navajo Mine area, and that's just about due west of  
20 Farmington another ten miles; is that right?

21 A. Yes, those two mines are within two or three  
22 miles of one another, and they straddle the highway  
23 straight west of town, Navajo to the south, San Juan to the  
24 north.

25 Q. You're presenting no evidence today that might

1 indicate to us or the Hearing Examiner what the conditions  
2 might be within the high-productivity area, are you?

3 A. I have shown you no specific data other than the  
4 cross-section which goes from within that high-productivity  
5 up into a lower-productivity area to the north and shown  
6 that the stratigraphic character is very similar, the level  
7 of discontinuity in the coals as we map it with well logs  
8 is very similar.

9 Q. Is it your testimony, then, that the truncation  
10 you've shown in your photographs and the discontinuities  
11 that are evident in the photograph also occur within the  
12 center of the high-productivity area?

13 A. They should occur in the center of the high-  
14 productivity area and throughout the rest of the Fruitland  
15 subcrop.

16 Q. Of any areas within the Basin-Fruitland Coal  
17 Pool, isn't it the case that there's likely to be more  
18 continuity of these coal features within the high-  
19 productivity area than anywhere else?

20 A. No, I don't see that we can make that argument.

21 Q. Okay. In your capacity with BP, have you been  
22 involved in planning BP's drilling program for the  
23 Fruitland Coal Pool?

24 A. I have been involved in past programs. I have  
25 not been involved in any of the programs forward looking

1 for this year or next year.

2 Q. Okay, so you wouldn't know, then, what BP's  
3 drilling programs are looking forward then?

4 A. The only drilling program that I have awareness  
5 of is the Colorado infill drilling, and the anticipation  
6 there is that we will continue drilling approximately 50  
7 wells a year for the next years.

8 MR. HALL: All right, nothing further, Mr.  
9 Examiner.

10 EXAMINER STOGNER: Any redirect?

11 MR. CARR: No redirect.

12 EXAMINATION

13 BY EXAMINER STOGNER:

14 Q. When I look at your photos, what kind of  
15 vertical --

16 A. -- scale?

17 Q. -- scale am I looking at, yes?

18 A. Yeah, I apologize for not having a scale here,  
19 but I'll point out in my defense that the miners don't let  
20 us get up to the highwall because they're afraid it's going  
21 to fall on us.

22 Having said that, if I move you through each of  
23 these and give you something specific to each one of them  
24 for scale, that might be the easiest way to do things.

25 In the first of the photographs, which is --

1 let's see if I can get myself backwards -- which is this  
2 one -- Am I in the right place?

3 MR. CARR: What is "this one"?

4 THE WITNESS: This one is the first of the  
5 photographs which is BP Exhibit Number 5 [sic] --

6 Q. (By Examiner Stogner) And it's entitled "Channel  
7 truncation..."

8 A. "Channel truncation of coals". And the coal  
9 which is -- I'm sorry, which is truncated right here, which  
10 is more clearly viewed in your hard copy, is actually two  
11 little beds that are each about a foot and a half thick.  
12 So a total coal interval there of about three feet. So  
13 there's a scale mark for the first -- for BP Exhibit Number  
14 5.

15 If I move to the next one, BP Exhibit Number 6, I  
16 spent quite a bit of time talking to you about those two  
17 prominent beds that are approximately in the center of the  
18 interval, in the center of the photograph, and we discussed  
19 their lateral variability at some length. Each of those is  
20 approximately one foot thick.

21 If I move to BP Exhibit Number 7, which is the  
22 one -- "Syndepositional faulting in the Fruitland...at  
23 Navajo Mine", with the sunshine in our eyes, and I move to  
24 the lowermost bed, which is in the shadow on the projection  
25 screen, but which is clearly visible in your hard copies,

1 that lowermost bed is approximately five feet thick.

2 And if I move to BP Exhibit Number 8, where we  
3 show syndepositional faulting in the thrusting features,  
4 the bed which shows the thrusting and the discontinuity on  
5 the left-hand side of the photograph is about two feet  
6 thick, just the distorted piece from -- there's a -- if one  
7 can see that this whole coal section is separated by a  
8 clastic interfinger, so if I just refer to the rock from  
9 that clastic interfinger up, we're looking at approximately  
10 two feet.

11 And in the very last photograph, BP Exhibit  
12 Number 9, the lowermost coal on the upthrown side, right  
13 smack in the middle of the photograph, left to right and  
14 about a third of the way up from the bottom, that coal is  
15 about a foot thick.

16 Is that adequate for scaling?

17 Q. Yes, I appreciate that.

18 Back to the photos again, now the photos in which  
19 you have, what would they correlate -- to which of the red  
20 sections in your cross-section? Would they be the lower,  
21 the upper or --

22 A. Oh, my. That's very difficult to say, because I  
23 have not tried to correlate from the Basin back up into the  
24 mines, so I don't think I can answer your question.

25 Q. But that coal is productive deeper on as you go

1 to the north and east from the coal area past Farmington  
2 toward Durango, this is a gas-producing coal seam or --

3 A. Oh, yes, as one moves north and east from the  
4 areas of the mines and you drop into the axis of the Basin  
5 and then come back up again, all of the coals that are  
6 present in the wellbores that my heritage companies,  
7 Vastar, have completed and drilled through are productive.

8 I would hasten to add for further amplification  
9 on that, that at one point Vastar undertook a recompletion  
10 program that involved sidetracking to try and capture  
11 reserves that were in some of these coals that were only a  
12 foot or two thick, and we found that the results were  
13 certainly warranted economically and that we could get very  
14 good rates out of some very thin coals if they had the  
15 proper low density/high-vitrinite contents.

16 So I guess I'm trying to summarize the answer to  
17 what you probably intended as a simpler question than what  
18 I'm turning it into by saying that even though these look  
19 quite thin, and even if they stayed thin into the Basin,  
20 they would still be things that we would target.

21 EXAMINER STOGNER: Any other questions?

22 You may be excused.

23 THE WITNESS: Thank you.

24 EXAMINER STOGNER: Mr. Carr and Mr. Kellahin, are  
25 you going to maybe present another exhibit in the form of

1 an airline ticket so we can go Okeefenokee or perhaps the  
2 other delta?

3 (Laughter)

4 MR. KELLAHIN: Mr. Carr said he'll take us all.

5 MR. CARR: Only if Mr. Kellahin stays behind.

6 (Laughter)

7 EXAMINER STOGNER: We can discuss that later.

8 MR. BROOKS: I once presided over a trial of a  
9 case that involved title to a hotel in Acapulco, and I  
10 tried to persuade counsel that we needed an *in-camera*  
11 inspection of that hotel, but they wouldn't accept the  
12 idea.

13 EXAMINER STOGNER: Now, you know where I go the  
14 idea from.

15 Mr. Carr?

16 MR. CARR: May it please the Examiner, at this  
17 time we'd call Vu Dinh, V-u D-i-n-h.

18 VU DINH,

19 the witness herein, after having been first duly sworn upon  
20 his oath, was examined and testified as follows:

21 DIRECT EXAMINATION

22 BY MR. CARR:

23 Q. Would you state your name for the record, please?

24 A. My name is Vu, spelled V-u, last name is Dinh,  
25 D-i-n-h.

1 EXAMINER STOGNER: If you could move that  
2 microphone up closer to you, that would be good.

3 Q. (By Mr. Carr) And where do you reside?

4 A. I reside in Katy, Texas.

5 Q. By whom are you employed?

6 A. I'm currently employed by BP America, Inc.

7 Q. And what is your position with BP America?

8 A. I am currently employed as a principal reservoir  
9 engineer.

10 Q. Have you previously testified before the New  
11 Mexico Oil Conservation Division?

12 A. No.

13 Q. Would you review your educational background for  
14 Mr. Stogner?

15 A. I graduated in 1984 with a bachelor in petroleum  
16 engineering from Colorado school of mines. I got my master  
17 of science in petroleum engineering from the University of  
18 Texas at Austin in 1993.

19 Q. And since graduation, for whom have you worked?

20 A. I've been employed as a petroleum engineer for  
21 the last 18 years by ARCO, Vastar and right now BP.

22 Q. Did you actually testify in the proceeding in the  
23 year 2000, which resulted in the adoption of the infill  
24 order in the State of Colorado?

25 A. Yes, I was the engineering expert witness in that

1 hearing.

2 Q. Are you familiar with the Application that's been  
3 filed in this case on behalf of the Fruitland Coalbed  
4 Methane Study Committee?

5 A. Yes.

6 Q. And are you familiar with the Basin Fruitland  
7 Coal Gas Pool?

8 A. Yes.

9 Q. Have you made an engineering study of the  
10 Fruitland Coal?

11 A. Yes.

12 Q. And has your study included work on both sides of  
13 the New Mexico-Colorado border in the San Juan Basin, in  
14 the Basin-Fruitland Coal Pool?

15 A. Yes.

16 Q. Are you prepared to share the results of that  
17 work with the Examiner?

18 A. Yes.

19 MR. CARR: We tender Mr. Dinh as an expert  
20 witness in reservoir engineering.

21 EXAMINER STOGNER: Any objection?

22 MR. HALL: No objection.

23 EXAMINER STOGNER: Mr. Dinh is so qualified.

24 Q. (By Mr. Carr) Now, Mr. Dinh, you studied the  
25 Carracas Canyon area, which we've previously discussed in

1 this hearing; is that correct?

2 A. That is correct.

3 Q. And so what we're going to do with your  
4 presentation is, we're going to start there, we're going to  
5 review that work and the methodologies you used to study  
6 that underpressured or normal, slightly underpressured  
7 portion of the San Juan Basin. That's where we start,  
8 correct?

9 A. That's correct.

10 Q. And then we're going to move your presentation to  
11 an overview of the results of infill drilling in Colorado?

12 A. Yes.

13 Q. And then we're going to narrow that and look at a  
14 couple of particular study areas on the New Mexico-Colorado  
15 border?

16 A. Yes.

17 Q. And then finally we're going to look at  
18 particular well pairs and study the benefits of and impact  
19 of infill drilling; is that right?

20 A. That's correct.

21 Q. All right, let's go to the Carracas Canyon study  
22 area. Let's go to your first slide -- they're behind  
23 Exhibit Tab or Exhibit Book Tab 11 -- and I'd ask you to  
24 first identify what this is and then review the information  
25 on this exhibit for Mr. Stogner.

1           A.    Yes, this is the contour map of the highest gas  
2           rate for the San Juan Basin, which clearly shows the high-  
3           rate fairway area, and those high rates are contoured and  
4           colored.

5                    Also on this map are the federal units for  
6           reference, and they are outlined in yellow.

7                    There are also five small squares, and those  
8           would be the Burlington infill pilot area that has been  
9           discussed previously. The large block toward the right-  
10          hand side is the Carracas Canyon area where I'm going to  
11          discuss the results. And then also I'd like to point out  
12          that, like you have mentioned, I'm going to discuss the  
13          high -- overpressure/high-productivity area adjacent to the  
14          state line in Colorado.

15          Q.    Now, when you studied the Carracas Canyon unit  
16          area, what were you trying to do?

17          A.    I was trying to determine the feasibility of  
18          getting an additional well in the existing 320-acre spacing  
19          unit.

20          Q.    All right, let's go to the next plat, the daily  
21          gas-production information.

22          A.    This exhibit is the bubble map of the daily gas  
23          production, and the size of the bubble represents the gas  
24          rate. For example, the largest bubble you see off toward  
25          the east side, that bubble represents a million cubic feet

1 a day.

2 One thing that you can notice is that there is  
3 clearly shown -- this map here or this exhibit clearly  
4 shows the variation in well performance across the study  
5 area. In particular, only 13 out of the 81 active wells  
6 are producing more than 100,000 cubic feet per day, and  
7 most of the prolific wells are located on the east side of  
8 the study area.

9 Q. Now, this looks at current rate?

10 A. That is correct.

11 Q. Let's go now to the next exhibit, and let's look  
12 at well performance over time in this area.

13 A. Whereas the previous area shows the well  
14 performance at a specific point in time, this exhibit --

15 Q. This exhibit --

16 A. -- right, this exhibit is a contour map of the  
17 cumulative production which shows the well performance over  
18 time. It's important to note that only 18 out of the 81  
19 active wells have produced more than 500 million cubic feet  
20 of gas.

21 Most of the production in the Carracas Canyon  
22 area is located on the east side of the study area, as  
23 highlighted by the darker contour lines.

24 Q. All right, let's go to the next exhibit.

25 A. Okay. This is the isopach map which shows the

1 coal-thickness distribution throughout the study area. The  
2 average net coal thickness for the Carracas Canyon averages  
3 about 22 feet, and it ranges from the thickest over on the  
4 west side of about 36 feet, to as low as 14 feet toward the  
5 east.

6 It's important to recall from the previous two  
7 exhibits that the highest rate and also the highest  
8 cumulative production is actually located over on the east  
9 side of the study area, where the coals are actually  
10 thinner than it is on the west side. The thicker coals are  
11 actually the low-productivity area.

12 Q. So when you look at this area you're not finding  
13 a correlation between well performance and thickness of the  
14 coal?

15 A. No, this exhibit really shows that the well  
16 performance is strongly influenced by permeability and not  
17 by coal thickness or any other gas storage parameter.

18 Q. All right. Let's now go to the pressure-gradient  
19 information on the next exhibit.

20 A. This exhibit shows the pressure-gradient history  
21 for all the wells in the Carracas Canyon area, and it's  
22 plotted over time, as you can see, that line connecting all  
23 those different dots.

24 Based on the initial gradient of -- average  
25 gradient of about .42 p.s.i. per foot here, obtained during

1 the 1989-to-1990 drilling program, the Fruitland Coal in  
2 Carracas Canyon appears to be slightly underpressured and,  
3 except for a few prolific wells, would show significant  
4 pressure decline, as you can see on the graph where the  
5 pressure gradient decreases significantly toward the bottom  
6 right of the plot.

7 Most of the wells experience only slight pressure  
8 depletion after about ten years of production, and that  
9 point is illustrated by the relatively flat slope of the  
10 different lines.

11 Another interesting point on this plot is that,  
12 if you notice on the right-hand side, right about the year  
13 2000, there are about seven open-square box symbols. Those  
14 are the pressure gradients for the seven newly drilled  
15 wells, and those wells encountered at or pretty close to  
16 the original reservoir pressure. What these data proves is  
17 that there's a lack of sufficient recovery from the  
18 existing wells in the Carracas Canyon area.

19 Q. Okay. Now let's go to the next exhibit and let's  
20 look at the material-balance calculation.

21 A. I'm going to spend some time explaining this  
22 plot. What this plot shows, this is a material-balance  
23 plot, and it shows the relationship between the cumulative  
24 gas production plotted on the X axis, versus a modified  
25 reservoir pressure plotted on the right Y axis.

1           The plot -- It's pretty simple. What it's saying  
2 is that as gas is produced the reservoir pressure is  
3 modified by -- the Langmuir pressure would decrease  
4 linearly.

5           The benefit of using this plot is that you can  
6 determine the gas in place by extrapolating the trend to  
7 zero pressure. For example, for this particular well, the  
8 original gas in place would be about 7.8 BCF of gas  
9 reserves, right here, as you can read off from the X axis.

10           Now, if you know the gas in place you can  
11 calculate the apparent drainage area by using the net coal  
12 thickness and also the gas content, you can back-calculate  
13 what the drainage area is.

14           For this area we used 21 feet of net coal and 509  
15 cubic feet per ton of average gas content. That would give  
16 you an apparent drainage area of 382 acres.

17           Q. This is one of the best wells in the area?

18           A. This is the best well, that is correct.

19           Q. And you had the kind of data that you need for  
20 this well to fully analyze it; is that correct?

21           A. Yes. Yeah, another important thing to notice is  
22 that, if you look at the straight-line relationship here,  
23 what that indicates is that the drainage -- is that at any  
24 point in the life of the well, the original gas in place,  
25 and therefore the drainage area, stay the same at 382

1 acres.

2 Also on this plot, I also show the actual gas  
3 rate, and those are the small dots below the dark line.  
4 You can also extrapolate the gas rate, and you can see that  
5 without rate-extrapolation both methods show that we're  
6 looking at the same ultimate recovery.

7 The problem with using the gas-rate trend is that  
8 it is strongly affected by operating conditions. For  
9 example, you see it curves here, where during the same  
10 period of time the material-balance plot is straight.

11 So that's the benefit of using material balance,  
12 is that the drainage area or the gas in place or ultimate  
13 recovery is not affected by operating conditions.

14 However, there is a problem in that material  
15 balance does require accurate and frequent pressure  
16 measurement, which we don't always have for all wells.

17 Q. Let's go to your next exhibit. Would you  
18 identify and explain that?

19 A. Okay. As I have mentioned, in the Carracas  
20 Canyon area there's only a few wells, seven to be exact,  
21 that have sufficient pressure data to do the detailed  
22 material-balance calculation.

23 Since both the drainage area and the cumulative  
24 production as a function of rate are both strongly  
25 influenced by permeability, we can establish a good

1 correlation between the parent drainage area and the  
2 cumulative production, as shown in this exhibit here.

3 And then what we can do is, we can use this  
4 correlation to determine the drainage area of all wells in  
5 the study area, as shown in the next exhibit.

6 Q. Okay, let's go there, and I ask you to review  
7 that.

8 A. This exhibit shows the apparent drainage for all  
9 wells in the study area determined either by material  
10 balance, or by the correlation if there's not sufficient  
11 pressure data. And the bubbles are a true-scale  
12 representation of the actual drainage area.

13 What this exhibit shows is that there are only  
14 three wells that have apparent drainage area greater than  
15 160 acres. Most of the wells have drainage areas of 160  
16 acres or less. This exhibit conclusively shows that an  
17 existing well in the existing 320-acre spacing unit is  
18 necessary to increase gas recovery and prevent waste.

19 Q. So what you've done is, you've developed this  
20 methodology, or employed this methodology, to establish  
21 that in this area, this slightly underpressured area,  
22 infill development is not only warranted but needed?

23 A. That is correct.

24 Q. All right. Now, I'd like for you to shift the  
25 focus of your presentation and talk generally about the

1 experience on the Colorado side of the line where infill  
2 drilling has been approved.

3 A. Since the actual infill results from Colorado are  
4 applicable to New Mexico, I'd like to show the impact of  
5 the actual infill drilling in relationship to the existing  
6 production.

7 There are several things to point out on this  
8 particular exhibit.

9 The lower line, in orange, shows the infill well  
10 count. And currently we're at about 300 infill wells.

11 The next line up, the purple line, that shows the  
12 existing or parents wells.

13 This blue-shaded area, that's the production from  
14 the existing wells. And then the green incremental-rate  
15 area, that's the infill response.

16 To describe the history real quick, there was  
17 limited downspacing started in 1997, as shown in the lower  
18 curve here, there's about four wells started by Vastar.  
19 Large-scale drilling, infill drilling, occurs in 1998, with  
20 the approval of the Mesa Mountain, and then in 2000 with  
21 the approval of the fieldwide downspacing by the COGCC.

22 It's important to note that in 1998 when infill  
23 drilling just gets started, the existing production from  
24 the parent well has already peaked and already started  
25 declining. Infill drilling in Colorado has maintained the

1 Colorado coalbed methane production to over a billion cubic  
2 feet a day, and currently it's contributing about 25  
3 percent of the total production.

4 Q. Let's move to the next exhibit, and I'd ask you  
5 to use this to review for Mr. Stogner the Colorado study  
6 areas and then focus on the areas in the New Mexico border  
7 that we're going to go into in detail.

8 A. This exhibit shows the different study area where  
9 extensive data was presented at the COGCC hearing in the  
10 year 2000. Of all the different study areas, really the  
11 two most important study areas are the Mesa Mountain area  
12 and also the high-pressure/high-productivity area adjacent  
13 to the state line. The data from those areas would be  
14 applicable to today's hearing.

15 Q. And where is the state line?

16 A. The state line is --

17 Q. Southern border?

18 A. The southern border of the exhibit, yes.

19 Q. Okay. Now, the data that you've collected here  
20 extends not only in the under produced area but -- or in  
21 the -- not only from the low-productivity area, but into  
22 the high-productivity area; is that correct?

23 A. Yes, the data presented to the COGCC includes  
24 both overpressured area and a little bit of the  
25 underpressured area. All the data I'm going to discuss

1 from now on actually just concentrate on the overpressured  
2 area adjacent to the state line.

3 Q. Okay, let's go to Exhibit Number 20. I'd like  
4 you to identify that and then explain what this shows.

5 A. This is Exhibit Number 11, and what it shows is  
6 the relationship between the rate, plotted on the X axis,  
7 versus the apparent drainage area, plotted on the Y axis.

8 Q. And Mr. Dinh, what we've got is, we've got  
9 Exhibit 20 behind Tab 11, correct?

10 A. That is correct, yes.

11 Q. And what we've got here is, we're showing a  
12 correlation -- State that again for me?

13 A. Okay, this shows the relationship between the  
14 average daily rate and the apparent drainage area as  
15 calculated from material balance, similar to what I have  
16 shown in the Carracas Canyon area.

17 And the reason why I cross-plotted the two is  
18 that, in general, the larger drainage area correlates with  
19 higher rates, since both are strongly influenced by  
20 permeability.

21 And one thing to -- It was kind of surprising to  
22 find out that when you look at the wells in the range of 3  
23 million to 5 million cubic feet a day -- those are highly  
24 prolific wells -- about 50 percent of those wells actually  
25 have apparent drainage areas less than 320 acres.

1           The other interesting thing to notice is that  
2 wells producing from 2 million to 3 million cubic feet a  
3 day are actually draining significantly less than 320  
4 acres.

5           Q.    Now, this data from 1999, that's from the Vastar  
6 area immediately north of the New Mexico-Colorado state  
7 line?

8           A.    That is correct.

9           Q.    In 1999, that is about at the time production in  
10 that area peaked; is that correct?

11          A.    That is correct.

12          Q.    If we look at this, the information you have  
13 here, the correlation you've been able to draw between  
14 drainage area and rate would be applicable in New Mexico as  
15 well as Colorado?

16          A.    That is correct, the Fruitland Coal doesn't care  
17 about political boundaries.

18          Q.    All right, and if we look at this, what kind of  
19 an average daily rate would you estimate is needed if, in  
20 fact, you're going to drain 320 acres?

21          A.    Based on the data we have gathered here, I would  
22 conclude that you're probably looking at greater than 5  
23 million to drain.

24          Q.    You pointed out a few moments ago that wells at a  
25 2 million daily producing rate would drain approximately

1 how many acres?

2 A. Based on this data here you can say for sure they  
3 would be draining less than 320, and I would conclude that  
4 the average -- if you average out this area here, you're  
5 probably looking at about 240 acres.

6 Q. Now, you know that the boundary between the high-  
7 productivity area and the low-productivity area that has  
8 come out of the Study Committee was drawn based on a  
9 producing rate of 2 million a day, that was the basis for  
10 that boundary?

11 A. That's correct.

12 Q. If the purpose of that boundary is to separate  
13 high-productivity wells from low-productivity wells, can  
14 you see any technical basis for using a 2 million daily  
15 rate as the basis for that?

16 A. Based on this data here, what I see is, all the  
17 wells from 2 million are producing less than 320s. I see  
18 absolutely no technical basis why that line would be  
19 chosen.

20 Q. What you've done here is, you've correlated rate  
21 and drainage area?

22 A. Yes.

23 Q. And why are you using rate and drainage area?  
24 Why is that the data you're using?

25 A. Okay, like I mentioned before, it's unusual to

1 obtain sufficient pressure data to do the actual material-  
2 balance calculation for every well. So the best thing that  
3 you can do is try to correlate the desired result, which is  
4 drainage area, with something that's easily obtainable,  
5 which is rate.

6 Now, the reason why I choose rate is that rate is  
7 strongly influenced by permeability, and drainage area is  
8 also strongly influenced by permeability. So by cross-  
9 plotting the two, you do get a sample relationship that you  
10 can use.

11 Q. And you get a reliable relationship that you can  
12 use?

13 A. That is correct, yes.

14 Q. Could you correlate drainage area with other  
15 factors?

16 A. You could correlate --

17 Q. Could you correlate --

18 A. Besides -- Well, you can try to correlate to  
19 other parameters such as net coal thickness or Langmuir or  
20 gas content. But as I have shown before in the Carracas  
21 Canyon, where you have the thinnest coal is actually, in  
22 that particular example, where you have the highest  
23 performance.

24 So net coal thickness or gas content is a poor  
25 indicator of what the drainage area is going to be, in my

1 opinion.

2 Q. And would you consider that kind of a correlation  
3 reliable?

4 A. No, it would be a shot in the dark.

5 Q. Let's go to the next exhibit, it's Exhibit 21,  
6 It's the New Mexico-Colorado border Fruitland Coal infill  
7 results behind Tab 11.

8 A. Okay.

9 Q. What does this show us?

10 A. This shows the actual infill result for the 21  
11 sections adjacent to the New Mexico state line. And the  
12 lower curve shows the rate contribution from the 28 infill  
13 wells. The red line, the top curve, shows the production  
14 from the 36 parent wells.

15 One thing to notice, that the initial rate from  
16 the infill wells are pretty close. They're about 80  
17 percent of the current rate of the parent well. Yet there  
18 is no apparent interference effect that you can see on the  
19 parent rate. Both the parent rates and the infill rates  
20 are continuing to incline. This would indicate that most  
21 if not all the infill rates are incremental recovery, not  
22 rate acceleration. And I do have some additional data to  
23 back up that statement.

24 Q. Are you ready to go to the next exhibit?

25 A. Yes.

1 Q. Let's go there and review that for Mr. Stogner.

2 A. This is -- It's a lot more obvious that the  
3 infill rates are incremental recovery when we examine the  
4 actual pressure data obtained from the infill wells.  
5 What's shown on here is a list of wells and what the  
6 pressure -- the infill pressure compared to the pressure at  
7 the same time for the parent well.

8 Most of the infill well initial pressures were at  
9 or near the original reservoir pressure, which in this area  
10 is about 1550 p.s.i.

11 On average, the infill initial pressure is at  
12 least 500 p.s.i. greater than the average pressure of the  
13 parent well. This large pressure differential between the  
14 infill and the parent well indicates that significant gas  
15 reserves would be unrecovered without infill wells.

16 Q. And these would be incremental reserves?

17 A. Yes, based on the pressure data here I would  
18 conclude that the rate on the infill wells are incremental  
19 reserves.

20 Q. All right, what is the next exhibit, the bubble  
21 map, it looks like?

22 A. Yes, this is a map showing both the actual  
23 drainage area, plotted as yellow circles -- and those  
24 yellow circles would be true to scale -- and also the rate  
25 contour. Anything that's not colored, the contour is less

1 than a million cubic feet a day.

2 What you can notice is that in the low-  
3 permeability area -- and when I say low-permeability what  
4 I'm talking about is in this area here, the permeability --  
5 the effective permeability is about .1 millidarcy or less.

6 Q. And describe that for us on the exhibit.

7 A. It is on the -- It's all the small circles on the  
8 right-hand side.

9 Q. All right.

10 A. Those wells are located in the low-perm area,  
11 which is .1 millidarcy or less. Those wells are making a  
12 million cubic feet a day or less, by the fact that there is  
13 hardly any colored contour, as you can see. And those  
14 wells typically have drainage area -- those circles are  
15 plotted to scale -- of less than 160 acres.

16 Conversely, if you go into -- this is the fairway  
17 area right here, overpressure, high productivity, fairway  
18 area -- in this area here, the effective permeability can  
19 be as high as 100 millidarcies.

20 These prolific fairway wells -- and I'm talking  
21 about all the big circles on the left-hand side of the  
22 exhibits -- those prolific wells, those were making over 5  
23 million a day in the magenta color there. Those wells  
24 typically drain 320 acres.

25 It's important to note that the big permeability

1 contrast from the east side, or from the right-hand side of  
2 the exhibit to the left, you're looking at a change of  
3 three orders of magnitude from .1 millidarcies to 100  
4 millidarcies. That's why the rates in the drainage area  
5 are strongly influenced by permeability and not any other  
6 parameters.

7 Q. Now, you have reviewed for Mr. Stogner your study  
8 of the Carracas Canyon area.

9 A. Yes.

10 Q. And we've looked generally at the results of  
11 infill development in Colorado, and now we have done a more  
12 focused look at the Vastar and the Mesa Mountain area?

13 A. Yes.

14 Q. Now, on this map, on the New Mexico-Colorado  
15 border are a couple of well pairs that we're now going to  
16 focus in on and look at in terms of how individual wells  
17 are performing in an infill kind of a situation; is that  
18 correct?

19 A. Yeah, that is correct. I'm going to focus my  
20 discussion on two sections adjacent to the New Mexico line.  
21 The section would be in the high-pressure, high-  
22 productivity area both in Colorado and New Mexico, and that  
23 would be Section Number 20 and 21.

24 Q. Okay, let's go to the next exhibit in the exhibit  
25 book. Start with Section 21, and I'd ask you to review the

1 information on this exhibit. When we're looking at this  
2 material-balance plot, are we basically going to be  
3 employing the same kind of methodology that we used when we  
4 were looking at Carracas Canyon?

5 A. Yes, this is exactly the same method used in  
6 Carracas Canyon.

7 Q. Okay, let's go to this plot, and I'd ask you to  
8 review the information on this exhibit for the Examiner.

9 A. This is the material-balance plot for Well South  
10 Ute 21-2, located in Section 21, 32 North, 9 West.

11 Q. And this is an infill well?

12 A. Yes, this is the infill well in that section.  
13 Similar to what's been shown in Carracas Canyon, once  
14 again, you have cumulative gas production plot on the X  
15 axis. There is a reservoir pressure, modified reservoir  
16 pressure term, P/Z plot on the left Y axis, and also rate  
17 plotted on the right-hand Y axis.

18 Similar to -- Let me back up. This infill well  
19 was drilled in March of 1999, and its initial pressure was  
20 970 p.s.i. Based on the P/Z or material-balance  
21 extrapolation here, this well would have an ultimate  
22 recovery of about 3 BCF, and if you extrapolate out to the  
23 original gas in place and back-calculate what the apparent  
24 drainage area is, this well has an apparent drainage area  
25 of 79 acres.

1 Q. Okay.

2 A. Now, most of the expected ultimate recovery of  
3 about 3 BCF here would be classified as incremental  
4 recovery, and that's the reason why I can say that those  
5 are purely incremental recovery when we examine the next  
6 slide.

7 Q. Okay, let's go to that slide. And this is a plot  
8 on the parent well?

9 A. Yes, this is the plot of the parent well,  
10 Southern Ute 21-6, located in Section 21 of 32 North, 9  
11 West. This is the parent well to the previous well, which  
12 is the 21-2.

13 In March of 1999, at the same time when the 21-2  
14 was drilled, we obtained an average reservoir pressure for  
15 this well, and it was 414 p.s.i., which is 556 p.s.i. less  
16 than the initial pressure of the infill well. That is a  
17 very large pressure differential for a prolific well. This  
18 well here, the peak rate was over 5 million cubic feet a  
19 day, but yet when you drill the infill well, the initial  
20 pressure was actually 556 p.s.i. higher than what this well  
21 was at.

22 There's the reason why such a large pressure  
23 differential exists, because when you look at the drainage  
24 area calculated from material balance, this well's drainage  
25 area is only 260 acres. That is, for us, surprising for a

1 well that has produced more than 500 cubic feet a day,  
2 highly prolific, highly productive.

3 Another interesting point is, remember or recall  
4 that the infill well was drilled in March of 1999. When  
5 you look at the P/Z trend, you see there is no deviation at  
6 all from the line. There is no change in slope before or  
7 after the infill well was drilled.

8 What does it mean when you say there's no change  
9 in slope? That means that this well, the drainage area or  
10 the gas in place remained the same at 260 acres before and  
11 after the infill well was drilled. The infill well  
12 actually has no impact at all on this well. Therefore, the  
13 logical conclusion is that the gas produced from the infill  
14 well is purely incremental recovery, not rate acceleration.

15 Once again, keep in mind that this is an over-5-  
16 million-cubic-feet-a-day well, very prolific.

17 Q. So what we have is, we have a high-rate well  
18 that, based on the earlier correlations, should have  
19 drained 320 acres?

20 A. Yes.

21 Q. It's in the high-productivity area?

22 A. Yes.

23 Q. And there is still substantial benefit from the  
24 infill development of the dedicated spacing unit?

25 A. Yes, without the infill well there's

1 approximately 3 BCF of gas that the parent well would not  
2 access.

3 Q. All right, let's go to the next pair of material-  
4 balance plots, and I'd ask you to explain to Mr. Stogner  
5 what these show.

6 A. Similar to what's happening in Section 21, this  
7 is Section 20, and I'm going through the same process  
8 again. Once again, Section 21 and 20 are just right at the  
9 New Mexico border.

10 This is the material-balance plot for the well  
11 Southern Ute -- I'm sorry, need to switch -- material-  
12 balance plot for the well Southern Ute 20-6, located in  
13 Section 20, 32 North, 9 West.

14 This well was drilled in December of 1999. Based  
15 on the pressure-depletion performance, I can calculate a  
16 drainage area of approximately 110 acres.

17 Once again, when you extrapolate the pressure  
18 performance trend, this well is expected to recover  
19 approximately 3 1/2 BCF of incremental gas. Now, once  
20 again, it's incremental gas, because when you look at the  
21 next exhibit --

22 Q. Let's do that.

23 A. -- this is the material-balance plot for the  
24 parent well of the previous well. This is well South Ute  
25 20-5, located in Section 20, 32 North, 9 West.

1           Once again, this is a high-rate well. You can  
2 look at the rate. This is over 3-million-cubic-feet-a-day  
3 well, and from material balance we can calculate an  
4 apparent drainage area of 280 acres.

5           What's important to note is that once again, when  
6 the infill well was drilled in December of 1999, the latest  
7 pressure we obtained here is May of 2002. You see no  
8 deviation from the linear trend at all on the parent well.  
9 What it means is, the drainage area for this well remained  
10 the same before and after the infill well was drilled.

11           So you have to reach the same conclusion, is that  
12 the recovery from the infill well is incremental recovery.

13           Q. Let's go now to the next exhibit, Vastar's IBF  
14 infill reserves versus offset gas rate.

15           A. This exhibit shows a correlation between the  
16 incremental infill recovery, the after incremental infill  
17 recovery, versus the offset parent well. Now, despite the  
18 scatter of the data, we can make the following observation  
19 concerning the infill drilling impact.

20           We can expect about 1.5 BCF of incremental gas  
21 recovery if the parent well is making a million or less.  
22 For rates between 2 million and 3 million we can  
23 conservatively estimate that the expected infill recovery  
24 is about 2 1/2 BCF. For rates from 3 million to 5 million  
25 cubic feet a day, we can expect about 3 BCF of incremental

1 recovery.

2           However, if you recall from the scatter plot,  
3 there's only about 50 percent probability that a well in  
4 this rate range from 3 million to 5 million would require  
5 an infill well. If you'll recall, only 50 percent of the  
6 wells in the rate from 3 million to 5 million would have  
7 drainage of less than 320 acres and therefore would require  
8 an infill well.

9           Q. All right, let's go to the last exhibit behind  
10 Tab 11, and I'd ask you to review that.

11           Q. Before we move on to the next exhibit, I also  
12 want to make another point, is that for a rate greater than  
13 5 million, we expect no incremental recovery because we  
14 expect those wells that produce more than 5 million a day  
15 should drain their respective 320 acres --

16           Q. Right.

17           A. -- and therefore an infill well would be  
18 unnecessary.

19           Q. And you wouldn't propose one then?

20           A. Absolutely not.

21           Q. Okay, now let's go to the last exhibit, the  
22 summary sheet.

23           A. Based on the Colorado infill results, we can make  
24 an estimate of what impact infill drilling would have for  
25 the overpressured area in New Mexico. What is shown on

1 this exhibit is the number of wells located in the  
2 following rate contour.

3 For example, from within the overpressured area  
4 there's approximately 411 wells making a million cubic feet  
5 a day or less.

6 As I mentioned before, when you apply the  
7 Colorado results for wells making a million or less, you  
8 expect about 1 1/2 BCF of incremental recovery. So when  
9 you sum up, there's a -- when you look at just the  
10 overpressured area in New Mexico, there's approximately 817  
11 infill opportunities, and that would represent an  
12 incremental recovery of about more than 1.5 trillion cubic  
13 feet of gas.

14 Q. And this is from the high-productivity area?

15 A. No, 1.5 trillion cubic feet of gas would be for  
16 the overpressured area. If you want to concentrate on the  
17 high-productivity area, which would be wells making from 2  
18 million cubic feet a day to 5 million, the impact  
19 incremental recover would be about 500 billion cubic feet  
20 of gas.

21 Q. What conclusions can you reach from your  
22 reservoir engineering study of the Basin Fruitland Coal,  
23 focusing on high-productivity area?

24 A. Based on the data that I have presented, I offer  
25 the following conclusions concerning infill drilling in the

1 overpressured area.

2 Infill drilling is necessary in the overpressured  
3 area to recover an additional 1 1/2 trillion cubic feet of  
4 gas that would not be accessible with existing wells.

5 Also, another conclusion would be that there are  
6 significant incremental reserves in the high-productivity  
7 area that are also not accessible with the current existing  
8 wells.

9 Q. Mr. Dinh, do you think that additional pilot work  
10 is needed in the high-productivity area to confirm the  
11 conclusions that you've just reached, or do you believe the  
12 data you have to work with is sufficient to establish these  
13 conclusions?

14 A. I believe that we have sufficient actual infill  
15 results from Colorado that additional pilots or studies are  
16 unnecessary.

17 Q. Are the exhibits behind Tab 11 in the exhibit  
18 book, being what would be BP Exhibits 10 through 29,  
19 prepared by you or compiled at your direction?

20 A. Yes.

21 Q. Can you testify as to their accuracy?

22 A. Yes.

23 MR. CARR: Mr. Stogner, at this time I move the  
24 admission into evidence of the BP America, Inc., exhibits  
25 behind Tab 11.

1 EXAMINER STOGNER: Any objections?

2 MR. HALL: No objection.

3 MR. CARR: And that concludes my direct of Mr.  
4 Dinh.

5 EXAMINER STOGNER: BP Amoco's exhibits behind Tab  
6 Number 11 are hereby admitted into evidence.

7 Mr. Kellahin, your witness.

8 MR. KELLAHIN: No questions.

9 EXAMINER STOGNER: Mr. Hall?

10 EXAMINATION

11 BY MR. HALL:

12 Q. Mr. Vinh [sic], I believe you were present here  
13 earlier this morning for Dr. Clarkson's testimony. He  
14 explained how he took his methodology and data derived from  
15 the Burlington pilot project areas and applied those to the  
16 underpressure envelope area, correct?

17 A. Yes.

18 Q. And I believe you were also present when he  
19 testified, in effect, that he was reluctant to apply that  
20 same methodology to the high-productivity area because  
21 there was insufficient data, and I believe I understood him  
22 to say that really the data that was missing, didn't have  
23 sufficient data, was pressure data?

24 A. Yes.

25 Q. Now, you tried to overcome that in part by your

1 material-balance calculations, and you've taken the  
2 pressure data you have for your Vastar area wells north of  
3 the border; is that correct?

4 A. That is correct.

5 Q. And you believe you can apply that data and that  
6 methodology to the high-productivity area in New Mexico?

7 A. Yes, based on the testimony this morning from  
8 Burlington and also from Dr. Riese, both have testified  
9 that there is no difference in the coal characteristics in  
10 Colorado or New Mexico in the overpressured area.

11 Q. But you testified just a minute ago that to do a  
12 correct material-balance calculation it requires frequent  
13 and accurate pressure measurement?

14 A. Yes.

15 Q. And that's what you don't have from the high-  
16 productivity area?

17 A. Not in New Mexico. However, I do have them in  
18 Colorado, and those data have been presented.

19 Q. Could we look at your material-balance exhibits  
20 briefly, please, sir? It's Exhibits 24 and the sequence  
21 after that.

22 A. Which ones are you looking at?

23 Q. Well, let's begin with 24. That's the Southern  
24 Ute 21-2, is your first one.

25 A. This one, 21-2?

1           Q.    Yes, sir. Thank you. I want to make sure I  
2 understand what your point is here. For the wells where  
3 you have a material-balance plot you show a parent well and  
4 an infill well, and you show what appears to me to be a  
5 widely variable drainage area for the parent and the  
6 infill. Is that accurate to say?

7           A.    Yes.

8           Q.    What does that tell us about applying material  
9 balance to the high-productivity area, then? Are we also  
10 likely to see as much variability in the drainage radii  
11 south of the border?

12          A.    Yes, like I have testified, these are high-  
13 productivity wells, so I would expect to see the same kind  
14 of performance in the New Mexico side.

15          Q.    So you would have some proration units in the  
16 high-productivity area south of the border where one well  
17 could drain 320 acres, and you might have other areas where  
18 two wells would be better suited to drain 320 acres; is  
19 that accurate to say?

20          A.    Yes, based on the Colorado data I would expect  
21 that in the overpressured area, high-productivity area in  
22 New Mexico, you would have wells similar to Colorado where  
23 the well may be producing 5 million cubic feet a day of  
24 rate, but yet the drainage area would be less than 320  
25 acres.

1 Q. After you did your material-balance plots for  
2 those four wells, did you attempt to model over a larger  
3 area into New Mexico at all?

4 A. No, I have data for only these wells in Colorado.  
5 I believe that Phillips operates two wells offsetting  
6 Section 20, so I believe your conclusion, if I'm not  
7 mistaken, is that you don't see any interference effect,  
8 either from this particular infill well.

9 Q. Well, do you believe that gas content is a poor  
10 indicator for determining the drainage radius?

11 A. That's based upon the data I gathered in Carracas  
12 Canyon, like I have mentioned. When you look at all the  
13 gas content, you have -- I calculated a mean or average gas  
14 content of 509 cubic feet per ton. When you look at the  
15 standard deviation, you look at those samples, it has a  
16 standard deviation of only 27, which means that  
17 approximately 83 percent or so of all the gas-content  
18 measurement is plus or minus 27 cubic feet per ton from the  
19 509 cubic feet.

20 So when you try to correlate something with a  
21 number that doesn't vary a lot, you don't get a very  
22 meaningful relationship, especially when you consider  
23 another parameter such as permeability that can change  
24 three orders or magnitude, from .1 millidarcy to 100  
25 millidarcies. That is a much stronger indicator of what

1 the well performance is going to be.

2 It doesn't matter what the coal thickness or the  
3 gas content is; if there is no permeability, there's no  
4 rate, there's no drainage area.

5 Q. Would you refer to your Exhibit 18, please?

6 That's your Colorado historical production. I'll ask you  
7 one question about that. At the point where the infill  
8 wells started to come on line and it looks like the parent  
9 wells began their decline --

10 A. Are you talking about right here, this period in  
11 1998?

12 Q. That's about right, yes. And is that an  
13 indication to you of some communication?

14 A. It is difficult to tell from a rate -- purely  
15 rate data whether interference occurs or not. One thing I  
16 can say for sure is that as the infill production ramps up,  
17 you don't see a change in the decline of the existing well.  
18 That is only -- That's one indication that there is no  
19 adverse effect from the infill well.

20 To be sure, you need to go to a more detailed  
21 examination using material balance like I have shown here  
22 in Section 20 or 21.

23 Q. You need that pressure data again to do that?

24 A. That's correct.

25 Q. If we look at your Exhibit 18 a little more

1 closely, it seems to show where you're still in the tail  
2 end of the incline phase for the parent wells. You're also  
3 in a parallel incline phase for the infill wells.

4 A. Okay, are you talking about this period, early  
5 1997, perhaps?

6 Q. That's about right, 1997 through 1999, it looks  
7 like there was a peak there for the infill wells. Do you  
8 agree with me that there is a parallel incline at that  
9 period of time?

10 A. Well, you also need to look at the well count  
11 down here. At the same time when that infill rate is  
12 inclining, the well count is also inclining; whereas during  
13 the same period, the well count for the parent wells stays  
14 constant. So I'm not sure if you can make that kind of  
15 statement.

16 Q. Well, if we follow through with that argument and  
17 look at what appears to be an apparent decline phase in the  
18 period July, 2000, to the end of the chart, again, don't  
19 you agree with me that you could say that there is a  
20 parallel decline going on between the infill and the parent  
21 wells?

22 A. Once again, you get -- yes, you can say that  
23 there's an apparent parallel here, but there could be many  
24 explanations for that. Once again, like I have testified  
25 before, rates are highly dependent on operating conditions.

1 What you could see, a situation here is, you might be  
2 running out of infrastructure, capacity.

3 Q. And you can't preclude the possibility of  
4 communication between the parent and infill wells, can you?

5 A. You cannot say with absolute certainty that  
6 there's no interference, that is correct. But you can also  
7 say with higher probability that most of the infill wells  
8 are incremental recovery based on other data, other  
9 pressure data obtained.

10 Realize that we do obtain reservoir pressure for  
11 all infill wells in Colorado, and those pressures have been  
12 higher than what we expected, meaning they're coming in at  
13 or near original reservoir pressure. That's why -- Most if  
14 not all of these infill productions here are incremental  
15 recovery, based on pressure data.

16 Q. In your Colorado wells, did you have any  
17 pressure-transient analysis done at all?

18 A. Yes, all of them have pressure-transient  
19 analysis.

20 Q. And what did that show?

21 A. What does that show?

22 Q. Did you see any indication of communication or  
23 interference?

24 A. No, as I've pointed out from the two examples in  
25 Section 20 and 21, those are all pressures obtained from

1 pressure transient analysis, and you see absolutely no  
2 interference from the material-balance plot.

3 Q. Let's look at your Exhibit 20, please.

4 A. Exhibit 20.

5 Q. It's drainage area versus rate. Can you tell us  
6 again why a 1999 average daily rate was selected?

7 A. This is the same data that was presented at the  
8 COGCC hearing.

9 Q. Oh, I see. Can you say whether the preponderance  
10 of these wells were still in their incline phase in 1999?

11 A. It depends. If you look at the highly prolific  
12 wells, over 6-million-a-day range, those wells would be  
13 declining. If you look at wells, say, producing in the  
14 range of 200 to 300 MCF a day, those wells might still be  
15 inclining.

16 Regardless of whether they're inclining or  
17 declining, all these wells were drilled at approximately  
18 the same time period from 1989 to 1992, so their respective  
19 rate is an indication of what the effective permeability at  
20 that time is. Low-rate wells mean lower permeability.

21 Q. Let's look at Exhibit 23, it's drainage area  
22 versus highest rate, your bubble chart. Let me make sure I  
23 understand what this exhibit is intended to reflect. Can  
24 you use this analysis here and apply it to the high  
25 productivity are in New Mexico? Are you likely to see the

1 same type of results, in your view?

2 A. I would expect to see the same results because  
3 most of the data you're looking at is within 3000 feet of  
4 the New Mexico state line, and there is no difference in  
5 coal characteristics across the political boundary.

6 Q. But if you look at the size of the area depicted  
7 on the exhibit, it seems to show a lot of variability, the  
8 review area, anyway?

9 A. That is correct. That would be in line with what  
10 has been testified today, that the Fruitland Coal reservoir  
11 is a very complex reservoir. And the scatter in the data  
12 and the different sizes bear that fact out.

13 Q. All right, so you're likely to see this same  
14 variability on the New Mexico side of the border, in your  
15 view?

16 A. Absolutely.

17 Q. Mr. Vinh, have you been involved in the  
18 formulation of BP's drilling program for the Fruitland  
19 Coal?

20 A. Only on the Colorado side.

21 Q. Would you know what BP's plans are for drilling  
22 the Fruitland Coal in New Mexico?

23 A. BP currently does not have a plan for -- I'm  
24 sorry, a specific plan for drilling in New Mexico. If  
25 you're talking about an actual schedule, we don't.

1           We do intend to infill in New Mexico, but as a  
2 specific number of wells or timing, we do not have one at  
3 this point.

4           Q.    Is there a range of wells you can tell us about  
5 in New Mexico?

6           A.    I'm sorry, can you repeat the question?

7           Q.    Well, you said you couldn't identify a specific  
8 number of Fruitland Coal wells in New Mexico. Is there a  
9 range that's being discussed in-company?

10          A.    I would surmise that, based on the number of  
11 operated wells, we're probably looking at over 150 infill  
12 opportunities, is my guess.

13          Q.    Do most of those opportunities occur in the high-  
14 productivity area?

15          A.    Yes.

16                MR. HALL: Nothing further, Mr. Examiner.

17                EXAMINER STOGNER: Redirect?

18                MR. CARR: Just a couple of questions.

19                                FURTHER EXAMINATION

20 BY MR. CARR:

21          Q.    Mr. Dinh, in determining drainage areas, was it  
22 your testimony that permeability is the parameter that most  
23 affects drainage?

24          A.    Yes, permeability in my opinion is the most  
25 important parameter.

1 Q. And you compare rate to drainage area because  
2 rate is also influenced by permeability; is that right?

3 A. That is correct.

4 Q. And when you go into these high-productivity  
5 areas, what you are calculating is an apparent drainage  
6 area; isn't that right?

7 A. That is correct.

8 Q. And what you're dealing with is a layered  
9 reservoir where you may have multiple intervals that are  
10 contributing to those drainage figures; isn't that right?

11 A. Absolutely.

12 Q. And so when you go back and infill in those  
13 areas, there is always the potential to pick up substantial  
14 incremental reserves in those other layers within the  
15 Fruitland Coal?

16 A. That is correct.

17 Q. If we look at your Colorado historical map, we  
18 can look at that again, and we look at the blue area, that  
19 is the production from the parent well; is that correct?

20 A. That is correct.

21 Q. And most of that was really from the high-  
22 productivity area in Colorado, is that not true?

23 A. That is true, even though this plot shows the  
24 total production from La Plata County, the high-  
25 productivity area would have a significant percentage in

1 the total production.

2 Q. And when we look at the green line, that is the  
3 infill contribution, is it not?

4 A. That is correct.

5 Q. And isn't the bulk of that from a low-  
6 productivity area?

7 A. That is correct.

8 Q. So there isn't a relationship between the curves  
9 of those two wells?

10 A. That is correct.

11 MR. CARR: That's all.

12 EXAMINER STOGNER: Any other questions?

13 MR. HALL: Briefly, Mr. Examiner.

14 FURTHER EXAMINATION

15 BY MR. HALL:

16 Q. If you could refer to your Exhibit 22, Mr. Vinh,  
17 it's the Vastar infill and parent-well initial pressure.

18 Looking at your infill pressures on this exhibit,  
19 Mr. Vinh, is it accurate to say that none of them were near  
20 virgin pressures?

21 A. There is this one particular example right here,  
22 Well 13-3. The initial pressure for the infill well is  
23 1549, and that's approximately what the original reservoir  
24 pressure is.

25 Q. Overall, what are the original virgin reservoir

1 pressures you would have expected to encounter in this  
2 area? I think -- I believe I heard you testify earlier it  
3 was in the neighborhood of 1500; is that right?

4 A. Yes. What you're looking at is, you're looking  
5 over two townships here. So the original reservoir  
6 pressure would vary.

7 It depends on the depth, but over -- in this area  
8 here, the average is about 1550 p.s.i.

9 Q. Okay. So because you have some variance from  
10 original virgin reservoir pressures in the infill wells  
11 from the parent wells, is that some indication of  
12 communication?

13 A. Yes, there is -- The fact that the infill well  
14 does not encounter original reservoir pressure, yes, the  
15 conclusion would be that there has been some depletion.  
16 But at the same time, when you look at the pressure  
17 differential between the infill well and the parent well  
18 you also have to conclude that without the infill well, the  
19 parent well would never recover the gas that is located at  
20 the infill location.

21 Q. Mr. Vinh, if you'd refer back to your Exhibit 21,  
22 it's the border Fruitland Coal infill results.

23 A. Okay, let me see. That one?

24 Q. Yes, sir.

25 A. Okay.

1           Q.    I thought I heard you just testify that the  
2 permeability would be a great indicator for drainage area.  
3 And if you'd look at that chart, if you're still showing  
4 gas rates are still on the incline, how can you determine a  
5 drainage area at that point if there's still an incline  
6 ongoing?

7           A.    Yes, if you look at the material-balance plot, I  
8 say for that one, gas rate is inclining during this period  
9 here, but from the material-balance plot you're looking at  
10 the same drainage area.

11                    There is no deviation, there is no deviation,  
12 there is no change in material-balance relationship,  
13 whether the gas rate is inclining or declining.

14           Q.    For the record, you're referring to Exhibit 25,  
15 which is your plot for the Southern Ute 21-6?

16           A.    Yes, that is correct.

17           Q.    Isn't it true to say that when your rate is  
18 increasing, as shown on your plot, that your permeability  
19 is increasing?

20           A.    Yes, there are several factors, but increasing  
21 effective permeability is one -- is an important factor,  
22 that is correct.

23                    MR. HALL:  I have nothing further, Mr. Examiner.

24                    EXAMINER STOGNER:  Any redirect?

25                    MR. CARR:  No, sir.

## EXAMINATION

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

BY EXAMINER STOGNER:

Q. I'm going to refer to Exhibit Number 28. This is the infill reserves versus the offset gas rate.

A. This particular one?

Q. Yes, that particular one. You had mentioned, if I remember, in your testimony that no incremental recovery would be obtained for those wells that had the -- anywhere from 3000- to 5000-MCF-per-day rate; is that correct?

A. I'm sorry, can you repeat the question, please?

Q. Okay. In your testimony I understood -- and you referred to the three wells on the right --

A. Yes.

Q. -- the high-productive wells, that no incremental recovery would be obtained off of those spacing units?

A. No, what I said is, for wells that have offset rate greater than 5 million cubic feet a day I don't expect any incremental recovery from those, because if you recall, back in this scatter-plot exhibit, which has the title "Drainage Area Versus Daily Rate", I'm basing that conclusion on the fact that when you look at wells that have a rate greater than 5 million, they tend to have a drainage area around 320 acres. And if they are draining 320 acres, there would be absolutely no need for any additional well, you would not get any incremental

1 recovery.

2           However, for a well from 3 to 5 million I have  
3 testified that about 50 percent of those actually have  
4 drainage area less than 320 acres, and those wells would  
5 require an additional infill well to prevent waste.

6           Q.    What percentage of the wells would fall into that  
7 category of having 320? I'm referring to the exhibit that  
8 you have up there now, drainage area versus average daily  
9 rate, 1999.

10           A.    What percentage of the wells greater than 5  
11 million a day?

12           Q.    Yes.

13           A.    I would at this point say that the probability is  
14 probably 90-percent-plus that those wells would have a  
15 drainage area of 320 acres. You can see that from this  
16 exhibit, which is entitled "Drainage Area Versus Highest  
17 Rate".

18                    You do see in some areas -- For example, this  
19 magenta contour boundary right here, those are greater than  
20 5 million, 6 million. There are a few wells in here that  
21 the drainage area is actually less than 320 acres. So it's  
22 not an absolute number, Mr. Examiner. That's why right now  
23 I'm putting the probability at about 90 percent.

24           Q.    What kind of a rate would I see with an infill in  
25 that spacing unit that has a parent well that's a high

1 producer, that has a high drainage area?

2 A. Based on the actual infill result that we have  
3 obtained, if you infill a well in, say, in an area where  
4 the rate is about 2 million a day or less, your infill well  
5 will typically come in at about 85 percent of what the  
6 parent well is. And that's shown in one of the exhibits,  
7 the infill exhibit. That plot right there ["Colorado-New  
8 Mexico Border Fruitland Coal Infill Results"]. When you  
9 look at the average rate from the parent well, that's about  
10 1.6 million. The average rate from the infill well is  
11 about 1.4 million. So you're looking at a ratio of about  
12 85 percent.

13 Our experience in Colorado has shown that when  
14 you infill a well in the high-productivity area, say 3 to 5  
15 million or 4 million plus, your infill well typically came  
16 in at 50 to 60 percent of what the parent well is doing.  
17 And you can see that from the data I presented for Section  
18 20 and 21.

19 EXAMINER STOGNER: No other questions of Mr.  
20 Dinh.

21 Are there any other questions of this witness?

22 MR. CARR: No, sir.

23 MR. HALL: No, sir.

24 EXAMINER STOGNER: You may be excused.

25 THE WITNESS: Thank you.

1 EXAMINER STOGNER: You've got another witness  
2 today?

3 MR. CARR: I have another witness. I don't know  
4 if you want him today or not.

5 EXAMINER STOGNER: I should say BP has another  
6 witness?

7 MR. CARR: Yes, sir.

8 EXAMINER STOGNER: What's the time on this  
9 witness?

10 MR. CARR: He has four exhibits and 15 or 20  
11 minutes. It's your pleasure.

12 EXAMINER STOGNER: Mr. Hall, how much time for  
13 your witness?

14 MR. HALL: Eighteen exhibits at, I'm saying, an  
15 hour on direct.

16 EXAMINER STOGNER: Okay. I'd like to go ahead  
17 and at least hear the BP, and then afterwards we can make a  
18 determination of where we want to go.

19 Let's go ahead and take about a five-minute  
20 recess at this time.

21 (Thereupon, a recess was taken at 4:46 p.m.)

22 (The following proceedings had at 5:15 p.m.)

23 EXAMINER STOGNER: This hearing will come to  
24 order.

25 I believe you have something at this time, Mr.

1 Kellahin?

2 MR. KELLAHIN: Thank you, Mr. Stogner. During  
3 the recess --

4 EXAMINER STOGNER: Let's see, why don't you turn  
5 on a microphone and -- so everybody can --

6 MR. KELLAHIN: During the recess, Mr. Stogner, I  
7 became aware that some of Phillips' exhibits for their  
8 presentation have been modified. They're different than  
9 the ones in the book.

10 And with Mr. Hall's agreement, we'd like to  
11 suggest that we stop the hearing process now, for today,  
12 and that we come back in the morning. And that will give  
13 us a chance to look at the modifications in the Phillips  
14 presentation so that we'll have some opportunities to see  
15 if we agree or disagree with the changes that may be  
16 proposed in their presentation and any changes that may be  
17 made concerning the Application that was presented to you.

18 EXAMINER STOGNER: Mr. Hall?

19 MR. HALL: Yes, we'll agree to do that. We have  
20 exhibits available for all the parties of record and the  
21 Division.

22 Rather than to say that they're modifications,  
23 they're additions to our previous exhibits, and we've also  
24 numbered them for ease of reference, and I would propose  
25 that we simply substitute copies we have here for what's

1 contained in the notebooks now, and everybody can look at  
2 those tonight.

3 EXAMINER STOGNER: Mr. Hall -- I mean, Mr. --

4 MR. CARR: Mr. Catanach -- I mean, Mr. Stogner.

5 EXAMINER STOGNER: -- Carr?

6 MR. CARR: We would have no objection to  
7 recessing at this time. We'd appreciate the opportunity to  
8 review the exhibits.

9 EXAMINER STOGNER: Now, are you proposing to make  
10 the changes, additions, amendments, whatever you want to  
11 call them, all the --

12 MR. HALL: I would call them additions.

13 EXAMINER STOGNER: -- changes, whatever you might  
14 call them, to all the books that you have passed out today?

15 MR. HALL: We can do that.

16 EXAMINER STOGNER: Okay. Well, with that, then,  
17 we'll take a recess for overnight, and we'll meet back here  
18 or start at 8:15 in the morning.

19 With that, then, we stand adjourned.

20 (Thereupon, evening recess was taken at 5:17  
21 p.m.)

22 \* \* \* I hereby certify that the foregoing is  
23 a complete record of the proceedings in  
24 the Examiner hearing of Case No. 12868,  
25 heard by me on July 9 & 10, 2002.  
Michael E. Stogner, Examiner  
Oil Conservation Division

## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO    )  
                                   )    ss.  
 COUNTY OF SANTA FE    )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL July 23rd, 2002.



STEVEN T. BRENNER  
 CCR No. 7

My commission expires: October 14, 2002

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING CALLED BY )  
THE OIL CONSERVATION DIVISION FOR THE )  
PURPOSE OF CONSIDERING: ) CASE NO. 12,888  
)  
APPLICATION OF THE FRUITLAND COALBED )  
METHANE STUDY COMMITTEE FOR POOL )  
ABOLISHMENT AND EXPANSION AND TO AMEND )  
RULE 4 AND 7 OF THE SPECIAL RULES AND )  
REGULATIONS FOR THE BASIN-FRUITLAND COAL )  
GAS POOL FOR PURPOSES OF AMENDING WELL )  
DENSITY REQUIREMENTS FOR COALBED METHANE )  
WELLS, RIO ARRIBA, SAN JUAN, MCKINLEY )  
AND SANDOVAL COUNTIES, NEW MEXICO )  
\_\_\_\_\_ )

ORIGINAL

02 JUL 30 11:22:56  
JUL 30 11:22:56

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING (Volume II, Wednesday, July 10th, 2002)

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

July 9th-10th, 2002

Farmington, New Mexico

This matter came on for hearing before the New Mexico Oil Conservation Division, MICHAEL E. STOGNER, Hearing Examiner, on Wednesday, July 10th, 2002, at the New Mexico Energy, Minerals and Natural Resources Department, 1220 South Saint Francis Drive, Room 102, Santa Fe, New Mexico, Steven T. Brenner, Certified Court Reporter No. 7 for the State of New Mexico.

\* \* \*

## I N D E X

July 10th, 2002 (Volume II)  
 Examiner Hearing  
 CASE NO. 12,888

	PAGE
EXHIBITS	250
APPEARANCES	252
BP/WILLIAMS/CHEVRON-TEXACO WITNESS:	
<u>BILL HAWKINS</u> (Engineer, BP)	
Direct Examination by Mr. Carr	255
Examination by Mr. Hall	270
Examination by Mr. Kellahin	277
Examination by Mr. Chavez	286
Redirect Examination by Mr. Carr	289
Examination by Mr. Brooks	290
Further Examination by Mr. Kellahin	295
STATEMENT BY LARRY VAN RYAN (Engineer, McElvain Oil and Gas)	
	297
PHILLIPS WITNESS:	
<u>STEVE JONES</u> (Engineer, Phillips)	
Direct Examination by Mr. Hall	298
Examination by Mr. Kellahin	337
Examination by Mr. Carr	371
Redirect Examination by Mr. Hall	387
Examination by Mr. Chavez	389
Examination by Mr. Brooks	392
Examination by Examiner Stogner	394
Further Examination by Mr. Hall	396

(Continued...)

## UNSWORN AND SWORN STATEMENTS BY MEMBERS OF THE PUBLIC:

	PAGE
B. Brooks Taylor, MD, MPH La Plata County, Colorado	403
Tweetie Blancett Landowner (Sworn testimony)	408
Bill Humphries Past President New Mexico Cattle Growers' Association (Sworn testimony)	418
Tom Mullins (Engineering manager, Synergy Operating) (Sworn testimony)	420 422
Janet Reese (Bloomfield)	429
Allen Ralston, San Juan Systems Alliance, Durango, Colorado (Sworn testimony)	435
Ralph Hawks (Geologist, Williams Production Company)	438
 CLOSING ARGUMENTS:	
BY MR. DEAN	440
BY MR. KELLAHIN	441
BY MR. CARR	448
BY MR. HALL	456
 REPORTER'S CERTIFICATE	 463

\* \* \*

## CUMULATIVE INDEX OF EXHIBITS

Burlington/BP	Identified	Admitted
Exhibit 1	19	40
Exhibit 2	17	40
Exhibit 3	-	
Exhibit 4	78	104
Exhibit 5	95	104
Exhibit 6	118	163
Exhibit 7	-	163
Exhibit 8	136	163
Exhibit 9	162	163
Exhibit 10	174	192
Exhibit 11	202	228
Exhibit 12 (30-33)	257	270
Exhibit 13	-	-
Exhibit 14	-	-
Exhibit 15	136	166

\* \* \*

Phillips	Identified	Admitted
Exhibit 1	300	337
Exhibit 2	303	337
Exhibit 3	304	337
Exhibit 4	305	337
Exhibit 5	306	337
Exhibit 6	307	337
Exhibit 7	307	337
Exhibit 8	308	337
Exhibit 9	310	337
Exhibit 10	311	337
Exhibit 11	313	337
Exhibit 12	315	337

(Continued...)

## CUMULATIVE INDEX OF EXHIBITS (Continued)

Phillips	Identified	Admitted
Exhibit 13	315	337
Exhibit 14	318	337
Exhibit 15	320	337
Exhibit 16	323	337
Exhibit 16-A	324	337
Exhibit 17	327	337
Exhibit 18	335	337

\* \* \*

Additional submissions, not offered or admitted:

	Identified
Written statement of B. Brooks Taylor, MD, MPH La Plata County, CO	403
Written statement of Williams Production Company	438
Written statement of New Mexico Cattle Growers' Association	418
Written statement of Dave Mankiewicz Farmington Field Office, BLM	-

\* \* \*

## A P P E A R A N C E S

## FOR THE DIVISION:

DAVID K. BROOKS  
Attorney at Law  
Energy, Minerals and Natural Resources Department  
Assistant General Counsel  
1220 South St. Francis Drive  
Santa Fe, New Mexico 87505

## FOR BURLINGTON RESOURCES OIL AND GAS COMPANY:

KELLAHIN & KELLAHIN  
117 N. Guadalupe  
P.O. Box 2265  
Santa Fe, New Mexico 87504-2265  
By: W. THOMAS KELLAHIN

## FOR PHILLIPS PETROLEUM COMPANY:

MILLER, STRATVERT and TORGERSON, P.A.  
150 Washington  
Suite 300  
Santa Fe, New Mexico 87501  
By: J. SCOTT HALL

FOR BP AMERICA, INC.; WILLIAMS PRODUCTION COMPANY;  
and CHEVRON-TEXACO:

HOLLAND & HART, L.L.P., and CAMPBELL & CARR  
110 N. Guadalupe, Suite 1  
P.O. Box 2208  
Santa Fe, New Mexico 87504-2208  
By: WILLIAM F. CARR

(Continued...)

## A P P E A R A N C E S (Continued)

FOR DUGAN PRODUCTION CORPORATION:

CURTIS & DEAN  
P.O. Drawer 1259, 506 West Arrington  
Farmington, NM 87401  
By: JOHN DEAN

FOR SAN JUAN COAL COMPANY and  
TEXAKOMA OIL AND GAS CORPORATION:

JAMES G. BRUCE, Attorney at Law  
324 McKenzie  
Santa Fe, New Mexico 87501  
P.O. Box 1056  
Santa Fe, New Mexico 87504

\* \* \*

ALSO PRESENT:

FRANK T. CHAVEZ  
District Supervisor  
Aztec District Office (District 3)  
NMOCD

\* \* \*

1           WHEREUPON, the following proceedings were had at  
2   8:15 a.m.:

3           EXAMINER STOGNER: This hearing will come to  
4   order for the matter of Case Number 12,888. This is the  
5   Farmington Coalbed Methane Study Committee's Application.  
6   Please note today's date, July the 10th. We're in  
7   Farmington, New Mexico, day two.

8           I believe last night we rested because there was  
9   a -- something occurred. So who wants to get started this  
10  morning to address this issue? Anybody?

11          MR. CARR: Mr. Stogner, we received Phillips'  
12  exhibits, we have looked at them, and we're ready to  
13  proceed this morning with our direct presentation. We have  
14  concluded with two of our witnesses. We're now prepared to  
15  start our presentation of Mr. Hawkins' testimony.

16          EXAMINER STOGNER: Just a reminder, if you'll  
17  turn your microphones on. I know this one is on. Is yours  
18  on, Mr. Carr?

19          MR. CARR: I'll see if I can get some engineering  
20  help here.

21          EXAMINER STOGNER: There we go. And for the  
22  witness and anybody talking, please speak up, close to the  
23  microphones so everybody can hear.

24          If there's nothing further, then Mr. Carr, please  
25  get started.

1 MR. CARR: Mr. Stogner, our first witness is Bill  
2 Hawkins, a regulatory engineer. The record should reflect  
3 that he was sworn yesterday and remains under oath.

4 BILL HAWKINS,

5 the witness herein, after having been first duly sworn upon  
6 his oath, was examined and testified as follows:

7 DIRECT EXAMINATION

8 BY MR. CARR:

9 Q. Would you state your full name for the record,  
10 please?

11 A. Bill Hawkins.

12 Q. Mr. Hawkins, where do you reside?

13 A. I reside in Golden, Colorado.

14 Q. By whom are you employed?

15 A. BP America, Inc.

16 Q. And what is your position with BP America, Inc.?

17 A. I'm a petroleum engineer, employed to handle our  
18 regulatory affairs in the San Juan Basin.

19 Q. Have you previously testified before the New  
20 Mexico Oil Conservation Division?

21 A. Yes, I have.

22 Q. At the time of that testimony, were your  
23 credentials as an expert in petroleum engineering accepted  
24 and made a matter of record?

25 A. Yes, they were.

1 Q. Are you familiar with the Application filed in  
2 this case on behalf of the Fruitland Coalbed Methane Study  
3 Committee?

4 A. I am.

5 Q. You participated in that hearing, or that  
6 process, did you not?

7 A. Yes, I did.

8 Q. Are you familiar with the recommendations of that  
9 Committee for infill drilling in the Basin-Fruitland Coal  
10 Gas Pool?

11 A. Yes, I am.

12 MR. CARR: May it please the Examiner, we tender  
13 Mr. Hawkins as an expert petroleum engineer.

14 EXAMINER STOGNER: Any objections?

15 MR. HALL: No objection.

16 EXAMINER STOGNER: Mr. Hawkins is so qualified.

17 Q. (By Mr. Carr) Initially, Mr. Hawkins, yesterday  
18 during Mr. Hayden's presentation he made reference to the  
19 line surrounding the high-productivity area, and that the  
20 line being based on a 2-million-per-day producing rate was  
21 advanced by BP. Do you recall that testimony?

22 A. Yes, I do.

23 Q. What is BP's position on the need for a line  
24 separating out a portion of the Basin-Fruitland Coal for  
25 the purpose of implementation of infill drilling?

1           A.    BP's position is, we don't believe a line  
2 separating the high-productivity area from the  
3 underpressured area is needed.  In fact, I've made that  
4 statement a number of times to the Committee.  We've tried  
5 to work with the Committee in coming to some  
6 recommendations that would be potentially workable, but  
7 we've made it very clear for a number of meetings that we  
8 didn't believe this line was needed.

9           Q.    You were present for Vu Dinh's testimony  
10 yesterday?

11          A.    Yes.

12          Q.    And you recall that he testified that a line  
13 based on a 2-million-per-day rate would not separate wells  
14 that drained their spacing unit from those that did not?

15          A.    Yes.

16          Q.    Do you concur with his testimony that there is no  
17 technical basis for this line?

18          A.    I do.

19          Q.    Let's go to what has been marked as BP Exhibit  
20 Number 30 -- it's actually the first exhibit behind Tab 12  
21 in the exhibit book -- and I'd ask you to first identify  
22 that exhibit and then review the information on this  
23 exhibit for Mr. Stogner.

24          A.    All right, this is a map of highest average daily  
25 rate for each of the wells that's in the high-productivity

1 area and the wells around that in Colorado and New Mexico.

2 And it's contoured in colors: Everything  
3 producing with the highest average of less than a million a  
4 day is in white, and then as you move towards this high-  
5 productivity area, from 1 million to 2 million a day is in  
6 blue, in light yellow if from 2 million a day to 3 million  
7 a day, in the gold color 3 to 4 million, the pink color 4  
8 to 5 million a day, and then the purplish color is all the  
9 wells that were producing in excess of 5 million a day.

10 Q. And how many of those areas do you have where you  
11 find concentrations of wells that produce in excess of 5  
12 million a day?

13 A. Well, I counted about 12 small islands, and some  
14 are larger than others, but they're -- you know, due to the  
15 heterogeneity in this reservoir you can see that once you  
16 get into this high-productivity area, that it would be very  
17 difficult to try to draw a line that would separate the  
18 good wells from the bad wells, so to speak.

19 And in fact, I've looked at the line that's --  
20 the 2-million-a-day line that's being recommended is on the  
21 map in green, and I've counted the wells inside and out to  
22 take a look at, you know, what's the distribution.

23 And what I find is that there are about a hundred  
24 wells that are outside of that boundary that are actually  
25 producing greater than 2 million a day. There are wells

1 that we would have tried to separate out that the Committee  
2 would say maybe shouldn't be drilled or need some  
3 additional notice, but they're actually in the non-notice  
4 area. And I've also counted the wells inside, and there  
5 are about 75 wells inside that boundary that produce less  
6 than 2 million a day, and so those are the kind of wells  
7 that absolutely need to be infill drilled to get  
8 incremental recovery.

9 Q. By using this line as a starting point, we have  
10 at the starting point 175 wells on the wrong side of the  
11 line?

12 A. That's what I would say, yes.

13 Q. Do you believe that using a line of this nature  
14 is actually workable from a regulatory point of view?

15 A. I really don't. In fact, I've looked at it, I  
16 know we've presented data from our Colorado infill to the  
17 Committee that showed incremental recovery at rates with  
18 wells up to 5 million a day, and we showed that to the  
19 Examiner yesterday, and if you tried to draw a line around  
20 the wells that were making 5 million a day you'd have 12  
21 different circles out there trying to isolate small areas.

22 So I think that any line that you would try to  
23 draw out here would have some significant problems and  
24 would be very difficult to administer, it would be very  
25 difficult to separate the wells that need infill drilling

1 from those that maybe don't.

2 Q. When you're looking at wells that produce 5  
3 million a day, you're actually looking at the total  
4 producing rate from that well; is that correct?

5 A. Say that again?

6 Q. When you say 5 million a day, that's the total  
7 production rate from the well --

8 A. Yes.

9 Q. -- is that correct?

10 A. That's correct.

11 Q. And that doesn't take into account the layered  
12 nature of the reservoir or the individual zones from which  
13 that production might come?

14 A. No, it doesn't.

15 Q. Let's go to what has been marked as BP America,  
16 Inc., Exhibit 31, the second document behind Tab 12, and  
17 I'd ask you to identify and review this.

18 A. This is a chart showing the distribution of the  
19 wells that inside that high-productivity area, just a  
20 little more elaboration on trying to point out what types  
21 of wells are actually inside the boundary.

22 And if we look at the wells that are making less  
23 than 2 million a day, there's just about 20 percent of  
24 those wells making less than 2 million a day inside the  
25 boundary.

1           And as we move up, I know we again have pointed  
2 out that we've seen incremental recovery at wells that  
3 produce up to 5 million a day. 66 percent of the wells  
4 inside that boundary are producing at rates -- that the  
5 highest rate the well ever made was 5 million a day or  
6 less.

7           So we believe there's a significant percentage of  
8 wells in the high-productivity area that could benefit from  
9 infill drilling.

10          Q.    And would produce incremental reserves, not just  
11 be rate-accelerated?

12          A.    Yes.

13          Q.    All right, let's move now, and I'd like to start  
14 discussing with you the notice issue, and I'd like you to  
15 refer to the next exhibit. It's entitled "Proposed  
16 Boundary and Units". If you'd refer to this exhibit, and  
17 initially could you review BP's view of the notice  
18 requirements as explained yesterday by Mr. Hayden?

19          A.    The notice provisions described by Mr. Hayden  
20 were discussed at the Committee for a number of times and  
21 basically said that the operator that's proposing to drill  
22 a well would file an administrative application with the  
23 District, and also notify the operators in the adjoining  
24 quarter sections. If there were no objections, then the  
25 District would grant that application.

1           If there was --

2           Q.    Let's put the map up.

3           A.    If there were objections from the owners in the  
4 adjacent quarter section, then the matter would be set for  
5 hearing.

6                    And I think there's a couple of questions there.  
7 One is, whose burden of proof is it for that well to be  
8 drilled?  If there had been no objection, the District  
9 would have presumed that the well needed to be drilled and  
10 would have approved it.

11                   But the problem that we see is that inside the  
12 boundary about 70 percent of the area is overlain by  
13 federal units, and the ownership and the way notice would  
14 be handled inside those federal units would be  
15 significantly different than the way it would be handled in  
16 the individual drillblock areas.

17                   Now, on this map, the individual drillblocks are  
18 in the white area, and the federal units are cross-hatched  
19 in various shadings.

20                   And if you were in the federal units and the  
21 operator had to notify himself, you know, there's basically  
22 no provision for notification over almost 70 percent of  
23 this area.  And what this really does is, it tends to  
24 create -- it's got a different method of handling notice  
25 for -- depending on the type of ownership that you've got

1 in your lease, if it's a unitized area or a nonunitized  
2 area.

3 Q. If you're required under the Committee notice  
4 provision, if you're required to give notice, you would  
5 first need to be within the high-productivity area as  
6 defined, correct?

7 A. That's correct.

8 Q. And we've already discussed the problems with  
9 that boundary?

10 A. That's correct.

11 Q. And if the notice was to be anyone other than  
12 yourself, you'd really need to be outside the unit, or at  
13 least not on the edge of one of those units?

14 A. That's correct.

15 Q. If you filed an application in one of these  
16 competitive areas, the areas that are not in the unit but  
17 are within the boundary --

18 A. Right.

19 Q. -- who would actually decide whether or not you  
20 were able to go forward with the well?

21 A. Well, the problem there again is with notice to  
22 the owners, or the operator in the adjacent quarter  
23 section, is that it puts the operator in the adjoining  
24 quarter section in more of a controlling position. They  
25 may actually start to decide whether or not you get to

1 drill your well or not. And the problem that we have with  
2 that is that there are different motives inside this area  
3 for the adjacent quarter-section operator versus the  
4 operator that's planning to drill the well.

5 Q. If you're the operator, you want to drill a well?

6 A. That's correct, and --

7 Q. If you're an offset --

8 A. -- you're trying to drill a well --

9 Q. And if you're an offset, you might want to not  
10 drill a well?

11 A. If you're an offset, you may just be trying to  
12 prevent that well being drilled and prevent it from being  
13 -- potentially interfering with one of your wells.

14 Q. In your opinion, does this create an unfair  
15 situation for those operators with lands in the competitive  
16 area within the high-productivity area?

17 A. Well, I think it puts a -- definitely a higher  
18 burden on those operators, and it gives the offset operator  
19 an opportunity to maybe try to prevent wells from being  
20 drilled that should be drilled, and that can cause waste.  
21 And it violates the correlative rights of the owners that  
22 want to drill the well, and it prevents them from having  
23 the opportunity to get their share of the production from  
24 the pool.

25 Q. Did you review the exhibits that were produced by

1 Phillips yesterday afternoon?

2 A. Yes, I did.

3 Q. And you are aware that they have modified the  
4 notice requirement, or at least they have proposed an  
5 alternative notice requirement within units?

6 A. Yes.

7 Q. And what is that, basically, as you understand  
8 it?

9 A. Well, as I understand it, instead of notifying  
10 the adjacent operator, if that operator is the same as the  
11 one proposing to drill a well, they would notify the  
12 working interest owners in that adjoining quarter section.

13 And the concerns I have with that are,  
14 particularly if you're in a federal unit, most of the  
15 federal units have operating agreements that provide for  
16 some type of majority to decide whether wells should be  
17 drilled. What this provision would allow is for an owner,  
18 a single owner, any owner, depending on -- you know, even a  
19 minority interest owner, to try to throw that well into the  
20 Commission in a hearing and object to it, and try to  
21 circumvent the operating agreements that have already --  
22 were in place and allow a majority to decide if the wells  
23 should be drilled or not.

24 Q. In your opinion, is there adequate information to  
25 now make a determination on the need for infill development

1 within the high-productivity area?

2 A. Yes, there is, and I say that because we've  
3 looked at testimony from our geologists, from all three  
4 experts, indicating that there's significant discontinuity  
5 in both the underpressured and overpressured area. They  
6 really don't see any difference geologically from those  
7 areas. And we've also looked at engineering testimony and  
8 actual experience that BP has in infilling wells in  
9 Colorado, showing that incremental recovery from the high-  
10 productivity area can be achieved.

11 Q. Are additional pilot projects needed within the  
12 high-productivity area?

13 A. You know, in my opinion they're not. And we did  
14 talk about this at the Committee. When BP presented the  
15 evidence that we have on infill drilling in Colorado and  
16 showed incremental reserves coming from wells as high as 5  
17 million a day, parent well rates, there was discussion on,  
18 you know, do we have more examples? And we said yes, we  
19 can provide more examples.

20 And then there was discussion of, you know, do we  
21 need to have pilot wells in New Mexico? And basically  
22 concluded that the information that we would get from those  
23 pilot wells would be no different than the information that  
24 we're already providing from the infill wells in Colorado.

25 And so I don't think there would be any new

1 information that would help us in this decision any more  
2 than we have today.

3 Q. Do you believe a pilot program would result in  
4 anything more than just additional delay in getting this  
5 issue finally resolved?

6 A. That's exactly what I believe.

7 Q. In Phillips' exhibits, Exhibit Number 9, if you'd  
8 go to that one, in the materials we got yesterday, and it's  
9 entitled "High Productivity Area Analysis", the third point  
10 reads, "Pressure data analyzed show significant uniformity  
11 over a very large portion of the high productivity area."  
12 Do you see that?

13 A. Yes, I do.

14 Q. And what is your understanding and the result of  
15 your work concerning the uniformity of pressures in this  
16 area?

17 A. Well, we've looked at some layer pressure data  
18 from wells inside the high-productivity area and actually  
19 showed this work to the Committee. And the information  
20 that we have showed that the pressures actually ranged from  
21 about 100 pounds up to 900 pounds in the different layers  
22 inside the high-productivity area.

23 And to me, that's consistent with what our  
24 understanding of the geology is, that there's areas in the  
25 high-productivity area where infill drilling is going to be

1 needed to recover reserves that these wells right now are  
2 not going to get.

3 Q. To the extent there may be uniformity, when you  
4 look at composite data, when you take that to the  
5 individual layers, you're not finding that; is that what  
6 you're saying?

7 A. Yes.

8 Q. Let's go to what has been marked BP America,  
9 Inc., Exhibit 33, and I'd ask you to summarize the  
10 conclusions you and BP have reached on your work in this  
11 area?

12 A. Well, I've got several points to make -- put this  
13 up -- and the first point is that there is significant  
14 incremental recovery potential for infill wells throughout  
15 the pool, and that would include the underpressured portion  
16 of the pool that Burlington testified to and the  
17 overpressured portion of the pool that our engineer, Vu  
18 Dinh, testified to. And it also includes the high-  
19 productivity area. I think we pointed out there is on the  
20 area of 500 BCF of incremental reserves potential in that  
21 high-productivity area for infill drilling.

22 The second point I would make is that the high-  
23 productivity area boundary and the special notice  
24 procedures are not justified in this instance. For one  
25 thing, the special notice procedures create a difference in

1    how notice would be handled between federal units and  
2    individual drillblocks.  They create an unfair advantage  
3    inside the federal drillblocks where a large portion of the  
4    federal drillblock could be infill drilled with actually no  
5    notice at all, as long as they're more than a half a mile  
6    from the boundary of the federal unit.

7                Inside the individual drillblocks, notice would  
8    be provided to offset operators who might have different  
9    motives to prevent wells from being drilled that actually  
10   need to be drilled, and we view that as a potential for  
11   violating correlative rights to get opportunity to get your  
12   fair share of reserves out of the pool, and it can cause  
13   waste.

14               So we don't believe that the area or the  
15   procedures are justified.

16               And BP has made this comment -- this  
17   recommendation to the Committee a number of times.  I think  
18   there was kind of an evolving nature in the Committee as we  
19   presented more and information from our Colorado infill  
20   that the high-productivity area boundary and special notice  
21   procedures are really not needed, that we need to infill  
22   this pool on a poolwide basis with a single set of rules,  
23   and we recommend the NMOCD approve that with a single  
24   optional infill well poolwide rule.

25               Q.  Were BP America Exhibits 30 through 33 prepared

1 by you?

2 A. Yes.

3 MR. CARR: At this time, Mr. Examiner, we would  
4 move the admission into evidence of Exhibits 30 through 33,  
5 those being the four documents behind Tab 12 in the exhibit  
6 book.

7 EXAMINER STOGNER: Any objections?

8 MR. HALL: No objection.

9 EXAMINER STOGNER: Exhibits 30 through 33 will be  
10 admitted into evidence at this time.

11 MR. CARR: And that concludes my direct  
12 examination of Mr. Hawkins.

13 EXAMINER STOGNER: Thank you.

14 Mr. Hall?

15 EXAMINATION

16 BY MR. HALL:

17 Q. Mr. Hawkins, I believe I heard you testify that  
18 in your opinion there's a significant amount of  
19 heterogeneity within the reservoir, and I assume you're  
20 talking poolwide, not just the high-productivity area.

21 A. (Nods)

22 Q. You need to answer verbally for the record,  
23 please.

24 A. Yes.

25 Q. But within the high-productivity area does that

1 heterogeneity also exist, in your opinion?

2 A. Yes, it does.

3 Q. And so is it safe to say that there are areas  
4 within the high-productivity area that are suitable for  
5 infill drilling and others that are not suitable for infill  
6 drilling?

7 A. I think that's right, I think we would expect  
8 there may be places where wells are not needed. But we  
9 also believe that there are significant areas where infill  
10 wells will be needed.

11 Q. I want to clear up one thing with you. If you  
12 could refer to your Exhibit 31, the high-productivity area  
13 distribution, make sure I'm reading this correctly. As I  
14 understand it, this exhibit shows that less than 20 percent  
15 of the wells in this area are making less than 2 million a  
16 day; is that right?

17 A. That's right, it shows just under 20 percent are  
18 making -- This is the wells inside the high-productivity  
19 area.

20 EXAMINER STOGNER: Mr. Hawkins, could you flip  
21 that up on the screen so that others can follow this?

22 THE WITNESS: Yes.

23 EXAMINER STOGNER: Thank you.

24 Q. (By Mr. Hall) Now, could you refer to Mr. Vu  
25 Dinh's Exhibit 29, his gas rates? It looks like this.

1           A.    Okay, I have it.

2           Q.    Looking at it quickly here -- great deal --  
3           degree of accuracy -- if I understand his exhibit and his  
4           testimony yesterday, it looks like approximately 60 percent  
5           of the wells are making less than 2 million a day in this  
6           same area; is that right?

7           A.    That's correct.

8           Q.    Why are you two disagreeing, being from the same  
9           team?

10          A.    Well, I think what we've got a misunderstanding  
11          over is the nomenclature.  Vu Dinh's exhibit is showing the  
12          wells in the overpressured area.  That would include the  
13          high-productivity area and those wells north or outside of  
14          that area.  So most of the wells outside of that area are  
15          making less than 2 million a day.

16                    I think I testified there were about 75 or 100  
17          wells outside of the area that were actually making more  
18          than 2 million a day, though.

19          Q.    Okay.  Talk to you briefly about your  
20          participation in the Fruitland Coalbed Committee  
21          deliberations.  Is it accurate to say that BP's position on  
22          identifying the location of the boundary line is not in  
23          accord with the majority of the Committee participants?

24          A.    I don't know that I could say that.  I think we  
25          all had different ideas about what we should do with the

1 line, and I think that the different companies' positions  
2 on that line tended to evolve over time during the  
3 Committee.

4 Q. So is it also accurate to say that BP's position  
5 on the location of the line changed?

6 A. I would say that when we first started looking at  
7 this, we all thought we needed a line. And then as we  
8 began to get more information and show results of our  
9 Colorado infill, we began, probably a year ago, making the  
10 statement that we didn't need to have a line out there.  
11 And we had several meetings following that where we talked  
12 about where should we put a line. We participated in that  
13 because we thought if the Committee is going to have a  
14 line, we want to be part of the discussion where that ends  
15 up.

16 But we made it clear in all of those meetings  
17 that we didn't believe a line was necessary.

18 Q. At what point didn't BP agree with the Committee  
19 that there ought to be a line?

20 A. When we first started looking at the results of  
21 our work in Colorado and bringing that to the Committee --  
22 and I don't have the exact date of when that would be, but  
23 we've had several meetings after that point.

24 I remember standing up in front of the group and  
25 making a presentation that said, you know, BP doesn't

1 believe that a line is necessary, and went through some of  
2 the information from the scatter plot that showed, you  
3 know, wells all the way up to 5 million a day were  
4 potentially not draining 320 acres.

5 Q. Let me ask it again. Isn't it true that at one  
6 time BP agreed to the Committee's definition of the line?

7 A. I think we made it clear to the Committee that we  
8 did not believe that a line was necessary. However, if the  
9 Committee was going to recommend a line, we were going to  
10 be part of that discussion. We were not going to just  
11 ignore it.

12 Q. Okay, and if I were to shorten your answer, that  
13 answer would be yes?

14 A. I don't know if I could say yes to what -- I  
15 mean, you have to say that question again, then.

16 Q. Did BP agree to the Committee's definition of the  
17 line?

18 A. We did agree to the definition of the line.

19 Q. Okay. I want to ask you about your view on the  
20 -- Let me back up a minute.

21 At any point during the Committee's  
22 deliberations, did you inform the Committee of BP's  
23 drilling plans after this proceeding?

24 A. No.

25 Q. Do you have direct knowledge of BP's drilling

1 program for 2003, for the Fruitland Coal Pool?

2 A. I do not.

3 Q. Yesterday, Mr. Vu Dinh testified, I believe, that  
4 BP planned on drilling 130 new wells in the high-  
5 productivity area in 2003. Do you have any reason to  
6 disagree with that?

7 A. Yeah, I would disagree with that. I don't think  
8 we have that many wells in the high-productivity area that  
9 we operate.

10 Q. I'm talking about infill locations.

11 A. Right.

12 Q. You don't think you have that many --

13 A. I don't think -- I think that's an overstatement.  
14 I think we maybe have 130 wells that we operate in the  
15 vicinity of this high-productivity area, some inside the  
16 boundary, some outside. I don't believe that our plan  
17 would be to try to drill 130 wells in one year. We're  
18 drilling in Colorado 50 wells a year, so I would anticipate  
19 at most something more on that order.

20 Q. For the New Mexico side of the border?

21 A. Yeah, maybe -- yeah, probably less, because we  
22 have less opportunities in New Mexico than we have in  
23 Colorado.

24 Q. I started to ask you about the proposed notice  
25 provision in the Rule, and I understand the thrust of your

1 testimony is, it seems to impose a significant burden on  
2 the operator proposing an infill well and would provide the  
3 offset operator with undue advantage, it would interfere  
4 with BP's drilling programs.

5 Tell us who the primary operator is that offsets  
6 BP's drilling blocks in New Mexico in this pool.

7 A. In the individual drillblock area it's primarily  
8 Burlington Resources and BP.

9 Q. All right. And Burlington is in favor of the  
10 infill drilling as well, correct?

11 A. That's correct.

12 Q. Are you familiar with the Division's notice  
13 requirements for unorthodox well locations --

14 A. Yes.

15 Q. -- the Rule 1207?

16 Is the notice provision promoted by the Committee  
17 any more burdensome than that?

18 A. Well, I think the notice provision is not as  
19 burdensome as the NSL, but we're talking about kind of  
20 apples and oranges when you're talking about an NSL getting  
21 too close to the boundary of the spacing unit, versus an  
22 optional infill well.

23 Q. I understand. But in terms of procedures, actual  
24 legwork to get it done, it's no more burdensome? It's  
25 probably less burdensome than --



1 Q. Within the fairway there are some units. The 30-  
2 and-6 Unit, I understand, is totally within the fairway?

3 A. I think you're right.

4 Q. Amoco has an interest in that unit, does it not?

5 A. Yes.

6 Q. The unit contains a unit agreement and a unit  
7 operating agreement, does it not?

8 A. Yes.

9 Q. And if the coal pool participation area is of  
10 significant size, then within that participating area you  
11 will have 320-acre spacing units that exist, GPUs?

12 A. Correct.

13 Q. Under the current rule you get one well in a GPU,  
14 right?

15 A. That's right.

16 Q. This proposal would allow an optional second well  
17 in the GPU?

18 A. Correct.

19 Q. And it would occur in the opposite 160 from the  
20 parent well?

21 A. Right.

22 Q. The Committee discussions and the Committee  
23 recommendation for a rule did not deal with notifying  
24 working interest owners offsetting the spacing unit within  
25 the participating area?

1           A.    That's correct.

2           Q.    There's a contractual solution concerning what  
3 happens with that wellbore?

4           A.    That's right, and that's the same thing that I  
5 pointed out a while ago, that inside a fairway unit there  
6 are operating agreements that provide for, typically, the  
7 majority of the owners to decide where the wells are needed  
8 and whether they should be drilled.

9                   And depending on what the notice provision might  
10 be, one is that maybe really no notice is actually given,  
11 because it's the operator giving notice to himself.

12          Q.    And there's a reason for that, is there not?  
13 Doesn't the contractual solution provide protection of  
14 correlative rights?

15          A.    Well, it's designed to do that, that's correct.

16          Q.    Let's see how that would work.  If in a PA, I  
17 have an interest in that PA in a drillblock in there, and I  
18 want to drill an infill well in that drillblock,  
19 immediately adjacent to that drillblock, still within the  
20 PA, if there's an offsetting infill well at a standard  
21 location, I'm going to share that production?

22          A.    That's correct.

23          Q.    I'm going to share in the cost and I'm going to  
24 share in the proceeds or the results of that effort, right?

25          A.    That's correct.

1 Q. Under the example that Phillips has provided, let  
2 me ask you about that. The Committee has discussed the  
3 fairway, has discussed how to configure and decide where  
4 that boundary is, they've utilized a daily rate, the  
5 parties discussed the negotiated -- and as an  
6 accommodation, or a collaboration, got to the 2-million-  
7 and-greater boundary as the line for the fairway?

8 A. That's correct.

9 Q. The Committee also said that within the fairway  
10 they would recognize that properties adjacent to a federal  
11 unit in which it's obvious that the owner is being  
12 encroached upon by the infill well are going to be  
13 different, by percentage or by identity, that those people  
14 were entitled to notice to their operator to see if there  
15 should be an infill well?

16 A. That's correct.

17 Q. Was yesterday afternoon the first time you saw  
18 from Phillips their proposal to modify that notice  
19 requirement and now require notice to working interest  
20 owners within the participating area of a federally  
21 approved unit?

22 A. That's right. In fact, the Committee never  
23 discussed that. It's the first time we've seen it.

24 Q. Have you looked at the Phillips exhibits?

25 A. Yes.

1 Q. They tabulate some conclusions based upon  
2 selected drainage areas for certain wells in the fairway,  
3 true?

4 A. Yes.

5 Q. Do you have an approximation of how many coal gas  
6 wells are in that fairway?

7 A. There's on the order of 400 to 450 wells in  
8 there.

9 Q. When the Committee was addressing what to do with  
10 that well population, did Phillips provide you any  
11 technical data at the Committee process to show you where  
12 their 85 sample wells were located?

13 A. Phillips never presented any technical  
14 information at any of the Committee meetings, and so --

15 Q. Did they show you --

16 A. -- this is the first time we've seen this.

17 Q. Did they show you what they used for gas in  
18 place?

19 A. No.

20 Q. Did they show you any spreadsheet or calculation  
21 for the data used to get gas in place?

22 A. No.

23 Q. Don't you need gas in place to run an engineering  
24 calculation to give you a drainage solution?

25 A. You need to show us something, and this is the

1 one problem that we have, is that we tried to show the  
2 Committee, over a number of meetings, reservoir studies,  
3 data that we've collected from our infill programs in  
4 Colorado; Burlington participated in the technical  
5 discussions and showed what they had found in their pilot  
6 areas; and Phillips never presented any technical  
7 information to the Committee for discussion. We've never  
8 seen any of this work before.

9 Q. In order to work a drainage calculation, not only  
10 do you have to have an assumption about gas in place --

11 A. Yes.

12 Q. -- you also have to have an estimated EUR, do you  
13 not?

14 A. Correct.

15 Q. You have to forecast what you think this well  
16 will ultimately produce?

17 A. Correct.

18 Q. Did they submit to you in the fairway any  
19 calculations, whether they were decline curve analysis, any  
20 of those?

21 A. No, we never saw any calculations.

22 Q. Did you get pressure data from Phillips by which  
23 you independently could perform a material-balance curve?

24 A. We didn't get any pressure data.

25 Q. Is there enough pressure data provided by

1 Phillips so that you could do a P/Z curve --

2 A. No.

3 Q. -- plotted over time?

4 A. No.

5 Q. Did they tell you how they got to an estimated  
6 ultimate recovery for any of the wells?

7 A. No.

8 Q. Did they submit any geologic data for you?

9 A. No.

10 Q. Let's go back to the unit example. You've got a  
11 participating area in the unit, you have a parent well, and  
12 you have the interest owners in the opposite 160 who, by  
13 contract are the same owners as the parent well. Does the  
14 Committee notice provide notice to the owners in that  
15 spacing unit in the opposite 160 from the infill well?

16 A. In a federal unit, we say the operator would  
17 provide notice to the operator, and in that effect no  
18 notice is really given at all inside the unit.

19 Q. Let's take your GPU and pull it out of the unit.

20 A. Okay.

21 Q. It's out of the unit. When you look at the GPU,  
22 the notice provision as accepted by the Committee as to the  
23 location of the infill well. Not the footage, but the fact  
24 that it's to exist in the 160-acre portion --

25 A. Right.

1 Q. -- notice is to what offsetting operators?

2 A. To the adjoining operators in the adjoining  
3 quarter sections.

4 Q. Is there any notice provided to the working  
5 interest owners in the other 160 that's in that GPU?

6 A. No.

7 Q. When we look at the rules for an unorthodox well  
8 location, if these are standard wells anywhere in the pool,  
9 the NSL rules don't require an application for an infill  
10 well?

11 A. I'm sorry, you'd have to --

12 Q. All right, if you're dealing with an infill well  
13 in the Coal --

14 A. Okay.

15 Q. -- if that's approved --

16 A. Right.

17 Q. -- then that well can be drilled in the unit if  
18 it's at a standard location within that 160?

19 A. Yes.

20 Q. All right. If it's closer than 660, it would  
21 trigger some additional notice requirements; is that right?

22 A. It would trigger the NSL requirements, yeah.

23 Q. Let's look at the effect of the Phillips  
24 proposal.

25 A. Okay.

1 Q. We're inside the unit, we're inside a  
2 participating area. We're totally surrounded by existing  
3 GPUs, and in the middle of that population is a GPU that  
4 has a parent well, and the interest owners, one interest  
5 owner in a unit, can propose the infill well?

6 A. I think any owner in a federal unit can propose a  
7 well, and must have some type of a majority approval with  
8 -- depending on the unit agreement.

9 Q. That percentage may vary, but --

10 A. Right.

11 Q. -- in all circumstances out there it's at least a  
12 majority?

13 A. That's what I would say, yes.

14 Q. Okay. If there's a one-percent owner who  
15 disagrees with a contractual solution to protect  
16 correlative rights, disagrees about the drilling of the  
17 infill well in the fairway, that one-percent owner can  
18 blackball the drilling of the infill well by protesting and  
19 go to hearing?

20 A. Yeah, with the Phillips notice procedures that  
21 would give that one-percent owner an opportunity to try to  
22 circumvent the unit operating agreement and throw it into  
23 the Commission.

24 Q. What are we going to do at the hearing? What  
25 kind of evidence are we going to use to determine whether

1 now that well should be drilled? What are we going to tell  
2 Mr. Stogner when we start doing all these? What's the  
3 criteria, what's going to be the burden of proof, what's  
4 going to be the --

5 A. Well, I don't know that that's totally been  
6 decided yet. I mean, we think we're going to show what we  
7 think needs to be showed to justify the well.

8 Q. Did the Committee ever address any of those type  
9 of issues about what happens in terms of a protest and how  
10 it should be configured in terms of the presentation of  
11 data and what that data is?

12 A. No.

13 MR. KELLAHIN: Thank you, Mr. Examiner.

14 EXAMINER STOGNER: Any redirect?

15 MR. CARR: No redirect.

16 EXAMINER STOGNER: Any other questions?

17 MR. BROOKS: I'd like to ask some -- Well, let  
18 Frank go ahead.

19 EXAMINER STOGNER: Okay, Mr. Chavez?

20 EXAMINATION

21 BY MR. CHAVEZ:

22 Q. Mr. Hawkins, if I heard you correctly, you said  
23 that there are perhaps some areas within the area outlined  
24 in the Committee recommendation where a second well was not  
25 necessary in a 320; is that right?

1           A.    Yes, I would anticipate there may be areas where  
2 wells are not needed.

3           Q.    How would that be determined?

4           A.    You know, I think the operator is going to have  
5 to take a look at all of the available information for that  
6 spacing unit and make a judgment whether they believe a  
7 well is needed to recover their reserves under their  
8 spacing unit or not.

9           Q.    Was the Committee's recommendation of that  
10 boundary area an attempt to -- or let me put it this way:  
11 Did they use criteria that an operator might use to  
12 determine whether a well is not necessary in order to  
13 create that boundary?

14          A.    Well, I think the first thing the Committee  
15 looked at was, what information did we have in terms of  
16 wells draining 320 acres or not? And we have information  
17 from our Colorado infill that shows some wells draining  
18 more than 320 and some wells draining less than 320.

19                   And you know, it indicates to me that, you know,  
20 we chose -- the Committee basically chose a 2-million-a-day  
21 line, and we had plenty of evidence showing wells that were  
22 making more than that, that were not draining 320 acres,  
23 that would need an infill well.

24                   So I think the Committee attempted to use some  
25 information, but I think the inherent problem is that you

1 can't draw a single boundary that works very well around  
2 this high-productivity area.

3 Q. Given that there are differences within the high-  
4 productivity area, how would BP take the opportunity to  
5 perhaps try to prevent the drilling of an unnecessary well  
6 that might offset their acreage? How would BP respond to  
7 that?

8 A. Well, I think we would have to take a look at  
9 what is our well doing, and do we need to have an  
10 additional well in our spacing unit? We would probably  
11 take a look at, you know, what information do we have on a  
12 well offsetting us?

13 Q. Would the drilling of an unnecessary well be  
14 determined to be wasteful within this area?

15 A. Well, the one thing I would say is, I think if  
16 you drilled an unnecessary well it would not necessarily  
17 reduce the amount of gas that would ultimately be  
18 recovered. It might be wasteful for the operator that  
19 decided to spend the money on it. I don't think it would  
20 adversely affect the other operators in the pool.

21 Q. But if the existing well is already draining the  
22 320 or more, wouldn't a second well cause drainage from  
23 offset acreage?

24 A. I don't know that it would. It's going to be  
25 drilled into an area that's already being depleted, it may

1 not get very much recovery. So I don't know that it would  
2 actually have any adverse impact on the offsets.

3 MR. CHAVEZ: Thank you.

4 EXAMINER STOGNER: Redirect?

5 MR. CARR: One question, a couple.

6 REDIRECT EXAMINATION

7 BY MR. CARR:

8 Q. Mr. Hawkins, when we talk about waste, if you're  
9 drilling in the high-productivity area and you drill a  
10 well, you're really not going to know what you are going to  
11 encounter in terms of the various coal layers until you  
12 drill that well; isn't that correct?

13 A. I think ultimately that's right, that --

14 Q. And if you don't drill that well, you won't know  
15 if there are reserves there that can be produced; isn't  
16 that right?

17 A. I believe that's correct.

18 Q. And if you drill a well and encounter incremental  
19 reserves, those are reserves that without that well will be  
20 left in the ground?

21 A. That's correct.

22 Q. And if you don't capture those incremental  
23 reserves, that is waste, is it not?

24 A. Yes, it is.

25 MR. CARR: Thank you.

1 EXAMINER STOGNER: Mr. Brooks?

2 EXAMINATION

3 BY MR. BROOKS:

4 Q. Yes, just to make sure I'm clear on what the  
5 various proposals are, first off, my understanding of the  
6 Committee proposal was that within the high-productivity  
7 area, any operator desiring to drill an optional infill  
8 well on a spacing unit in which there was already a  
9 Fruitland Coal well would be required to give notice to all  
10 offset operators; is that correct?

11 A. That's correct.

12 Q. Only to operators?

13 A. That's correct.

14 Q. And then the operators would have an opportunity  
15 to object and so forth.

16 Now, wherein does Phillips' proposal differ from  
17 that?

18 A. Their proposal is that if you are the same  
19 operator in the adjoining spacing unit, that you then  
20 provide notice to all the working interest owners, and --

21 Q. In the offsetting unit?

22 A. In the offsetting spacing unit or offsetting --

23 Q. -- spacing unit --

24 A. -- spacing unit, or offsetting -- yeah, I think  
25 it's offsetting spacing unit.

1 Q. Okay. And in either proposal is there any  
2 distinction between units within a federal exploratory unit  
3 and spacing units not within a federal exploratory unit?

4 A. Yeah, there's no distinction.

5 Q. Okay. Based on that graph up there, if I  
6 understand it, each of those bars is a cumulative  
7 percentage. That is to say, the first one represents the  
8 percentage of wells that are under 1000 MCF per day; the  
9 second bar, while it's labeled 1000 to 2000, the percentage  
10 that you read off there is actually the percentage that are  
11 under 2000 --

12 A. That's correct.

13 Q. -- barrels per day?

14 A. That's correct.

15 Q. Now, Mr. Vu Dinh testified yesterday that by and  
16 large -- and I understand there's always the possibility of  
17 individual exceptions -- but as I understood his testimony,  
18 as a general proposition he believed that wells that  
19 produced over 5000 MCF per day would drain 320 acres or  
20 more; is that your understanding?

21 A. Well, I think that is what he maybe testified to.  
22 We haven't seen evidence for wells over 5 million a day, so  
23 we would -- I think his testimony was, he assumed that  
24 there would be no incremental recovery.

25 Q. Okay, I understood him to be a little more

1 definite than that and to give an opinion that he thought  
2 that that would be the case, but the record will speak for  
3 itself.

4 In any event, if you look at that chart up there  
5 and you look at the fifth bar where it is the 4000 to 5000  
6 MCF per day, that indicates that about two-thirds of the  
7 wells within the high-productivity area are 5 million a day  
8 or less, correct?

9 A. That's correct.

10 Q. Which leaves about a third of those wells that  
11 are over 5 million dollars --

12 A. That's correct.

13 Q. -- 5 million MCF per day?

14 That would indicate, would it not, that there are  
15 a substantial number of wells, if we accept the \$5-million-  
16 a-day [*sic*] cutoff, that there are a substantial number of  
17 locations where an infill well is not needed within the  
18 high-productivity area, correct?

19 A. Well, I guess I'm looking at it like the glass is  
20 two-thirds full instead of one-third empty.

21 Q. Yeah, okay. Well, I've been accused of being the  
22 glass-half-empty person, so...

23 Okay. Now, in a highly competitive area, if  
24 there is a situation where an offset well does not need to  
25 be drilled but your offset operator -- you're operator of a

1 unit, you don't believe that an offset well -- that a  
2 second offset -- that a second off infill well should be  
3 drilled in that unit, but the operator of the adjacent  
4 spacing unit drills a second offset well, is there not an  
5 incentive, then, for you as the operator to drill a  
6 protection well, even though you might not otherwise drill  
7 an infill well in that spacing unit?

8 A. Well, I think you could say there's an incentive.  
9 The operator is definitely going to take a look at that.  
10 But you know, I think there's a number of things you try to  
11 determine, and that might one be, if the first well wasn't  
12 really needed, it might not produce very well because it  
13 was drilled into a depleted area, so it might not be much  
14 of a threat.

15 Q. However, if you were -- if you had a unit where  
16 you had a highly productive well that was draining 320,  
17 it's entirely possible that the offset operator might see  
18 that as a situation where by drilling an additional well on  
19 his unit, that he could cut in on the sweet spot and get  
20 some of that high productivity away from you; isn't that  
21 possible?

22 A. I guess -- This is the issue that I see, is that  
23 different owners inside this area are going to have  
24 different motives for development and for not wanting  
25 someone to drill or wanting to drill their own.

1 Q. Okay. Well, I think the Examiner will understand  
2 the incentive structure as well as anybody, but I have one  
3 further question.

4 Were you here -- one further line of questions --  
5 Were you here yesterday when Mr. Hayden testified?

6 A. Yes.

7 Q. And you may recall that I asked him some  
8 questions about the statement in the proposed rule that the  
9 hearing would be on the Application, correct?

10 A. Correct.

11 Q. Okay. Now, if we were to phrase it that the  
12 hearing would be on the objections and perhaps add any  
13 other necessary language to make it clear that the party  
14 objecting to the proposed infill well had the burden of  
15 proof, if that were the decision that we made, would that  
16 address some of your criticisms of the proposed rule?

17 A. Well, I think it would clarify what would be  
18 expected at the hearing, but I don't think it would change  
19 my criticisms.

20 Q. Would it possibly -- by virtue of the fact that  
21 it would focus the Division's attention on the matter,  
22 would it possibly address the concern that you have that  
23 objections would be filed for improper reasons? That is,  
24 to prevent the drilling of a well, rather than to --  
25 because there's a valid objection?

1           A.    I would agree, it would probably reduce the  
2 number of frivolous objections.

3           MR. BROOKS:   Okay, I think that's all.

4           MR. KELLAHIN:   Mr. Stogner, may I follow up on --

5           EXAMINER STOGNER:   Mr. Kellahin?

6                                FURTHER EXAMINATION

7           BY MR. KELLAHIN:

8           Q.    Let me take the example where you're in the  
9 federal unit, you're in the participating area, you're in  
10 an existing drillblock, and you're going to drill the  
11 infill well.  The infill well is proposed.  If that well is  
12 successful and totally surrounded by a PA, all parties,  
13 even those adjacent to that well, share in production from  
14 the infill well?

15          A.    That's correct.

16          Q.    And if they collectively decide that there's no  
17 more wells needed, you stop drilling?

18          A.    Correct.

19          Q.    Because all parties share in all that production,  
20 regardless of where the well is?

21          A.    I think that's the advantage of being in a  
22 federal unit, is that you've got -- the ownership over a  
23 large area is all common, and so there is very little  
24 potential to violate correlative rights inside a federal  
25 unit and --

1 Q. Let's talk about the --

2 A. -- and there's a method for the majority of the  
3 ownership to determine what should be done.

4 Q. Let's talk about the burden of proof. If it's  
5 shifted to the opponent, to the objecting party, you as the  
6 applicant are still going to have to go through the study  
7 and science and preparation of exhibits, witnesses and time  
8 and effort to come oppose the objection?

9 A. You're absolutely right. And in fact, putting  
10 that objection in is likely to delay the drilling of that  
11 well for maybe as much as a year, because you can go to a  
12 couple of hearings on the matter.

13 MR. KELLAHIN: No further questions.

14 EXAMINER STOGNER: No questions, you may be  
15 excused.

16 MR. CARR: Mr. Stogner, that concludes BP  
17 America's direct presentation.

18 EXAMINER STOGNER: What's the length of your  
19 presentation, Mr. Hall?

20 MR. HALL: Estimated one hour. All we have to do  
21 is load in a CD, and we're ready to go.

22 EXAMINER STOGNER: Okay, let's take a five-minute  
23 recess.

24 (Thereupon, a recess was taken at 9:20 a.m.)

25 (The following proceedings had at 9:30 a.m.)

1           EXAMINER STOGNER: This hearing will come to  
2 order. Again for the record, I'm Michael Stogner,  
3 appointed Hearing Examiner.

4           We've had a special request, and Mr. Van Ryan, if  
5 you'll identify yourself.

6           MR. VAN RYAN: My name is Larry Van Ryan, and I'm  
7 with McElvain Oil and Gas, interest owner in a number of  
8 these units that have been talked about in the fairway area  
9 here.

10           And I wanted to make a statement that I see  
11 there's potential in here for not protecting offset rights,  
12 and I guess I don't know the answer to this, but I want to  
13 bring this up.

14           It's always been said in here we're going to  
15 notify the offset operator. Is there an operator on all  
16 the offset acreage? And I have to ask this of Amoco,  
17 Burlington, those people that know.

18           It looked to me when we saw the plot that Bill  
19 presented just a little while ago, there are some areas in  
20 there where there are not offset Fruitland Coal wells. If  
21 that's the case, there may not be an operator. So who do  
22 you notify?

23           I think that the suggestion the Committee came up  
24 with needs to be amended to say in those cases you need to  
25 notify the working interest owners. And it's very similar

1 to the nonstandard location rules and the rest of those  
2 rules that address that. But I think that you can't just  
3 say operator as they have done and protect everybody's  
4 right.

5 And that's the statement I wanted to make on  
6 that.

7 EXAMINER STOGNER: Thank you, Mr. Van Ryan.

8 MR. VAN RYAN: Thank you.

9 EXAMINER STOGNER: Mr. Hall?

10 MR. HALL: Mr. Examiner, at this time we would  
11 call Mr. Steve Jones to the stand, and I would note for the  
12 record Mr. Jones was previously sworn.

13 STEVE JONES,  
14 the witness herein, after having been first duly sworn upon  
15 his oath, was examined and testified as follows:

16 DIRECT EXAMINATION

17 BY MR. HALL:

18 Q. For the record, please state your name, sir.

19 A. Steve Jones.

20 Q. And where do you live and by whom are you  
21 employed?

22 A. I live in Farmington, New Mexico, and I'm  
23 employed by Phillips Petroleum Company.

24 Q. What do you do for Phillips?

25 A. I'm a reservoir engineering specialist.

1 Q. And I understand you have not previously  
2 testified before the Division or one of its Examiners and  
3 had your credentials established as a matter of record; is  
4 that correct?

5 A. That's correct.

6 Q. Would you give the Hearing Examiner a brief  
7 summary of your educational background and work experience?

8 A. I have a bachelor's and master's degree from the  
9 University of Wyoming in petroleum engineering. I've  
10 worked for Phillips Petroleum Company for about 16 years.  
11 The last six or so years I've been working in the San Juan  
12 Basin.

13 Q. All right. And are you familiar with the  
14 Application that's been filed in this case?

15 A. Yes, I am.

16 Q. And are you also familiar with the Basin-  
17 Fruitland Coal Gas Pool and the Cedar Hills-Fruitland Coal  
18 Gas Pool and their respective pool rules?

19 A. Yes, I am.

20 Q. Did you also participate in the deliberations of  
21 the Fruitland Coalbed Methane Study Committee?

22 A. Yes, I did.

23 MR. HALL: At this point, Mr. Examiner, we would  
24 offer Mr. Jones as a qualified expert petroleum engineer.

25 EXAMINER STOGNER: Any objections?

1 MR. CARR: No objection.

2 EXAMINER STOGNER: So qualified.

3 Q. (By Mr. Hall) Mr. Jones, have you prepared a  
4 number of exhibits and slides in connection with your  
5 testimony today?

6 A. Yes.

7 Q. All right, let's look at those, please, sir.  
8 Let's go to what's been marked as Exhibit 1. Would you  
9 explain that to the Examiner?

10 A. This first slide shows Phillips' participation in  
11 the units. The red cross-hatched areas shown on the plat  
12 shows where Phillips operates federal units, and the green  
13 cross-hatched area shows where Phillips has some degree of  
14 interest in a unit operated by another company. It also  
15 shows the line that the Committee agreed upon as the  
16 fairway boundary, and it shows our property in relation to  
17 that.

18 We've put together some summary slides of  
19 analysis we've done on three different areas. One area was  
20 north of the high-productivity area, or what we're calling  
21 fairway, and the second analysis was in the high-  
22 productivity area, and the last area was in the  
23 underpressured area.

24 Phillips operates primarily -- our underpressured  
25 area is primarily located in the 29-5 and 29-6 federal

1 units.

2 Q. Are you finished with Exhibit 1?

3 A. Yes, I am.

4 Q. Let me ask you something about this exhibit. I  
5 understood you testified that this was the boundary line  
6 established by the Committee; is that correct?

7 A. That's correct.

8 Q. I want to talk to you about the Committee's  
9 deliberations, briefly. There's been a suggestion here  
10 this morning that given Phillips' participation in the  
11 Committee through its duration that Phillips hasn't  
12 necessarily been forthcoming with technical evidence. I  
13 wonder if you would recount for the Examiner and the  
14 audience really what happened throughout the Committee's  
15 deliberations on this issue? What was Phillips' role in  
16 all that?

17 A. The Committee originally got together to study  
18 the area outside the fairway, wherever that fairway was to  
19 be decided upon. It was recognized by most operators that  
20 infill drilling was warranted outside the fairway.

21 Phillips, as you can see on this slide, is  
22 primarily interested in our fairway acreage, and we wanted  
23 to be a part of that Committee to show -- or to represent  
24 our interest toward that end.

25 Q. There has been a complaint -- We've heard Mr. Van

1 Ryan testify about the notice issue. Phillips recently  
2 proposed a modification to the Committee's notice proposal,  
3 very minor modification, and can you explain to us why that  
4 change was made so late in the game here?

5 A. That change and the other change that was  
6 proposed for additional infill study areas in the fairway,  
7 Phillips learned as recently as last week that operators  
8 were planning significant numbers of wells within the  
9 fairway. And as Mr. Hayden testified yesterday, it had  
10 always been Phillips' understanding that operators were  
11 going to take a rational approach to the fairway and a  
12 limited number of wells would be drilled, and then we would  
13 revisit this issue a year or so down the road.

14 As we learned last week and yesterday, in  
15 yesterday's testimony, there could be as many as 300 wells  
16 drilled next year in the fairway. And if there's only 450  
17 wells in the fairway before any study has been done, the  
18 fairway is going to be drilled. And that's what Phillips  
19 is concerned about.

20 And that's why we put together our testimony at a  
21 late stage.

22 Q. And approximately 300 well that we understand are  
23 now being planned by BP and Burlington, those plans weren't  
24 revealed to the Committee, were they?

25 A. It was always Phillips' understanding that -- as

1 I mentioned, that a rational approach was going to be taken  
2 to the fairway, as it was to the underpressured area.

3 Had we continued to believe that and not known  
4 about the additional wells that were going to be drilled,  
5 we probably, very possibly, wouldn't be here today.

6 Q. All right. And those 300 wells are just from two  
7 operators. We don't know what the other operators are  
8 planning out there, do we?

9 A. No, we don't.

10 Q. All right, let's get back to your slides. If we  
11 could refer to slide 2, Exhibit 2, please, sir, explain  
12 that.

13 A. As I mentioned, our underpressured acreage is in  
14 29-5 and 29-6. We don't have a lot of acreage in here, but  
15 what we can say about this area, we would suggest it is  
16 analogous to what Dr. Clarkson yesterday described in his  
17 Davis Pilot Area. These wells are drastically different in  
18 productivity, compared to the fairway.

19 And as you can see on the first dot point, the 27  
20 wells that we operate in this area to date have only cum'd  
21 about a quarter of a BCF per well.

22 Also, estimating their ultimate recovery from  
23 these wells -- and we used decline-curve analysis to  
24 determine this ultimate recovery -- the average from these  
25 same 27 wells is only .4 of a BCF.

1           The last dot point -- and as you will see in  
2 later slides, Phillips did some material-balance estimates  
3 on wells. We took the wells that had available pressure  
4 information in the underpressured area in our operations  
5 here and determined an estimated drainage area. I present  
6 two different calculations here for comparison purposes.

7           As you'll see in the later slides, the Langmuir  
8 isotherm that we agreed -- or that we used in the drainage-  
9 area calculation was 500 standard cubic feet per ton. And  
10 as Dr. Clarkson reported yesterday, in the underpressured  
11 area a more appropriate number is going to be more like  
12 half that number.

13           And so the point of that really is that the  
14 drainage area for these wells tends to be much less than  
15 320 acres.

16           And so in summary for our underpressured area  
17 work, the main point is that we're in total agreement with  
18 Burlington's presentation.

19           Q. All right, let's talk about the area north of the  
20 high-productivity line. If you would refer to your Exhibit  
21 Number 3, please, sir.

22           A. This slide gives a summary of some of the  
23 conclusions that Phillips came to in our analysis of wells  
24 north of the high-productivity line.

25           The first dot point, Phillips did several single

1 and multi-well, multi-layer models. In those models we saw  
2 incremental recovery that was as high as 15 percent. In  
3 general, it was between 5 and 15 percent for these wells.

4 The modeling primarily was done in the northern  
5 32-8 area. One benefit we feel is that infill drilling in  
6 this area will help accelerate the dewatering, and that  
7 will have a beneficial effect on economics for those wells.

8 The second dot point, Phillips operates two wells  
9 that are right on the Colorado border, on the New Mexico  
10 side, that are right across the border from the Colorado  
11 infill wells that Mr. Dinh presented yesterday in his Mesa  
12 Mountain study area.

13 We did a similar type of analysis as he did, and  
14 our analysis also showed that there was no significant  
15 interference on those wells from the infill well.

16 The third point, we extended this same material-  
17 balance analysis to a total of 45 wells that are north of  
18 the fairway line. Most of the drainage areas that we  
19 calculated were between 160 and 320 acres.

20 And the last conclusion is that Phillips is  
21 supporting infill drilling in this area.

22 Q. All right, let's look at your study of the  
23 Colorado infill wells. Let's refer to Exhibit 4.

24 A. This slide shows where the wells are located that  
25 Phillips operates, as indicated on the slide in Section 7

1 and Section 8. The infill drill well that Vastar drilled  
2 is also indicated in Section 21 in Colorado.

3 Again, Phillips performs some pressure-transient  
4 analysis and P/Z\* analysis, and we showed no interference  
5 from the infill well after 40 months of production.

6 One thing I need to point out about this area is  
7 that on the New Mexico side from Section 7 and eastward,  
8 all those wells except for one have been drilled since  
9 1998. The eastward and again south on the New Mexico side  
10 is generally a fairly undeveloped area with wells that are  
11 fairly new. The wells that are existing there have very  
12 low productivity. And the point of that is that these  
13 wells -- or this area in the reservoir is at a very early  
14 stage in its life cycle as a coalbed methane well.

15 On the Colorado side, as Mr. Dinh testified also,  
16 as you extend eastward, the productivity is dropping  
17 rapidly. Many of the wells right across the border here  
18 have exhibited or are exhibiting inclining production,  
19 which is also an indication of the reservoir being at a  
20 very early stage in its life cycle.

21 Q. All right, let's refer to Exhibit 5.

22 A. The next analysis we took on these same wells was  
23 to try to determine an appropriate drainage area. One  
24 thing that's -- after you determine gas in place using  
25 material-balance estimates, you have to use a gas-content

1 number in order to calculate that drainage area.

2 This slide and the next one show the importance  
3 of needing a good gas content to use in this calculation.  
4 As the slide shows, in a range of 410 standard cubic feet  
5 per ton to 840 standard cubic feet per ton you can  
6 calculate a drainage area of 320 or 160.

7 The next slide shows a similar range of 309 to  
8 636 standard cubic feet per ton.

9 The importance of this again is that, depending  
10 on what number you use, you could come to two totally  
11 different conclusions. One conclusion would tell you you  
12 needed an infill well, and the other would tell you you  
13 didn't.

14 So the next step Phillips took --

15 Q. Just a minute, you've just been referring to  
16 Exhibit Number 6; is that correct?

17 A. Right, 6.

18 Q. For the record. Go ahead, I'm sorry.

19 A. The next step -- if I can get this thing to move  
20 -- the next step Phillips took is, we took Langmuir-volume  
21 data from 81 coal samples that were taken throughout the  
22 Basin, and we created a distribution that is meant to  
23 approximate a typical coal interval. The average, as the  
24 slide shows, was 506 standard cubic feet per ton. This is  
25 the value, or 500 is the value that was used in this

1 analysis that we had done.

2 And I believe I heard Mr. Dinh testify yesterday  
3 that he used a similar-type number.

4 That value seems to be in agreement with wells  
5 we've looked at on a smaller well-by-well scale.

6 Q. The wells for these 81 samples were derived from  
7 or located where, primarily?

8 A. Throughout the San Juan Basin, in the fairway.

9 Q. In the fairway, all right.

10 A. If you back up again to these slides, you can see  
11 that using 500 standard cubic feet gives you on the 8  
12 Number 1 about a 202-acre drainage area?

13 Q. Again, you're referring to Exhibits 6 and 5, for  
14 the record?

15 A. Correct. And on Exhibit 5 for the Well 7 Number  
16 1, 500 standard cubic feet per ton gives you about a 265-  
17 acre drainage area. Again, I believe those values are  
18 fairly consistent with what BP calculated on their parent  
19 wells that they presented yesterday.

20 Phillips next took this a step farther, and  
21 analyzed a total of 45 wells, referring to the next slide,  
22 slide 8, where we did material-balance estimates of gas in  
23 place and then calculated a drainage area for these 45  
24 wells.

25 What the average shows, as the slide is showing,

1 the average is 333 acres. For the sake of argument we  
2 threw out the wells that were draining greater than 640  
3 acres. That still showed a fairly high drainage area. The  
4 average was 294.

5 What this implies is that in a given section you  
6 may have one well that's draining much more than 320 acres,  
7 and the other well draining much less. But the average  
8 together is still draining the 320 acres.

9 The problem with that in this distribution is  
10 that you can see on the two bars on the left, which  
11 represent the wells that are draining less than 320 acres,  
12 they make up 69 percent of the distribution. That 69  
13 percent, the average drainage radius for those wells was  
14 239 acres.

15 That suggests to Phillips that there are  
16 significant areas outside the fairway that would warrant  
17 infill drilling. There's also less of a chance that  
18 competitive issues are going to interfere. That, coupled  
19 with the modeling results, led us to believe that we should  
20 infill drill this area.

21 Q. The area you're talking about, your study area  
22 for Exhibit 8, is north of the high-productivity area?

23 A. That's right, and I should mention a caveat about  
24 that. This data was fairly close to the fairway, in  
25 general less than a township north of the northern border.

1 And as you move farther and farther out to the north, away  
2 from this area, you could apply this analysis less  
3 reliably.

4 Q. Let's refer to Exhibit 9. What does that show?

5 A. Exhibit 9 moves into the summary points that we  
6 concluded from our high-productivity analysis.

7 As the first dot point mentions, on average the  
8 wells were found to be draining at least 320 acres.

9 The second dot point mentions that there's a  
10 significant distribution of wells with a drainage area that  
11 fell between 160 and 320 acres. And by significant what I  
12 mean is that, as you'll see in a minute, the distribution  
13 for wells with drainage areas less than 320 acres was about  
14 36 percent.

15 The third point mentions that we did some  
16 pressure data, or we used some pressure data to show that  
17 there was a significant area across the high-productivity  
18 area that had a fairly uniform pressure.

19 The fourth point is, in selected areas within the  
20 high-productivity are, infill drilling may be warranted.  
21 That goes back to the comment about that there is a  
22 distribution of wells that are draining less than 320  
23 acres. The problem is, as you'll see in a minute, it's  
24 less likely that those lower-drainage-area wells are not  
25 being offset by the high-drainage-area wells that are

1 draining more than 320 acres.

2 The last point mentions that there's a  
3 notification process. That notification process was put in  
4 place to allow operators the ability to address situations  
5 where infill wells were not warranted.

6 The next slide --

7 Q. Let me ask you about this. Overall, what is  
8 Phillips' position with respect to drilling in the high-  
9 productivity area?

10 A. As I'll describe, Phillips' position in the high-  
11 productivity area is that we do not believe that the case  
12 has been proven that infill drilling is warranted in the  
13 high-productivity area. We will present data that will  
14 show -- that will question that conclusion and suggest that  
15 more study needs to be done before infill drilling is done  
16 on a large basis within the high-productivity area.

17 Q. Let's look at Exhibit 10. What does that show?

18 A. Exhibit 10 shows the distribution of 85 wells  
19 that we looked at throughout the fairway. The first thing  
20 to note is that the average for all these wells were --  
21 average drainage area was 389 acres, which is well in  
22 excess of 320 acres. Even if for some reason you decided  
23 to throw out, again, the wells draining more than 640,  
24 you're still getting a drainage area of 353 acres.

25 A significant point about this distribution is

1 that there's a reversal between it and the last one I  
2 showed you for wells north of the high-productivity area.  
3 In that previous slide it showed that greater than 60  
4 percent of the wells were draining less than 320 acres. In  
5 this slide it's showing that 64 percent of the wells are  
6 draining more than 320 acres. In fact, the average for  
7 those wells greater than 320 acres is 481 acres. That's  
8 proof of the competitive environment that the fairway is  
9 in.

10 Still, however, as I mentioned, there are still  
11 36 percent of the wells that are less than 320 acres. What  
12 that means is that statistically it's possible that there  
13 are areas within the fairway that will require infill  
14 drilling. But as this distribution also shows, the  
15 probability is much less likely that those lower-drainage  
16 area wells are not going to be offset by the high-drainage-  
17 area wells.

18 Q. If you would refer to -- if you have a set of the  
19 BP exhibits in front of you?

20 A. No, I don't.

21 Q. Mr. Jones, if you would refer to BP's Exhibit 20,  
22 Mr. Vu Dinh talked about yesterday, what is your view of  
23 his conclusions with respect to that exhibit? Is he  
24 correct?

25 A. Well, in applying this to Fairway in New Mexico,

1 in comparison the first thing I would have to do is throw  
2 out all the data less than 2 million a day, because that's  
3 what the line was that established the fairway.

4 Looking at the data greater than 2 million a day  
5 and just eyeballing it, it looks like the proportion of the  
6 wells that are draining more than 320 acres looks to be in  
7 the -- maybe the 20- to 30-percent range.

8 This slide that I've showed you shows that the  
9 wells draining over 320 acres makes up more than 60  
10 percent. So this is significantly different than what Mr.  
11 Dinh showed in Colorado.

12 So what I would suggest, that there is some  
13 differences across the political boundary, at least in some  
14 areas.

15 Q. All right, look at Exhibit 11, please.

16 A. This slide is again taken from some material-  
17 balance work that we did similar to the drainage-area  
18 calculations that we made. We used a distribution or a  
19 population of about 200 wells to produce a pressure contour  
20 map.

21 There's some definite holes in this data. As the  
22 slide is pointing out, along the southern boundary there's  
23 limited amount of data, to the northeast there's also  
24 limited amount of data in the Rosa Unit, the Allison Unit,  
25 the northern part of the Northeast Blanco Unit, and then to

1 the northwest where it's white we did not have any data,  
2 although we strongly suspect that this trend would  
3 continue.

4 The point of the slide is that the lighter-  
5 colored green here shows a very large area where pressure  
6 has equalized. What that means is that in the plus or  
7 minus 12 years that we've produced this Basin, pressure has  
8 dropped from about 1650 pounds down to less than 300  
9 pounds. In fact, in some of this area pressure has been  
10 recorded less than 100 pounds.

11 What this reflects is the high-permeability  
12 nature of the fairway. Even though there is a significant  
13 amount of reserves left at low pressures, this indicates  
14 that there's a very competitive environment in the fairway.

15 One thing I should point out in rebuttal to the  
16 comment made about this, this data was provided -- was  
17 available to any interest owner in these federal units that  
18 wanted it. The data came from Phillips, it came from  
19 Northeast Blanco Unit, from Devon, and it came from  
20 Burlington. Phillips -- this data in general is a pressure  
21 that will record, in general, the most productive, most  
22 prolific low-pressure layer.

23 And so it is a true statement that there are  
24 layers that will show pressures higher than this. But what  
25 this indicates is that there is at least one layer or

1 layers that are in communication across a very large  
2 boundary.

3 Q. Look at Exhibit 12. Explain that, please, sir.

4 A. The next slide is data that was provided to the  
5 Committee, specifically to Mr. Hayden. This is from four  
6 Devon-operated pressure-observation wells. These wells are  
7 all in locations where one might drill an infill location.

8 The last data point, as you can see, is in early  
9 2000. If you project that data into early 2002, you can  
10 see that data is showing a pressure that is very similar to  
11 what was shown on the previous slide. The one exception is  
12 the red curve, Number 211, which does not follow that  
13 trend. But the fact that the data is going flat there for  
14 the last few data points leads me to think that there may  
15 be problems with that data.

16 Q. This tends to substantiate your previous exhibit,  
17 that there's a pretty rapid equilibration of pressures --

18 A. Yes, it does.

19 Q. -- in the area?

20 Let's look at Exhibit 13, please.

21 A. The next slide is a plat, and it's not totally to  
22 scale, but it shows the general outline of the 30-and-5  
23 unit that Phillips operates. We think that this area, in  
24 the northern part of it anyway, is very similar to Vastar's  
25 or BP's Mesa Mountain area. All the red wells are wells

1 that have been drilled since 1998.

2 There's an area to the east and to the north that  
3 either is underdeveloped, or the wells that are existing  
4 there are very low in productivity. At the same time,  
5 those wells are fairly close to the fairway, which is  
6 indicated here, which is where the Committee -- Uh-oh. You  
7 should change your battery.

8 EXAMINER STOGNER: Do we need to take a recess?

9 MR. HALL: Apparently someone's battery is  
10 running out. It may be on the pointer.

11 EXAMINER STOGNER: Okay. Well, just for the  
12 record's sake, let's take a five-minute recess and get this  
13 problem situated.

14 (Thereupon, a recess was taken at 10:00 a.m.)

15 (The following proceedings had at 10:10 a.m.)

16 EXAMINER STOGNER: Hearing will come to order.  
17 Thank you, Mr. Hall, I'll turn it back over to you.

18 Q. (By Mr. Hall) Mr. Jones we were discussing  
19 Exhibit 13. Why don't we resume with that?

20 A. I'd just like to point out for the record that  
21 that was cruel and unusual punishment to prolong this for  
22 me here.

23 (Laughter)

24 EXAMINER STOGNER: So noted.

25 THE WITNESS: Backing up here, this is a slide of

1 the 30-and-5 Unit that Phillips operates, and as I was  
2 saying, we believe that this area in the northern part of  
3 the unit, indicated by all the wells in red, is similar to  
4 BP's Mesa Mountain area.

5 All these wells in red were drilled since 1998.  
6 There's also -- there's an area to the east and to the  
7 north that is either underdeveloped, or the wells that are  
8 there are very low productivities. This area, this  
9 location in the reservoir, is early in its life cycle of a  
10 typical CBM production phase.

11 The wells are also fairly close to the fairway,  
12 indicated by these lighter-colored blue or green, whatever  
13 color that is, that is the area outlined by the Committee  
14 as the fairway.

15 If I was to back up just for a minute to the  
16 pressure slide, you can kind of see where the pressure data  
17 is in relationship to the 30-5 Unit.

18 Q. (By Mr. Hall) For the record, that's in the  
19 southeastern portion of the fairway?

20 A. Correct. It's not advancing here.

21 One more, please. Thank you.

22 Some points that I want to make about this slide,  
23 we've chosen two wells, the 264 and the 219R. They're  
24 indicated with arrows. What I want to show is what might  
25 happen in an infill drilling situation for productions in

1 different phases of their life cycle.

2 The next slide, Number 14 -- Point at that.

3 Okay, I'll figure it out.

4 The first thing to note is, the pressure in this  
5 well was initially about 1400 pounds. The original  
6 reservoir pressure in this area, as I mentioned earlier,  
7 was about 1650 pounds. So that indicates that this well  
8 had some amount of drainage before the well was drilled.

9 If you back up to the plat slide, you'll note  
10 that all those red wells around there were recently  
11 drilled. The 237 is a very poorly productive well. The  
12 219 is such a poorly productive well that it was redrilled.  
13 The 218 is a mediocre well -- or a medium-producing well, 1  
14 to 2 million. The 215 was a well that has exhibited a  
15 typical early-phase CBM production profile of inclining  
16 production.

17 What this tells me is, we've had some drainage on  
18 that well -- or in that location. Where did the drainage  
19 come from? If you calculate drainage area on the 215 or  
20 218, the 237, all the wells around it, none of them would  
21 show you a drainage area greater than 320 acres. So how  
22 did that well get drained?

23 The answer is, I believe, that there are layers  
24 or layers that haven't been identified that are being  
25 drained far away in the fairway down to the south and west.

1     What this tells me concerning the analysis that we've used  
2     and that BP used is that the drainage-area analysis may not  
3     be appropriate for the fairway because of layering effects  
4     that have not been fully studied.

5             Q.     If I could get you to refer to BP's Exhibit 22,  
6     that was the Vastar exhibit that Mr. Dinh testified to.  If  
7     I might, Mr. Examiner...

8             Do you recall Mr. Dinh's testimony with respect  
9     to the initial pressures for the parent and infill wells?

10            A.     Yes, I do.

11            Q.     What do you have to say about that?

12            A.     Again, I would suggest that this area is very  
13     similar to the area that I'm pointing out in the northern  
14     30-and-5 Unit.  Again, in the 264, it also showed some  
15     fairly high reservoir pressures.

16            But what's significant to note is, it's not  
17     virgin pressure.  Nor is it virgin pressure on the Vastar  
18     wells.  That indicates that there's some amount of  
19     drainage.  And again, the Vastar wells are very similar to  
20     ours in that they're adjacent to an underdeveloped area  
21     which has a reservoir that's very early in its life cycle.

22            Going back to Exhibit 14, the other points to  
23     note, again, on the gas production, it exhibits the  
24     inclining production that is typified of this area.

25            The third thing to note is how fast the

1 bottomhole pressure is dropping. Again, this area already  
2 exhibited pressure communication. What's happening in this  
3 reservoir and in this well is that it's trying to equalize  
4 down to that low-pressure area to the southwest, and within  
5 a matter of a few short years, it will do just that. My  
6 supposition is that if Phillips were to drill infill wells  
7 in this area, we would see results very similar to what BP  
8 showed.

9           The question that I also have to ask is that,  
10 knowing that this pressure communication in at least some  
11 layers did exist, or does exist, and that the reservoir is  
12 inclining in productivity, do I need to drill wells there?  
13 Did Vastar need to drill the wells they drilled?

14           Q. That's the question for operators, as well as the  
15 Division here today.

16           A. Going to the next slide is the 30-and-5 219R.  
17 This well is about a mile closer to the fairway.

18           Q. For the record, you're referring to Exhibit 15?

19           A. Correct, correct.

20           Q. Go ahead.

21           A. This well only has one pressure data point, but  
22 it's at about 500 pounds. So the pressure has dropped  
23 considerably in this well, and again it is much closer to  
24 the fairway.

25           In wells in this area, as opposed to the area in

1 the 264, the 264 has exhibited some dewatering effects, and  
2 so water production in that area is less than what you  
3 would expect in virgin territory, but it's still in the 50-  
4 to-100-barrels-a-day range.

5 In this type of reservoir, water production has  
6 gotten to about as low as it will ever get, about a barrel  
7 a day of water. Wells that are drilled in this type of  
8 reservoir have already gone through the productivity-  
9 enhancement phase that a CBM well sees. And when we drill  
10 a well in this area, on average you're going to expect it  
11 to come on line at or near where the offsets are producing,  
12 and they will start declining immediately.

13 This kind of reservoir response is nothing like  
14 what BP presented. This kind of response is what you're  
15 going to see in the fairway, because in the fairway you  
16 have much less pressure, even much less pressure than this  
17 well is showing.

18 Q. So infill-well drill of these areas, they're  
19 going to come on at peak production; is that what you're  
20 saying?

21 A. Phillips over the years has done a lot of  
22 modeling that suggests that wells will come on, on average  
23 -- you're always going to have some lateral changes in the  
24 reservoir that are going to give you different production  
25 responses, but on average you should expect the well to

1 come on near where the wells around it are at.

2 So I guess the next point I would make is that in  
3 the fairway production has been on decline for quite a  
4 while. The fairway in New Mexico peaked in 1995 or 1996  
5 and has since gone on decline. If I were to back up six or  
6 eight years and drill wells in the fairway, we would see  
7 similar kind of responses than what BP presented.

8 But we have the benefit of that six or eight  
9 years, and we know that the pressure differences that they  
10 reported, and we would have seen they're gone. And so  
11 you've got to ask yourself again, were those wells  
12 necessary? Are they necessary?

13 The fact that there's pressure communication in  
14 these wells means that there is some effect on surrounding  
15 wells.

16 Q. Is it appropriate in a high-perm reservoir such  
17 as this to take the production you observe from an infill  
18 well alone, a stand-alone well, to justify it economically  
19 in terms of recoverability?

20 A. No, it's not. If you take a well, again going  
21 back to my rates here, if an operator drills a well in the  
22 fairway and they get a well coming on line that's at or  
23 near where the offsets are, they're going to get a pretty  
24 good rate. The temptation is to take that one well and  
25 determine the economic benefit from that one well, or maybe

1 that well and its offset parent well.

2 The fact that this data is shown, especially on  
3 the 264, you have to look at a large enough section of the  
4 reservoir to see what kind of effect you're going to have  
5 on the offset production. And looking at that well alone  
6 in a high-permeability, highly competitive reservoir is a  
7 critical mistake. You must look at a large enough area to  
8 see what the effect is going to be on the surrounding  
9 wells. That has not been done by Phillips, it has not been  
10 done by anybody on the Committee.

11 Q. So it deserves further study and --

12 A. It deserves further study.

13 Q. Let's refer to slide 16, Exhibit 16, please, sir.

14 A. This slide is concerning the notification process  
15 that was established for the fairway area. The intent of  
16 this notification process was to simplify what the current  
17 rules were. The current rules in the pool state that every  
18 well must go to a hearing in order to justify infill  
19 drilling. The Committee agreed that we wanted to simplify  
20 the process, and so that was the intent.

21 As has been pointed out, there's a problem with  
22 that notification process that in the center of a federal  
23 unit, for example, when the operator is proposing a well,  
24 the only person he's notifying is himself. And as BP  
25 pointed out, there's an inherent unfairness in that toward

1 drillblock owners.

2 Phillips tried to come up with a solution that  
3 would address that issue, and we took language from the --  
4 as has been pointed out -- from the unorthodox well  
5 procedures, and the one sentence that we added is indicated  
6 here, that "In the event the operator of the proposed  
7 optional infill well is also the operator of an existing  
8 adjoining GPU, then a copy of the APD shall be sent to all  
9 working interest owners in that GPU."

10 Q. Okay, the location of that text within the  
11 Committee's notification proposal was shown on Exhibit  
12 16-A; is that right?

13 A. That's correct. We do not believe this is much  
14 of a burden. Again, this is a much simpler process than  
15 what the operators face under the current ruling -- under  
16 the current process, where everything has to go to a  
17 hearing.

18 As has been pointed out also, in these federal  
19 units, most of the operators have interest in these federal  
20 units. And so if they want the opportunity to protest a  
21 well, this gives them that chance.

22 Q. And so what's contemplated here is that when an  
23 operator proposes an infill well, submits his APD, he  
24 attaches a verification, as is currently provided for under  
25 the existing proposal, indicating that he's notified offset

1 operators, or where an offset operator is the same as the  
2 applicant --

3 A. Correct.

4 Q. -- the working interest owners in that offsetting  
5 GPU?

6 A. Right.

7 Q. And that would trigger some sort of mechanism for  
8 those interest owners to at least be cognizant of an infill  
9 well proposal?

10 A. Correct.

11 Q. Now -- Of course, Phillips would be obliged to  
12 follow this same rule for the units it operates, correct?

13 A. Absolutely.

14 Q. Why does Phillips want this?

15 A. Why does Phillips want the notification process?

16 Q. Yes.

17 A. We feel, as I've already pointed out, that it's a  
18 solution that we agreed with the Committee, would simplify  
19 the current procedures.

20 It also -- as been pointed out, in a federal unit  
21 there's an operating agreement where we find out about  
22 these things in that process. The problem is, in the real  
23 world a working interest owner may find out too late to  
24 have any kind of an effect on this process. And if the  
25 working interest owner wanted to protest the notification

1 process through the balloting procedure may not give  
2 adequate notice?

3 Q. So Phillips is the operator of one of the federal  
4 township units in the Basin?

5 A. We are operators of the 29-5, 29-6, the 30-and-5,  
6 the 31-6, the 32-7 and the 32-8 federal units.

7 Q. And Phillips owns nonoperating working interest  
8 in other federal township units?

9 A. Correct.

10 Q. And so you're familiar with, in general, the  
11 terms and provisions under those federal unit agreements  
12 and unit operating agreements, and they all provide for  
13 annual plans of development?

14 A. Correct.

15 Q. And they also have some sort of mechanism for the  
16 balloting of AFEs where working interest owners,  
17 nonoperators, get to vote on certain procedures, certain  
18 well proposals, et cetera, where expenditures are  
19 contemplated over a certain amount. Why isn't that  
20 adequate protection for a nonoperator?

21 A. It goes back to the economic-waste issue that has  
22 been brought up already. If a working interest owner  
23 believes that it is destroying value to drill an infill  
24 well, his only opportunity currently is to use that process  
25 and use his percentage ownership in that well to try to

1 vote against it.

2 We would like to see that each working interest  
3 owner have the opportunity to object to a well that they  
4 believed was destroying value.

5 Q. Is it possible that a unit operator could file  
6 his APD with the OCD and get approval before a plan of  
7 development is circulated or an AFE ballot is circulated?

8 A. It's very possible that that would happen before  
9 the working interest owners would see the AFE.

10 Q. And if that nonoperating working interest owner  
11 weren't notified of that process, his opportunity to really  
12 object would be lost?

13 A. That's correct.

14 Q. Why isn't Phillips proposing that unleased  
15 mineral interests be notified as required under the NSL  
16 procedural rules?

17 A. It's very unlikely that in the fairway that there  
18 are no unleased tracts, and so that situation is very  
19 unlikely to come up.

20 Q. All right. The fairway is all leased up, is what  
21 you're saying?

22 A. Right.

23 Q. Let's look at Exhibit 17. Would you explain that  
24 to us?

25 A. Phillips believes there are some problems with

1 unconstrained fairway drilling.

2           And again, before I go any farther, I want to  
3 point out that this is the reason why Phillips is here in  
4 the first place, because we didn't feel that the  
5 Committee's process was going to allow wholesale drilling  
6 of the fairway, but we were going to look at it with  
7 rational methodology on a small scale and revisit the issue  
8 and then decide whether it was really necessary.

9           And in fact, as has already been testified,  
10 operators are planning on wholesale drilling of the  
11 fairway, before any significant study has been done in the  
12 fairway to prove that it is even warranted. This is why  
13 we're here.

14           The first thing that I point out is that the  
15 fairway is a highly competitive reservoir. As we pointed  
16 out, there's very high perm in the reservoir. And in fact,  
17 the fairway is known throughout the world as one of the  
18 most -- or the most prolific reservoir -- or coalbed  
19 methane reservoir in the world.

20           There's a domino effect. Let me give you an  
21 example on that, let me pick no Burlington for a minute.

22           Burlington operates the Allison Unit which is in  
23 and out of what is defined as the fairway. Phillips  
24 operates the 32-7 Unit, which is right next to the Allison  
25 Unit. We have no interest in the Allison Unit, so as a

1 working interest owner we're not going to find out about  
2 any infill wells that are going to happen in the Allison  
3 Unit.

4 Let's say Burlington decides they want to drill  
5 every infill location that they have there. They know that  
6 Phillips might protest if they drill on the boundary, so  
7 they drill every other well, except on the boundary. I  
8 don't have to do any modeling in that area -- and we  
9 haven't done any modeling in that area, but I don't have to  
10 do any modeling. Williams Production Company operates the  
11 Rosa Unit, Devon operates the NEBU Unit. None of us are  
12 going to need a model to tell us to know that we need to  
13 get to drilling.

14 And once we get to drilling, the race is going to  
15 be on. Once everybody starts drilling, the fairway is  
16 going to be drilled up in a matter of a few years. We can  
17 already -- You may think I'm being a little wild with that  
18 statement, but the fact is it's already begun, and you've  
19 heard it.

20 As a prudent operator on these properties that we  
21 operate, it is our obligation to protect reserves. And  
22 once we see this happening, we will have no choice but to  
23 start to drill wells. And once that starts, like I said,  
24 the race is going to be on, everybody's going to be wanting  
25 to drill the wells as fast as they can, and there's going

1 to be little or no study on whether these wells were really  
2 needed or to do any kind of study to see what the  
3 appropriate completion method is. It's just going to  
4 happen like that, and it's going to be over.

5 If you refer back to my slide where Phillips  
6 showed a distribution of wells within the fairway, we  
7 showed that more than 60 percent of the wells were already  
8 draining 320 acres. Phillips operates about 250 wells in  
9 the fairway. That means that if we were forced to drill  
10 250 wells, 160 of those wells are not going to be  
11 necessary. That's economic waste.

12 Q. At the same time you say we're off to the races  
13 on drilling, you're necessarily going to know when you have  
14 to get out there and drill to protect your own reserves,  
15 just as a prudent operator?

16 A. The moment we see operators drilling in large  
17 numbers -- it doesn't matter if they're more than a section  
18 away from us -- we will have to start drilling to protect  
19 our reserves.

20 Q. And this is not entirely operators' discretion,  
21 is it? Under your federal unit agreements and unit  
22 operating agreements, you have an express contractual  
23 obligation to protect against drainage, don't you?

24 A. That is correct. We feel that that is a  
25 correlative-rights issue too, and there's other points to

1 make there. If there's, in a race, small interest owners  
2 and operators that have a significant number of wells that  
3 they're required to drill, they won't be able to keep up  
4 with the large operators. They just don't have the  
5 infrastructure, the resources, to keep up.

6 And also -- and this has already been brought up  
7 too, but in the fairway there's going to be high-perm  
8 areas, or I should say higher-perm areas, of wells that are  
9 draining more than 320 acres. It's inherently unfair to  
10 allow those wells to drill extra wells. That means if  
11 they're draining more than their share now, they're going  
12 to be draining even more.

13 The bottom line in this whole thing is that  
14 unconstrained drilling in the fairway is unhealthy for  
15 everybody. There hasn't been enough study to suggest that  
16 infill drilling in the fairway is required. We may end up  
17 coming to that conclusion, but it is not appropriate for  
18 right now.

19 Phillips has proposed that we limit the drilling  
20 in the fairway. Each operator can drill a limited number  
21 of pilot wells, we can analyze the data, we can look at the  
22 layering effects, we can do the big models that show what  
23 kind of effect infill wells are going to have on wells far  
24 away from where they're drilled. We can do all that  
25 science that needs to be done. The fairway has a huge

1 amount or reserves, and there's a huge potential for abuse  
2 in this if infill wells are allowed to be drilled in a  
3 wholesale manner like this.

4 As has been pointed out, there's, you know, 2500  
5 locations outside the fairway. There's 2500 locations that  
6 could be infill-drilled. Let the operators concentrate on  
7 that area and give us time to study the fairway. There's  
8 no reason to be in a hurry on the fairway.

9 Q. Let me ask you, Phillips is a large operator, so  
10 I think you can appreciate some of the motivations of the  
11 larger operators that can marshal the resources to  
12 undertake these high-volume, large number of drilling  
13 programs to do so.

14 Isn't it accurate to say that one motivation is  
15 that by scheduling a large number of wells in a short  
16 period of time allows an operator to realize efficiencies  
17 just through economies of scale just in time scheduling?  
18 You reduce your overall drilling cost.

19 A. That's correct.

20 Q. Is it safe to say that that is often a primary  
21 motivation for undertaking a large drilling program?

22 A. That is one of the motivations, yes.

23 Q. Get back to -- just so the record is clear on  
24 this, what the Committee's approach was to this whole  
25 process. How did they approach it originally?

1           A.    Again, when Phillips entered into this Committee,  
2   our main concern was with the fairway.  We recognize at the  
3   same time that the nonfairway coals really did need infill  
4   drilling, and we have no argument with that whatsoever.

5                    But we also recognize that the fairway didn't  
6   need infill drilling.  And it may, as I said, come out in  
7   the end that there are places in the fairway that do  
8   require infill drilling.  But that study has not been done.

9           Q.    Is it accurate to say that the Committee was in  
10  agreement that there ought to be pretty much wide-open  
11  infill drilling in the lower-productivity area?

12           A.    It was never my understanding that anybody was  
13  planning that.  And again, as I testified earlier, had  
14  Phillips believed that people were going to take a rational  
15  approach to developing the fairway, we would probably not  
16  be here today.  But it was only very recently that we found  
17  out that people were planning as many wells as they're  
18  talking about.

19                    The ironic thing about this whole process is that  
20  when this race starts, everybody's going to forget about  
21  the nonfairway coals, because everybody's going to be  
22  concentrating all their resources on drilling the fairway.  
23  And that wasn't the purpose of the Committee to start with.

24           Q.    If I understand what you're saying, the Committee  
25  agreed that additional data and study was needed on the

1 high-productivity area, that's why they delineated the  
2 boundary for it in the first place, and we've come back to  
3 that, wouldn't we?

4 A. It's fair to say that certain operators didn't  
5 believe that there was -- additional study was warranted.  
6 But it's also fair to say that there was a number of  
7 operators that were concerned that the fairway needed to be  
8 outlined. And everybody, including those operators who  
9 didn't want to see the boundary, agreed on a boundary.

10 Q. All right. Now, under the proposal for poolwide  
11 infill development as BP would have it, is there a greater  
12 likelihood that the drilling of unnecessary wells would  
13 result?

14 A. I believe that there is greater likelihood,  
15 because it doesn't give people within a federal unit the  
16 opportunity to protest a well.

17 Q. And would there be a significant number of those  
18 unnecessary wells resulting?

19 A. We already know that there will be significant  
20 numbers, because you heard yesterday that if there's 450  
21 wells in the fairway, 300 of them could get drilled next  
22 year, just from two operators.

23 Q. And that increase -- but the likelihood of waste  
24 result in increase?

25 A. Correct.

1 Q. And is there likelihood that correlative rights  
2 would be adversely affected?

3 A. I believe so.

4 Q. In your opinion, given the data analyses that are  
5 available now, would the Phillips proposal best serve the  
6 interests of conservation, result in protection of  
7 correlative rights and prevention of waste?

8 A. I believe so.

9 Q. Let's look briefly at your last slide, Exhibit  
10 18, if you'd like to summarize for us, Mr. Jones.

11 A. In summary, Phillips believes that infill  
12 drilling is required in the underpressured area. Our data  
13 has shown that there's a significant difference between the  
14 reservoir inside and outside the high-productivity area.  
15 The line is needed, it was agreed to by everybody on the  
16 Committee and should be used.

17 Our data showed the wells sampled in the high-  
18 productivity area, 64 percent of those wells had a drainage  
19 area of 481 acres. Stated another way, 64 percent of the  
20 wells had a drainage area greater than 320 acres.

21 In the wells sampled north of the high-  
22 productivity line, 69 percent of those wells had an average  
23 drainage radius less than 320 acres or, on average, 239  
24 acres.

25 The notification process is meant to address the

1 issues where people believe infill wells in the high-  
2 productivity area are not warranted. We don't believe that  
3 those are burdensome to anyone, and they're very reasonable  
4 requests.

5 The last dot point, Phillips has presented the  
6 only testimony of New Mexico fairway data, and in the high-  
7 productivity area in New Mexico that data suggests that the  
8 current spacing is adequate.

9 There may be places in the fairway where we will  
10 finally decide that infill drilling is warranted, but that  
11 study has not been done.

12 The solutions we've given, I think, are  
13 reasonable. I would venture to say that Burlington has  
14 done a quality job on their work in the underpressured  
15 area. The Carracas Canyon work that EP did, also good  
16 work.

17 All I'm asking is that the Committee give us time  
18 to set the same standard for the fairway.

19 Q. Were Exhibits 1 through 18 prepared by you?

20 A. Yes, they were.

21 MR. HALL: At this time, Mr. Examiner, we would  
22 move the admission of Exhibits 1 through 18.

23 That concludes our direct of this witness.

24 EXAMINER STOGNER: Any objections?

25 MR. CARR: No objection.

1 EXAMINER STOGNER: Exhibits 1 through 18 will be  
2 admitted into evidence at this time.

3 Thank you, Mr. Hall.

4 Mr. Kellahin?

5 EXAMINATION

6 BY MR. KELLAHIN:

7 Q. Mr. Jones, would you turn to slide 3, please?

8 A. Slide 3?

9 A. Yes, sir.

10 EXAMINER STOGNER: Excuse me, Mr. Carr, would you  
11 slip that microphone down to Mr. Kellahin, if you would?

12 I'm sorry, which exhibit were you going to turn  
13 to?

14 Q. (By Mr. Kellahin) Mr. Jones, we're looking at  
15 slide 3 of the Phillips presentation. Can you put that up  
16 on the screen for us?

17 A. Oh, yes.

18 Q. Mr. Jones, you have concluded your presentation  
19 this morning by a statement that the fairway -- Let me make  
20 sure that I'm clear with you about what I mean with the  
21 fairway term: I'm talking about that entire area that's  
22 scribed inside of the 2-million-a-day producing rate?

23 A. Correct.

24 Q. I'm going to call that the fairway.

25 A. Okay.

1 Q. Everything else is nonfairway. Within the  
2 fairway, you say that there's a need for additional study,  
3 data and analysis of that fairway, right?

4 A. Correct.

5 Q. And you talk about the well density for those  
6 studies; isn't that the point of those studies, is to  
7 ultimately decide well density in the fairway?

8 A. If -- Yes, that's correct.

9 Q. Read for me the last bullet point on Exhibit 3.  
10 What does that say?

11 A. "Phillips supports infill drilling in this area."

12 Q. That is in the fairway, is it not?

13 A. No, it's not.

14 Q. All right, let's look at the area north. Turn to  
15 Exhibit 3.

16 A. This is -- Where do you want to be?

17 Q. I'm sorry, Exhibit 4. When we look at the area  
18 north of the fairway, this is your argument about  
19 additional wells north of the fairway?

20 A. Correct.

21 Q. All right. And you've given us an example of  
22 Well 7, which is a parent well?

23 A. Correct.

24 Q. And the legend shows that some 40 months earlier,  
25 the Number 2 well in Section 21 was drilled, it's at an

1 infill location. Am I reading that right?

2 A. The legend says that the infill well was brought  
3 on line in early 1999.

4 Q. But the arrow points to the Number 2, that's the  
5 infill well?

6 A. Correct.

7 Q. All right. When you look at the parent well, it  
8 was in competition with the infill well, apparently, for  
9 some 40 months, right?

10 A. The analysis that I showed and BP showed both  
11 suggest that they weren't in competition.

12 Q. Because there was no interference?

13 A. Because there was no interference, and the  
14 drainage area, if you believe that data, is less than 320  
15 acres.

16 Q. Do you recall the average daily producing rate  
17 for last year for the parent Number 7 well?

18 A. It was greater than 2 million a day, most likely.

19 Q. Yeah, it was almost 2 1/2 million a day.

20 A. Okay.

21 Q. And it produced at that rate without being  
22 affected by the infill well?

23 A. That's correct.

24 Q. Do you have other examples whereby you're  
25 attempted to compare a parent well with another well that

1 would be at an infill location in the fairway, now?

2 A. No, I do not.

3 Q. Let me see if there's an opportunity to do that.

4 If you look at the current spacing rules and take a  
5 section --

6 A. Okay.

7 Q. -- in a section you're entitled to put a coal  
8 well either in the northeast quarter or the southwest  
9 quarter, and if you follow that pattern and go up  
10 diagonally, either to the northeast or southwest, the  
11 adjoining section would have a parent well that would be an  
12 offset to another well in the adjoining section. Do you  
13 see what I'm saying?

14 A. I think so.

15 Q. All right. For example, let's look at Section 13  
16 to the south and west of the 7.

17 A. Okay.

18 Q. The parent well is in the northeast of 13, do you  
19 see that?

20 A. Correct.

21 Q. Under the current rules, the Number 7 well could  
22 be a parent well, but it's in the same relationship if that  
23 well had been an infill well?

24 A. I don't know what the distances are, but I'll  
25 grant your point.

1 Q. Yeah, the geometry of the well-spacing patterns,  
2 based upon existing spacing, creates the opportunity to  
3 examine parent wells that are arranged by the diagonal  
4 relationship of those wells.

5 A. Okay.

6 Q. Do you see that?

7 A. Yes, I understand.

8 Q. How many wells are in the fairway, coal wells?

9 A. If I've heard right, 450 or 700, somewhere in  
10 that range.

11 Q. I only recall 456, but somewhere around 450?

12 A. Okay.

13 Q. Have you looked at any of those wells to see if  
14 they're configured and paired so that you could do some  
15 interference studies to see if they were affecting each  
16 other?

17 A. No, I have not, and no one else has either.

18 Q. I want to go to the slide that shows the 75 wells  
19 on Exhibit 11 -- I'm sorry, 10, Exhibit 10. Would you put  
20 that on the screen for us?

21 There are 450-plus coal wells in the fairway, and  
22 you demonstrate a conclusion based upon looking at 85?

23 A. Yes.

24 Q. Do you have a map or tabulation that will show me  
25 where these 85 wells are?

1           A.    No, I don't.  I could have asked the same thing  
2 from the BP's argument, which is the same sort of analysis.

3           Q.    Well, it's my turn to ask you questions, Mr.  
4 Jones, and I'm asking you, do you have --

5           A.    No, I do not have a map --

6           Q.    -- a map that shows you where they are?

7           A.    I do not have a map.

8           Q.    Can you prepare such a map?

9           A.    Sure, I can prepare such a map.  I can tell you  
10 in general where all these wells are at right now.

11          Q.    I prefer to see it on the map, Mr. Jones.

12          A.    Okay.

13               MR. KELLAHIN:  Mr. Examiner, may we ask that the  
14 witness prepare such a map and have it submitted to us  
15 after hearing so that we can see where the 85 wells are in  
16 relationship to other wells in the fairway?  I think it's  
17 useful to see how they're dispersed.

18               MR. HALL:  And I would ask the same of BP's  
19 witnesses, Mr. Examiner, if we must.

20               MR. CARR:  Mr. Stogner, we've already provided a  
21 map of the study area.  We'll be able to point that out to  
22 Mr. Hall in our exhibit book.

23               MR. HALL:  The wells identified --

24               EXAMINER STOGNER:  Would this map be sufficient,  
25 Mr. Kellahin, that BP has already prepared?

1 MR. KELLAHIN: No, sir, I'm interested in what  
2 Mr. Jones selected as his 85, and I'm not sure Mr. Carr can  
3 identify those for me.

4 MR. CARR: I can identify the BP wells and will  
5 do so. But I can't identify these 85, I don't know where  
6 they are.

7 EXAMINER STOGNER: Could you provide a supplement  
8 map, Mr. Hall --

9 MR. HALL: We'll do that.

10 EXAMINER STOGNER: -- for Exhibit Number 10?

11 MR. HALL: We can do that.

12 EXAMINER STOGNER: I take that as a yes, and  
13 we'll determine when you can get that a later time. I'll  
14 go ahead and allow you to cross-examine.

15 Q. (By Mr. Kellahin) Mr. Jones, when we look at 85  
16 wells, what was your engineering criteria that you used for  
17 selecting those 85?

18 A. We chose wells that had pressure data.

19 Q. Is that the only criteria on which they were  
20 chosen?

21 A. Pretty much, yes.

22 Q. When I choose a well based on pressure, what is  
23 my criteria for choice of the type of reservoir pressure  
24 data I need?

25 A. I'm not sure --

1 Q. What kind of reservoir data are you looking for  
2 in terms of pressure for the wells selected?

3 A. The point of finding wells with pressure data is  
4 so you can do the material-balance analysis to determine  
5 what gas in place is for the individual well.

6 Q. For your drainage calculation in the fairway, you  
7 did not use decline-curve analysis to get you to an  
8 estimated gas recovery --

9 A. No, we did not.

10 Q. You tried to use material balance?

11 A. That's correct.

12 Q. And when you take the P/Z plot for your pressure  
13 and create your line, you're going to need more than one  
14 pressure point?

15 A. That is absolutely correct.

16 Q. Is there a minimum criteria that you used after  
17 obtaining a first pressure point so that you can draw your  
18 curve?

19 A. Well, in general you need at least two points,  
20 but the more, the better.

21 Q. So for purposes of this study, can we assume that  
22 all 85 of these wells had two pressure points?

23 A. Correct.

24 Q. The first pressure point is derived how? Is that  
25 a measured bottomhole pressure point?

1 A. Yes, they're all measured bottomhole points.

2 Q. Are you taking surface pressures and  
3 extrapolating then to a bottomhole pressure?

4 A. No, they're pressures as I described earlier in  
5 my pressure map. They're typically dip-in pressure points  
6 that are reflecting, most likely, the lowest-pressure,  
7 highest-productivity layer. So it's one pressure that is  
8 reflecting the total open wellbore.

9 Q. And of the pressure points you've used, are they  
10 all the same type of pressure data?

11 A. If I'm following your question, yes, they are.

12 Q. You're not taking surface pressures --

13 A. No, we are not taking surface pressures.

14 Q. -- and trying to subtract or calculate what they  
15 would be at reservoir pressure?

16 A. No, we're not.

17 Q. All right. Is all that pressure data for the  
18 wells in this population available publicly?

19 A. It was available to Phillips, because in many of  
20 the cases where we were the operator of the unit we  
21 gathered the data. Some of the data came from Burlington,  
22 some of the data came from Devon.

23 Q. Is that data pressure available to you today?

24 A. Yes.

25 Q. Do you have it with you?

1 A. No, I do not have it with me.

2 Q. Could you prepare that data in a form that we  
3 could submit it as an exhibit for this hearing so that we  
4 can look at that pressure data?

5 A. Sure.

6 MR. KELLAHIN: We would ask that that happen, Mr.  
7 Examiner.

8 MR. HALL: Mr. Examiner, my only concern is that  
9 at some point we need to close the record on this hearing.  
10 I'm not sure what Mr. Kellahin contemplates here by --

11 MR. KELLAHIN: Well, I'll tell you. I don't  
12 contemplate closing the record based upon this summary plot  
13 that discloses none of the data, none of the methodology or  
14 how you got here. That's what I want to find out.

15 THE WITNESS: We would like to see the same stuff  
16 reciprocated.

17 MR. KELLAHIN: I'm not advancing the argument  
18 that this well population --

19 THE WITNESS: But you are advancing --

20 EXAMINER STOGNER: Order. You're under cross-  
21 examination, Mr. Jones.

22 Okay, let's get this question here.

23 MR. KELLAHIN: My request at this point is to  
24 have the pressure data provided by Phillips for these 85  
25 wells.

1 EXAMINER STOGNER: Okay, Mr. Hall, do you see a  
2 problem with that?

3 MR. HALL: We do not. Again, I'd still like some  
4 clarification on what it is Mr. Kellahin contemplates. Are  
5 we going to reconvene and continue these hearings an  
6 additional day, or are we simply going to provide the data?

7 EXAMINER STOGNER: You just want the data?

8 MR. KELLAHIN: Yes, sir.

9 EXAMINER STOGNER: In a supplemental -- another  
10 supplement to Exhibit Number 10, the 85 wells?

11 MR. KELLAHIN: Right.

12 EXAMINER STOGNER: Okay, and what exactly will  
13 this information show that you want?

14 MR. KELLAHIN: It's going to show me the pressure  
15 data for each of the pressure points that Mr. Jones used on  
16 his material-balance curve where he constructs his P/Z  
17 plot. I want to be able to see that data and to replicate  
18 it with my own engineer, to see if we come to the same  
19 conclusion. He's chosen not to give us the data now, and  
20 I'd like to look at it.

21 EXAMINER STOGNER: I don't see that as an  
22 unreasonable request, Mr. Hall.

23 MR. HALL: We will do that, we understand  
24 Burlington and BP will reciprocate.

25 EXAMINER STOGNER: Continue with your

1 questioning.

2 MR. KELLAHIN: All right, sir.

3 Q. (By Mr. Kellahin) Mr. Jones, when we look at the  
4 drainage calculation, did you make a separate drainage  
5 calculation for each of the 85 wells?

6 A. Yes, we did.

7 Q. And when you have summed those results, you have  
8 arranged them in the categories that you have on this  
9 display within these groupings?

10 A. Correct.

11 Q. All right. When we look at the wells in the  
12 second column on the right, that's the range of 160 to 320,  
13 and within that population of wells it looks to be about 27  
14 or 28 wells?

15 A. Yes.

16 Q. Somewhere right in there? Do you have a table  
17 with you that will show us each individual drainage-area  
18 calculation for each of those 25 wells?

19 A. I don't have one with me, but I'd be glad to give  
20 it to you.

21 MR. KELLAHIN: All right, sir, we would  
22 appreciate having that supplied, Mr. Stogner.

23 EXAMINER STOGNER: How many other requests are  
24 you going to be making?

25 MR. KELLAHIN: Well, I want to be able to

1 duplicate his drainage calculation, because they've chosen  
2 not to give us samples of how to do that, and I want to  
3 test the integrity of this conclusion. I assume this  
4 hearing won't stop here necessarily, Mr. Stogner.

5 MR. HALL: Mr. Examiner, let me make a point that  
6 when these -- Phillips' exhibits were tendered for  
7 admission into evidence, we received no objection from Mr.  
8 Kellahin.

9 It's the nature of expert testimony that an  
10 expert may rely on outside underlying data. It's not  
11 necessary for him to provide all of that underlying data at  
12 the hearing. I would argue to you that because these  
13 exhibits came in without objection, it's really an untimely  
14 request now to try and seek the underlying data.

15 EXAMINER STOGNER: Mr. Hall has a point, Mr.  
16 Kellahin.

17 MR. KELLAHIN: I don't have any objections to the  
18 document, but I am entitled under Rule 705 of the Rules of  
19 Evidence in New Mexico to cross-examine this expert on his  
20 conclusions. He's made a conclusion with this display, and  
21 I'm entitled to test how he got there. And it frustrates  
22 my ability to cross-examine him if he doesn't have the  
23 supporting documents here to talk about. I'm entitled to  
24 that --

25 MR. HALL: I disagree with the characterization

1 of the Rule. If there is any such entitlement, it was  
2 waived.

3 EXAMINER STOGNER: Okay, we've already agreed to  
4 a supplemental map and some pressure data. What more are  
5 you going to ask for?

6 MR. KELLAHIN: What I'm looking for is, I want  
7 the individual work sheets that show the drainage  
8 calculation for each of these wells in this display. I  
9 want to be able to look at the drainage calculation. I  
10 want to see what factors he used and whether they were  
11 correct.

12 MR. HALL: In other words, Mr. Examiner, he wants  
13 to do discovery after the fact. I just think that's really  
14 improper under the Division's rules.

15 MR. KELLAHIN: We don't have discovery in New  
16 Mexico in this hearing.

17 EXAMINER STOGNER: The fact that the Applicant in  
18 this case is the Committee, assuming the Committee is  
19 working together to some degree, and I'm going to --  
20 hopefully --

21 MR. HALL: We will provide --

22 EXAMINER STOGNER: -- all this information was  
23 submitted, is submitted, for the Committee to review, and  
24 that's the impression that I got because of the way the  
25 Application came through as a Committee, and not as one

1 operator. It was all operators within the area.

2 So with that spirit in mind, when I asked that  
3 you provide this information not to just Mr. Kellahin but  
4 to the Committee, so input can be provided for all parties  
5 of the Committee. I'm assuming Phillips was part of that  
6 Committee, was it not?

7 MR. HALL: Yes, Mr. Examiner. We will provide  
8 the information that's been requested so far with respect  
9 to Exhibit 10 this morning. We understand that we're going  
10 to close the record on this hearing at some point.

11 EXAMINER STOGNER: It will be closed at some  
12 point.

13 Mr. Kellahin?

14 MR. KELLAHIN: Thank you, Mr. Examiner.

15 Q. (By Mr. Kellahin) Mr. Jones, when you conduct a  
16 drainage calculation, you need to have two basic  
17 conclusions to reach your drainage calculation. You need  
18 to have calculated or estimated the original gas in place;  
19 is that not true?

20 A. That's correct.

21 Q. All right. You either have to make an assumption  
22 about the fitness of the reservoirs in the engineering  
23 calculation, or you have to rely on some geologist to  
24 analyze to give you what you think is a reliable thickness  
25 component for the calculation?

1 A. That's correct.

2 Q. Did Phillips provide to you or to the Committee  
3 any geologic study on gas in place in the fairway?

4 A. As I stated already, we determined gas in place  
5 for these 85 wells using pressure data.

6 Q. All right, let's look at the components to  
7 determine gas in place. You're going to have to make an  
8 assumption, or you're going to have to decide per well on  
9 the gas-content component of the calculation, right?

10 A. We did not do that. What we used is the average  
11 of 500 that I showed on Exhibit 7.

12 Q. You used the Langmuir volume?

13 A. Right.

14 Q. The 500 volume?

15 A. Right.

16 Q. And you applied that to all 85 wells?

17 A. Correct.

18 Q. If the Langmuir volume is too small, then  
19 correspondingly the calculation will lead you to a drainage  
20 area that's too large?

21 A. Correct.

22 Q. Did you use any other methodology to try to  
23 derive at what is an appropriate Langmuir volume for each  
24 of the 85 wells, other than the display you showed us?

25 A. No.

1 Q. What did you use for the density component of the  
2 calculation?

3 A. 1.5.

4 Q. And for the drainage calculations you have to  
5 assume an area. What area did you assume for the  
6 calculation?

7 A. No, the way that the equation works is, from a  
8 material-balance estimate using the P/Z data, you calculate  
9 a gas in place. With that, you're back-calculating an area  
10 from that volume. And what you need to calculate that, you  
11 primarily need, as you mentioned, you need your net pay and  
12 you need some gas content. Those are the two things you  
13 need.

14 Q. As you run through the calculation, you can back-  
15 calculate 320s or 160s or whatever that spacing pattern is  
16 applicable?

17 A. You have to make -- we have to make an assumption  
18 -- or we made the assumption that on each one of these 85  
19 wells, that the 500 standard cubic feet per ton was the  
20 appropriate value, and then we calculated whatever drainage  
21 area the well showed for whatever gas content we had found.

22 Q. All right, let's talk about the net thickness  
23 number.

24 A. Okay.

25 Q. You have to build the container to contain the

1 gas to make the calculation. What assumptions did you make  
2 about the container being calculated?

3 A. It's not necessary to make an assumption like  
4 that. I'm not following what you're --

5 Q. All right, what assumption of thickness did you  
6 use and how did you get there?

7 A. We assumed data that was available that Phillips  
8 has gathered over the years on net pay for a given well.

9 Q. So each of the 85 wells --

10 A. -- has a net pay.

11 Q. -- will have a net pay directly attributable to  
12 that well?

13 A. That's correct.

14 Q. Are you summing up the various coal layers in  
15 order to get that --

16 A. Yes --

17 Q. -- number?

18 A. -- that's correct.

19 Q. Do you make any assumptions or adjustments in  
20 your calculation to account for the discontinuity, the  
21 lateral discontinuity of the coal?

22 A. No.

23 Q. You're going to assume that if you calculate 320  
24 acres, that that thickness you've chosen is uniform in  
25 distribution within the calculated area?

1           A.    That's the only thing we can assume.

2           Q.    All right.  And if we look at the drainage  
3 calculation for each of the 85, then we're going to see how  
4 you input those values and got to the conclusion for each  
5 well that is now redistributed on Exhibit Number 10?

6           A.    Correct.

7           MR. KELLAHIN:  That's all I'm asking for, Mr.  
8 Stogner.

9           Q.    (By Mr. Kellahin)  Let's turn to the pressure  
10 map, Exhibit 11.  Identify for me the significance of the  
11 color-coding.

12          A.    The color-coding is -- Let's see if I can read it  
13 here.  The very light color is pressures less than 300  
14 pounds.  The next darker color is less than 600 pounds, and  
15 then the darkest green is wells greater than 900 pounds.

16          Q.    Greater than --

17          A.    Excuse me, I think I said that wrong.  The  
18 lightest color is -- it shows an area of wells that had  
19 pressures less than 300.  The next is from 300 to 600, 600  
20 to 900, and then the darkest color is greater than 900.

21          Q.    I believe I correctly understood you when you  
22 told us that this pressure map was the lowest pressure on  
23 the well?

24          A.    Correct.  And the reason why I say that is  
25 because I know that there are layering effects in the

1 fairway, and typically what you find when you gather this  
2 kind of data is, the lowest pressure is going to reflect  
3 your most productive low-pressure zone.

4 Q. So I want to make sure that you don't disagree  
5 with Mr. Thibodeaux that the coals in here are layered?

6 A. Oh, definitely not.

7 Q. And that as a result of their pilot study wells  
8 you can get different coal textures per layer?

9 A. Yes, in fact, we've -- Phillips has gathered  
10 data, Burlington has gathered data that they've reported to  
11 the Committee, showing that differential depletion exists  
12 in the fairway.

13 And what I mean by differential depletion is that  
14 there are layers that are at different pressures. And the  
15 significant thing about that, though, is that they show  
16 significant depletion in every layer.

17 Q. Have you attempted to analyze the pressure data  
18 in such a way that you could ascribe to a certain layer  
19 the pressure? There's no way to do that, is there?

20 A. Could you --

21 Q. Can you take the pressure --

22 A. Uh-huh.

23 Q. -- and define or determine to what layer of the  
24 multi-layer pool to attribute the pressure to?

25 A. All we've gathered in that respect is probably a

1 half a dozen wells that I know of that we gathered layer  
2 pressure data in selected places. That's all that's been  
3 done toward that end.

4 Q. If you'll turn to Exhibit 9 for me, it says on  
5 the first bullet conclusion, On average wells are draining  
6 320 in the fairway?

7 A. Correct.

8 Q. What is the supporting data that goes to this  
9 bullet point?

10 A. The supporting data would be the statistical  
11 analysis right there.

12 Q. All right, so Exhibit 10 is your support for the  
13 first bullet?

14 A. As you see on that, the slide shows the average  
15 is showing to be 389 acres.

16 Q. Is your presentation showing any other supporting  
17 data for that bullet point, other than Exhibit 10?

18 A. No.

19 Q. Let's go to the second bullet point on Exhibit 9.  
20 There's a significant distribution of wells with drainage  
21 areas falling between 160 and 320. How do we see where  
22 they are distributed? Do you have a map that will do that?

23 A. Going to this slide 10 again, you will see that  
24 the second bar shows the 160-to-320 distribution of wells  
25 that we found drainage areas in that area or range.

1 Q. All right, in the map that you're going to  
2 provide, then, you'll show us how they've been dispersed  
3 across --

4 A. The map that we'll provide will show you all the  
5 wells and how we calculated that, yeah.

6 Q. The next bullet point has to do with the pressure  
7 analysis, and we saw that in relation to the pressure map.  
8 I've lost track of the number here, Mr. Jones.

9 A. Number 11.

10 Q. Eleven is the pressure map. And if I'm looking  
11 for support in your testimony for that bullet point, Number  
12 11 is the one to look for?

13 A. Correct.

14 Q. Let's go to the fourth bullet point on Exhibit 9,  
15 "...selected areas within the high productivity area,  
16 infill drilling may be warranted."

17 What is the criteria you have used to decide that  
18 there selected areas in the fairway where infill drilling  
19 is warranted?

20 A. The possibil- -- the statistical analysis, again,  
21 on this slide 10. The statistics show that it's possible  
22 that there are areas that are draining less than 320 acres.

23 Q. You have not attempted, then, to take a map and  
24 try to configure a map of the --

25 A. No.

1 Q. -- fairway --

2 A. No, we have not --

3 Q. -- and show us where they might be located?

4 A. No, we have not done that.

5 Q. Let's talk about what happens with the Phillips  
6 proposal.

7 A. Okay.

8 Q. I think we can realize -- have that discussion if  
9 you'll go to either -- Exhibit 1 is probably a fine one to  
10 look at. Exhibit 1 now, I want to concentrate your  
11 attention in the fairway and look at the 30-and-6 Unit.

12 A. Okay.

13 Q. It's a federal unit, it's operated by Burlington,  
14 if I understand correctly, and Phillips has an interest in  
15 that unit. Are you aware of that?

16 A. I'm aware of that.

17 Q. Do you know what percentage interest you have?

18 A. We have about a 23-1/2-percent working interest.

19 Q. Without this rule being imposed on notice to the  
20 working interest owners, let me give you a situation, and  
21 you tell me what happens. If I'm the operator in that, and  
22 I decide I want to drill the infill well, and I send you an  
23 AFE, then your option is to either participate in the well  
24 or to contractually go nonconsent, that's what happens,  
25 isn't it?

1 A. Okay.

2 Q. Isn't it?

3 A. Yes.

4 Q. By introducing Phillips' 24, 23 percent, if the  
5 remaining 70 percent decide they want the well, they can  
6 drill the infill well under that arrangement?

7 A. That's correct.

8 Q. The impact or the effect of your proposal, if  
9 adopted by Mr. Stogner, would allow Phillips with a 25- or  
10 24-percent interest, then, to file an objection to the  
11 infill well and require that case to go to hearing, if you  
12 chose to be that aggressive?

13 A. We would -- It's likely that if Burlington  
14 proposed huge numbers of wells in the 30-and-6 unit, we  
15 would protest, because we don't think it has been proven  
16 that it's warranted.

17 If they were to propose one or two or three or  
18 some small number of wells, we would probably participate,  
19 eagerly participate.

20 Q. Let me ask you Mr. Hall's question. Next year in  
21 the fairway, how many wells does Phillips propose to either  
22 drill or participate in, in the fairway?

23 A. Zero.

24 Q. None?

25 A. Participate -- we will participate in -- if

1 Burlington proposes 100 wells and we have interest in those  
2 wells, we will participate. But from Phillips' operations,  
3 wells inside the fairway that we are planning to drill,  
4 there are zero.

5 Q. Have you set aside a budget item for next year to  
6 spend on participation in coal wells that are nonoperated  
7 in these units?

8 A. We have set aside budget money. Part of the  
9 problem in that area is, we don't know what to set, because  
10 we don't know if people are going to, like I said, take a  
11 reasonable approach to this and find out whether these  
12 wells are necessary, which is one number, or if they're  
13 going to drill every well that's there, which is another  
14 number.

15 Q. For budgeting purposes, per well, what assumption  
16 have you made as to the costs of that well to recomplete,  
17 for example, a PC well?

18 A. Are you saying that in the fairway they're going  
19 to recomplete PC wells?

20 Q. Let's assume that's the case.

21 A. Well, I would have to object to that, because I  
22 don't think that's going to happen.

23 Q. All right. If it's a new drill or the addition  
24 of another formation, then you're looking at the cost of a  
25 new well in the fairway --

1 A. Correct.

2 Q. -- or coal?

3 A. Correct.

4 Q. Are there no recompletion candidates in the  
5 fairway?

6 A. It's unlikely that in the fairway operators are  
7 going to use existing wellbores to recomplete, and the  
8 reason why that was presented yesterday, there's a  
9 significant difference in the gas, that the -- the fairway  
10 has high CO<sub>2</sub>, so gas-gatherers are, in general, going to  
11 want you to keep that gas separate. And so commingling  
12 wells is probably not going to happen too often, if at all,  
13 in the fairway.

14 Q. Can you identify the fairway by any other  
15 reasonable geologic or engineering criteria other than  
16 taking the assumption of a certain daily rate and scribing  
17 that area to set aside as the fairway?

18 A. There is actually some very good data that  
19 Burlington presented to the Committee that showed that  
20 where -- there was some very good technical data that  
21 showed where the southern boundary should be. That data  
22 was pretty much ignored, and what ended up happening is,  
23 people just -- we all bent a little bit and agreed on the  
24 2-million-a-day line.

25 Q. Well, the Committee work, then, was a

1 collaboration --

2 A. It was a collaboration.

3 Q. -- by you and other companies to make a decision  
4 on what to scribe for an area for the fairway?

5 A. To scribe for an area of the fairway that we  
6 wanted to keep separate, that's correct.

7 Q. But apart from that separation, you're willing to  
8 have infill drilling occur? Let's come back to it later.

9 A. Yeah, I'm not sure I'm following your question.

10 Q. Let's come back to it later.

11 If you're exposed to having to participate in  
12 nonoperated wells --

13 A. Right.

14 Q. -- in 30-and-6 --

15 A. Right.

16 Q. -- I assume you have a way to analyze what your  
17 potential cost is per well?

18 A. That will be -- if Burlington proposes 50 wells  
19 in the 30-and-6 Unit, for example, they're telling us what  
20 it's going to cost.

21 Q. Can't you determine for yourself for next year --

22 A. Can I determine what a well cost is?

23 Q. Well, let me see if I -- Can't you determine for  
24 Phillips how much money to set aside next year to devote to  
25 additional wells in the fairway?

1           A.    Sure, if I know what the number is.

2           Q.    Well, if you don't know the number, you at least  
3 know what one would cost you?

4           A.    Sure.

5           Q.    Have you tried to take that by a multiplier to  
6 see how much money you're comfortable in spending and  
7 reduce that to how many wells that you could participate  
8 before you're forced to go nonconsent and have the operator  
9 carry your interest?

10          A.    We've not done the data, or done that analysis,  
11 because, as I've stated in my testimony, the work has not  
12 been done -- other than looking at a well on its own, the  
13 work has not been done to see what the effect is on a huge  
14 area. That needs to be done before true economics can be  
15 rune.

16          Q.    So Phillips has not forecast for budget purposes  
17 next a budget item to devote to paying for coal wells in  
18 the fairway?

19          A.    No, that's not a true statement either. We have  
20 set aside a number, okay, that --

21          Q.    What's the number?

22          A.    \$2 million --

23          Q.    All right.

24          A.    -- is what the number --

25          Q.    And when it's spent, it's gone and that's it?

1           A.    When it's spent, then we'll have to look, and if  
2 we need more money we'll have to get more money.

3           Q.    All right.  Who at Phillips developed the idea of  
4 the additional notice to the working interest owners in the  
5 unit?

6           A.    That was something that came together between my  
7 lawyer and myself, and we tried to come up with some means  
8 to address BP's objection that they had to that  
9 notification problem.

10          Q.    When did you come up with that strategy?

11          A.    Last week.

12          Q.    What time last week?

13          A.    I don't recall.

14          Q.    Was it before or after Friday?

15          A.    It was before Friday.

16          Q.    Before Friday.  On Friday your company filed a  
17 prehearing statement with the Division that does not  
18 disclose this, but before then you knew about it?

19          A.    Yes, we knew --

20          Q.    How much more in front of Friday did you have  
21 when you knew you were going to do this?

22          A.    It was sometime during last week, and if it  
23 wasn't in the -- I don't recall what the prehearing  
24 statement said, but I think it did say that we were going  
25 to propose different rules.

1           Q.    So the first opportunity for the members of the  
2 Committee to see your proposal in writing was yesterday  
3 afternoon at about 4:30?

4           A.    Correct.

5           Q.    Mr. Jones, as an expert -- Are you an expert in  
6 reservoir simulation?

7           A.    I've spent a fair amount of time doing reservoir  
8 simulation, yes.

9           Q.    Is that one of the things you regularly do for  
10 your company here in Farmington?

11          A.    I have in the past. At my current job, no, I'm  
12 not doing that.

13          Q.    How long have you been at your current job?

14          A.    Six years.

15          Q.    All right. During that period of time have you  
16 done any simulation work in the Coal Pool?

17          A.    Yes, I have.

18          Q.    Okay, where?

19          A.    Primarily in the 32-8 and 32-9 areas. Also, we  
20 have -- Phillips has a model that covers the 30-and-6,  
21 31-6, 30-and-5, portions of the 29-6 and 29-5.

22          Q.    So you have reservoir-simulation models within  
23 the fairway?

24          A.    Yes, we do.

25          Q.    Have you made those available to the Committee so

1 that they could look at those?

2 A. The simulation that I was speaking about  
3 specifically right there is out of date, and it's not in --  
4 it's not ready to be put before anyone. Work needs to be  
5 done on it before I would be willing to do that.

6 Q. What kind of work is required, Mr. Jones?

7 A. Any model that you would put together -- This is  
8 a pre-existing model that my predecessors worked on and I  
9 worked on, but it hasn't been updated with actual  
10 production data over the last several years. And basically  
11 what that means is, it needs to be re-history-matched to  
12 make sure that it is properly reflecting the reservoir  
13 behavior.

14 Q. To construct those reservoir simulations, did you  
15 use a geologic model to input into the simulation?

16 A. Yes.

17 Q. Did you make that model available to the  
18 Committee?

19 A. As I said, that model is not in a state that it's  
20 useful at this time.

21 Q. Let's assume that Phillips is given an  
22 opportunity to make the choice on an AFE, makes the choice  
23 to oppose the infill well. We're in a federal unit, we're  
24 in a participating area --

25 A. Okay.

1 Q. -- and your rule is adopted, and Mr. Stogner,  
2 now, is about to have an objection filed.

3 A. Okay.

4 Q. File it with the District, it's set for hearing.  
5 What is going to be the evidence that you would expect to  
6 be submitted to the Division on which to make a decision on  
7 whether the infill well is necessary for that case?

8 A. The primary thing that needs to be analyzed is  
9 the infill well's effect on a larger area. As I said, you  
10 can't look at just one well or two wells and make a  
11 decision on what that infill well's effect is going to be.  
12 Because it's a highly competitive reservoir, you need to  
13 look at a large enough area so that you can see the impacts  
14 on everybody around you.

15 Q. Can you engage in that study without drilling the  
16 infill wells?

17 A. I would say that you could do it without infill  
18 wells, but to make a better model, additional infill wells  
19 would be used to gather more layer data -- or layer  
20 pressure data.

21 I think in the fairway there's enough geological  
22 work that's been done on mapping. As Steve Thibodeaux  
23 talked about yesterday, typically people -- they map  
24 packages of coal, and I think that's good enough for what  
25 we need. But what needs to be analyzed is the layer

1 pressure or the differential-depletion effects that are  
2 going on. We could --

3 Q. -- do that without the infill well?

4 A. We -- It is possible that you could drill an  
5 infill well, and you could find a layer or layers that are  
6 at very high pressure, and that is an argument for infill  
7 drilling. But it's not the whole equation. You've got to  
8 look at that in part, and then the modeling together, to  
9 see what -- You can't ignore those low-pressure, high-perm  
10 areas.

11 Q. Do you envision that in order to get an infill  
12 well approved under your notice process that you would have  
13 to precede that with an application for a pilot well so  
14 you'd have an infill data point that gave you the layer  
15 pressure, you then subscribe an area that's influenced by  
16 that data, prove your point, and then you can infill within  
17 that area of study --

18 A. That might be appropriate, that may be an  
19 appropriate way to look at it.

20 Q. So every time he hears one of these objections,  
21 we're going to have to precede it with an infill well and a  
22 data study to identify a portion of the fairway for which  
23 we can have more wells?

24 A. That's not really what Phillips is trying to say.

25 Q. What are you trying to say?

1           A.    What we're trying to say is, again, if somebody  
2 proposes an infill well, if they're doing it to gather this  
3 data, that's what we think needs to be done, and these  
4 studies need to be done.

5                    What we would object to is if somebody comes into  
6 one of these units and just starts drilling every location  
7 that's available before this work has been done.

8           Q.    All right, so we can plan to have Phillips object  
9 any time an infill well is proposed or --

10          A.    No, that's not a true statement.

11          Q.    Sure, it is.

12          A.    No, it isn't.

13          Q.    What's wrong with it?

14          A.    What I just said is, if somebody's proposing an  
15 infill well and it's an infill well or a few infill wells,  
16 we would likely participate and want to see that well  
17 drilled.

18          Q.    How many is too many?

19          A.    I don't know, 20. It depends on how small of an  
20 area that they're putting the wells in.

21          Q.    Twenty in what kind of area? Twenty in the  
22 30-and-6 Unit?

23          A.    I don't know, I haven't considered that question.  
24 I'd be just speaking off the top of my head.

25                   MR. KELLAHIN: I have no further questions.

1 EXAMINER STOGNER: Thank you, Mr. Kellahin.

2 Mr. Carr?

3 EXAMINATION

4 BY MR. CARR:

5 Q. Mr. Jones, I think I'd like to start by just  
6 trying to clarify what it is Phillips is seeking in this  
7 proceeding.

8 A. Okay.

9 Q. Do you oppose infill drilling in the fairway?

10 A. We oppose blanket drilling throughout the fairway  
11 before it is proved that it's needed everywhere.

12 Q. So Mr. Hayden's statement that the Committee was  
13 in concurrence that we should infill drill with a notice  
14 provision isn't correct, Phillips doesn't support infill  
15 drilling in the fairway; is that correct?

16 A. We do not support blanket infill drilling, that's  
17 correct.

18 Q. All right. Now, as to the notice provisions that  
19 you're proposing, as of last week we were looking at notice  
20 provisions that would impose, in fact, additional notice  
21 obligations just on the nonunitized areas in the fairway,  
22 correct? And around the periphery of some of the units?  
23 That's what we were looking at --

24 A. Could you state that again? I'm not sure --

25 Q. When we came to Farmington this weekend, I

1 thought we were looking at a notice proposal that would  
2 require operators to give notice in the white areas within  
3 the fairway, basically, but that, in fact, there wouldn't  
4 be notice requirements within the federal unit?

5 A. Essentially that's correct, since you're only  
6 notifying yourself, right.

7 Q. And you now come up with a different proposal on  
8 notice?

9 A. We added that one sentence onto the proposal that  
10 would address BP's arguments.

11 Q. That's what Mr. Hawkins called a minor  
12 modification, correct?

13 A. I would say that is a minor modification.

14 Q. The result of the minor modification is that if  
15 I'm the operator of one of these federal units, before I  
16 can drill a well I would really have to get your approval;  
17 isn't that right?

18 A. If I was a working interest owner, that's  
19 correct.

20 Q. You're a working interest owner in the units that  
21 are shaded in this map, are you not?

22 A. Shaded in green, that's correct.

23 Q. Okay. And in one of those if I wanted to drill a  
24 well, I'd have to get your approval for it?

25 A. That's correct.

1 Q. Now, your relationship as working interest owner  
2 in that unit is governed by certain contracts and  
3 documents, correct?

4 A. That's correct.

5 Q. You're a party to a unit agreement?

6 A. That's correct.

7 Q. That unit agreement defines how wells should be  
8 proposed and drilled, does it not?

9 A. That's correct.

10 Q. Now, you expressed an interest in performing  
11 those agreements as they relate to drainage and other  
12 considerations. Are you also interested in performing  
13 under those agreements in accordance with the terms that  
14 define how wells would be proposed and drilled?

15 A. You kind of lost me toward the end there, but --

16 MR. HALL: Do you understand the question? You  
17 want him to repeat it?

18 THE WITNESS: I --

19 Q. (By Mr. Carr) What you're seeking with this  
20 notice provision changes or modifies how I now, if I were  
21 the unit operator, could propose and go forward with a  
22 well; isn't that right?

23 A. It modifies for the purpose of -- there was an  
24 inherent weakness in the current notification process in  
25 that unit operators got away with drilling some wells, the

1 drillblock wells had an additional burden. That's the only  
2 reason why we put that in there, so --

3 Q. And they --

4 A. -- that would give them the opportunity to  
5 protest if they wanted to.

6 Q. And that agreement that gave the operator the  
7 right to do these things is an agreement that Phillips  
8 signed off?

9 A. Phillips -- Again, I mentioned this before,  
10 Phillips had gone along with that proposal, and we were  
11 going along with everything to the point we believed that  
12 people were going to take a rational approach to the  
13 fairway.

14 Q. My question was, you've signed a unit  
15 agreement --

16 MR. HALL: Let him finish his answer.

17 MR. CARR: Well, I'd like him to answer the  
18 questions that I ask, or we'll be here through the weekend.

19 MR. HALL: Finish your answer.

20 THE WITNESS: The answer is that Phillips  
21 believed that people weren't going to drill wholesale  
22 drilling throughout the fairway. And we only found that  
23 out last week, and that's why we had to -- we felt we  
24 needed to propose restrictions on drilling in the fairway,  
25 because we thought -- we believed that was the original

1 intent of the Committee.

2 Q. (By Mr. Carr) Mr. Jones, I asked you if Phillips  
3 had signed a unit agreement.

4 A. Yes, we have signed a unit agreement.

5 Q. And is what you're proposing going to change the  
6 way the operator could drill wells under that unit  
7 agreement?

8 A. It could potentially, yes.

9 Q. Now, we'd all agree that the costs of this  
10 development, the actual out-of-pocket cost to either  
11 recomplete or drill, is a factor; isn't that right?

12 A. That's correct.

13 Q. In the Fruitland Coal, has Phillips even drilled  
14 its remaining 320-acre spacing unit?

15 A. In the fairway?

16 Q. In the fairway?

17 A. Yes, we have.

18 Q. Have you drilled them throughout the Basin-  
19 Fruitland Coal Pool?

20 A. There are probably about a half a dozen wells  
21 near the Colorado border that have not yet been drilled.

22 Q. Did you indicate in your testimony that you would  
23 participate in whatever wells were drilled in these units?  
24 Was that your testimony?

25 A. We would probably participate. But again, we

1 haven't done the analysis to decide that.

2 Q. And so at this time that's something that you're  
3 probably not in a position to comment on, correct?

4 A. Not really. But we feel that the point we were  
5 trying to make is that we would be drawn into that because  
6 we'd feel like we have to participate in it to protect our  
7 reserves, to protect our value, and drilling those wells  
8 could destroy that value.

9 Q. You've asked everyone, or your counsel has, how  
10 many wells they plan to drill. If the proposal that  
11 Phillips is advancing is adopted, wouldn't it be fair to  
12 say that there would be protests to a number of those  
13 wells?

14 A. Only to the extent -- from Phillips' -- I can  
15 only speak for Phillips, but from Phillips' standpoint,  
16 like I've said, to the degree that people are blanket-  
17 drilling in the fairway, yes, we would protest.

18 Q. Now, you've participated in the Committee, and  
19 I'm not going to go over everything Mr. Kellahin covered,  
20 but you did participate in the Committee process; isn't  
21 that correct?

22 A. That's correct.

23 Q. And the proposals that you have submitted here  
24 today and for which Mr. Kellahin is seeking additional  
25 data, those really were not reviewed by the Committee --

1 A. No, they were --

2 Q. -- is that fair to say?

3 A. That's a fair statement.

4 Q. And when you were in the Committee process, BP  
5 shared its work on Carracas Canyon and other things; isn't  
6 that right?

7 A. That's correct.

8 Q. And there was an opportunity to request  
9 additional data, and exchange data in the Committee  
10 process?

11 A. That's correct.

12 Q. What we have, really, here is, your proposal has  
13 come along after the Committee has done its work; isn't  
14 that fair to say?

15 A. Yes.

16 Q. And the exchange of data and the things that  
17 we're having to go through today are really things that, if  
18 this had been advanced, could have been handled at the  
19 Committee level and discussed it there?

20 A. Had Phillips known the truth of everything in the  
21 past, we would have been advancing these arguments sooner.

22 Q. Was anyone not telling you the truth? Is that  
23 your statement?

24 A. Yes, that is my statement. As I've stated  
25 already, Phillips was under the impression that people were

1 going to drill selected wells within the fairway, okay? So  
2 we never had any inkling to know that people were planning  
3 on drilling essentially every well within the fairway.

4 Q. And so now we have a new proposal that we're  
5 addressing here instead of in the Committee process?

6 A. That's correct.

7 Q. If I go to your Exhibit Number 9, your high-  
8 productivity area analysis, you've stated that in the high-  
9 productivity area on an average a well could drain at least  
10 320 acres; do you see that?

11 A. Correct.

12 Q. Is this a composite drainage number that you're  
13 working with, or have you tried to break it down by layer?

14 A. By layer?

15 Q. Uh-huh.

16 A. No, this -- Again, this reflects, that pressure  
17 data reflects, every layer. So what that means is, on a  
18 layer pressure -- if you take layer pressures into effect,  
19 what that means is that there are certain layers that are  
20 probably draining much more than what I've indicated here,  
21 and there's others that are probably draining much less.

22 Q. So we've got a composite number, we haven't  
23 segregated that?

24 A. That's correct, that's correct.

25 Q. And again, when we talk about the pressure data

1 that has been analyzed point three to show significant  
2 uniformity, we're again looking at composite structure --

3 A. That's correct.

4 Q. -- is that right?

5 The last point here says, "Notification process  
6 helps to address situations where wells may not be  
7 appropriate." I'd like for you just to tell me what you  
8 consider to be an inappropriate well.

9 A. That's depending on the operator. It could be --  
10 You know, what I've pointed out is, Phillips doesn't want  
11 to see wholesale drilling in a unit. Somebody else might,  
12 for whatever reason, decide that that well across from them  
13 gives the operator an unfair advantage, the well is going  
14 to drain more than 320 acres, whatever reason. There can  
15 be cases where -- we've all heard -- EP has testified that  
16 there are places within the fairway that may not need  
17 infill drilling, and that's what I'm talking about.

18 Q. And so you would think that if an operator makes  
19 a decision to drill a well, by which they think they can  
20 produce, commercially produce, additional reserves, that  
21 the offset ought to be able to object and stop that?

22 A. If the offset operator believes that those  
23 additional reserves are going to come at his expense, yes.

24 Q. If there are recoverable reserves under a spacing  
25 unit, do you believe an operator ought to be able to drill

1 an infill well to access those reserves?

2 A. Yes, but -- I'm not sure I'm following that  
3 question either.

4 Q. I'm trying to see -- Under our statute, operators  
5 are afforded an opportunity to produce the reserves under  
6 their acreage.

7 A. Correct.

8 Q. And if I'm an operator and believe I need a well  
9 to do that, and I'm in one of these areas offsetting  
10 Phillips, you still would have a right to object?

11 A. I would.

12 Q. And that could take this to a hearing?

13 A. It could possibly, yes.

14 Q. And then if the Division didn't let me go forward  
15 with the well, then my opportunity to develop that acreage  
16 would be lost, would it not?

17 A. Correct.

18 Q. Let's go back to Exhibit Number 4. If I  
19 understand your testimony, you have been calling for pilot  
20 information that would reflect how the wells in the fairway  
21 would perform; is that correct?

22 A. Pilot information with the appropriate data and  
23 modeling that shows the effects of infill wells on a large  
24 area.

25 Q. So if we looked at the two wells that you pointed

1 out, particularly the Number 7 well, the --

2 A. Section 7.

3 Q. -- Section 7 well, in that well you indicate  
4 you've seen no interference from the Colorado infill well?

5 A. That's correct.

6 Q. You're aware that in Section 21, that is the  
7 example that Mr. Dinh presented showing the parent and the  
8 infill well --

9 A. Correct.

10 Q. -- on that tract.

11 A. Correct.

12 Q. That's the tract that showed the original well  
13 that produced in excess of 5 million a day, that was its  
14 producing rate. It showed that the infill well, when it  
15 came on, did not affect the parent well. Do you recall  
16 that?

17 A. Yes.

18 Q. And that the reserves that were being produced by  
19 the infill were, in fact, incremental reserves; do you  
20 recall that testimony?

21 A. Yes, I recall that testimony.

22 Q. Isn't that the kind of pilot that you'd be  
23 looking for?

24 A. I don't think that this area -- As I pointed out  
25 in my testimony, I don't think this area is an apples-to-

1 apples comparison with the fairway.

2 Q. And so being on the property adjoining the  
3 fairway, it still isn't reflective of the fairway?

4 A. This area is -- As I pointed out, much of the  
5 area from Section 7 all the way east, all those are new  
6 wells. Those -- Phillips' wells, they came on line very  
7 close to when that infill well came on line. So maybe we  
8 wouldn't see any interference because of that.

9 Q. How long would that take?

10 A. What's that?

11 Q. How many years would we have to wait to see, to  
12 satisfy you?

13 A. Well, I'm satisfied on those wells. I'm not sure  
14 what you're asking.

15 Q. I mean, when we look at this pilot information,  
16 are you talking about studies that could take a number of  
17 years to get a reliable read, or are you looking at things  
18 that would be conducted in a short period of time?

19 A. I think the models that are large enough are  
20 going to take some time. I don't think it's going to take  
21 a number of years, but it could take one or two years.

22 Q. Now, in terms of the kind of modeling and data  
23 collection that's been done, you're not satisfied with  
24 what's been done?

25 A. No, I'm not.

1 Q. And you think more ought to be done?

2 A. Yes, I am.

3 Q. So now if we are to go forward with additional  
4 development of pilot data, again we would need to come to  
5 you and get your okay on that, just like we would if we  
6 were going to offset you with a well?

7 A. That's the process we go through, yes.

8 Q. Yeah, and we could have raised that during this  
9 study process, could we not, while the Committee was here?

10 A. Phillips repeatedly brought up our concerns in  
11 the Committee process concerning the fairway. That has  
12 never been a secret.

13 Q. Did you share any data?

14 A. No, we did not.

15 Q. Did yo make a proposal, for the fairway --

16 A. To the extent that we excluded the fairway with  
17 the line, yes, we did.

18 Q. As to that line, is it your understanding that BP  
19 agreed to that line?

20 A. Yes, it is.

21 Q. And they said that this was the line they were  
22 going to support in the hearing?

23 A. No, I won't say that, but I will say that they  
24 agreed to the line. They agreed to the placement of the  
25 line.

1 Q. If there was a line, if there was a line --

2 A. If there was a line, that's where they thought it  
3 should be, correct.

4 Q. If we take a look at Exhibit 10, I may need some  
5 help with this because I don't understand it very well.

6 Yeah. Again, what you've shown across the bottom, I  
7 believe, are drainage areas, some of them as great as 980  
8 acres; is that right?

9 A. That's correct.

10 Q. Are you suggesting that there are wells in  
11 individual coal seams that would drain 980 acres?

12 A. It's possible.

13 Q. If I had a well that drained 980 acres and you  
14 were my offset and wanted to offset it to compete for those  
15 reserves, I guess when you proposed the well I could  
16 object, couldn't I?

17 A. Yes, you could.

18 Q. And I could tie it up in hearing, couldn't I?

19 A. Yes, you could.

20 Q. And I could drain the heck out of the property  
21 while we do this, couldn't I?

22 A. It's the reverse that I'm concerned about.

23 Q. But this is also a way what you're proposing  
24 could be used; isn't that right?

25 A. That's true.

1 Q. Are you aware that in some recent cases like that  
2 it's taken over two years to get a result?

3 A. Again, I just have to go back to the statement  
4 that if the additional study is done in the fairway and if  
5 it is shown that infill drilling is warranted, then  
6 Phillips' argument will go away totally.

7 Q. When I look at this bar graph, it says you've  
8 come up with an average drainage area of 389 acres.

9 A. Uh-huh.

10 Q. And that was using what gas content?

11 A. 500 standard cubic feet per ton.

12 Q. How do you justify a 389-acre drainage area when  
13 you've got 320-acre spacing? I just don't -- I may not  
14 be --

15 A. Some wells are more productive than others, and  
16 maybe drilling -- you know, it's not perfect, you can't  
17 force a well to drain 320 acres. It's going to drain what  
18 it drains.

19 Q. Could it also be that you're using the wrong gas  
20 content?

21 A. Yes, it could be.

22 Q. I mean, if you used a 650 gas content it would  
23 perhaps bring these more in line with 320-acre spacing;  
24 isn't that right?

25 A. That's correct.

1 Q. Did you make any attempt to correlate drainage  
2 area with producing rate?

3 A. I don't think that in a fairway competitive area  
4 that's an appropriate means to be looking at as a means to  
5 justify infill wells.

6 Q. You would agree that rate is related to  
7 permeability?

8 A. I would.

9 Q. And permeability would probably be one of the  
10 best indicators of what wells can drain?

11 A. That point is correct. The point that you're  
12 missing is the competitive nature and the effect that that  
13 well could have on other wells around it.

14 MR. CARR: And I think that's all I have. Thank  
15 you.

16 EXAMINER STOGNER: I assume you have redirect?

17 MR. HALL: A little.

18 Mr. Examiner, Mr. Chavez has some questions  
19 before I start redirect.

20 EXAMINER STOGNER: What do you anticipate your  
21 redirect will take?

22 MR. HALL: It will be fairly short, 15 minutes.

23 EXAMINER STOGNER: That's not fairly short.

24 (Laughter)

25 MR. HALL: Short then.

1 EXAMINER STOGNER: Mr. Chavez, do you have  
2 something?

3 MR. CHAVEZ Yes, four or five questions.

4 EXAMINER STOGNER: Okay. Well, I'm going to  
5 allow Mr. --

6 MR. HALL: -- Hall.

7 EXAMINER STOGNER: -- yeah, I know.

8 (Laughter)

9 EXAMINER STOGNER: I'm going to allow you to  
10 redirect at this time.

11 EXAMINATION

12 BY MR. HALL:

13 Q. Mr. Jones, both Mr. Kellahin and Mr. Carr have  
14 asked you a number of questions about your selection of a  
15 value for a Langmuir volume and the methodology you've used  
16 to calculate the drainage areas you've shown on your  
17 exhibits. Let me ask you this: Is the methodology you've  
18 utilized a methodology that is commonly accepted and relied  
19 upon by operators in the San Juan Basin?

20 A. Yes, it was used by us and apparently by BP also?

21 Q. And it's accepted as a reliable methodology in  
22 the industry?

23 A. Yes, it is.

24 Q. With respect to the issue of notice, Mr. Carr  
25 asked you a number of questions about what happens within

1 the federal township units. But I don't think he addressed  
2 the situation where as a unit participant and your acreage  
3 you're concerned about is at the unit boundary and it's the  
4 operator of an adjacent unit or an adjacent drilling block,  
5 where you don't get notice, because the operator of that  
6 proposed infill location in the adjacent unit is also the  
7 operator of the federal township you're in. Did he address  
8 that with you?

9 A. No.

10 Q. And that's what the Phillips notice provision  
11 would overcome, it would overcome the self-notification  
12 problem that's inherent in the proposed rule?

13 A. Correct.

14 Q. Now, you were also asked about the protections  
15 under the typical unit agreements and unit operating  
16 agreements in the Basin and the process that a working  
17 interest owner, a nonoperator, would go through to evaluate  
18 whether or not he would go consent or nonconsent in an  
19 infill well proposal. Do you recall that questioning?

20 A. Right.

21 Q. How about well proposals within a unit  
22 participating area? In fact, isn't it the case within  
23 participating areas, there is no nonconsent provision  
24 that's applicable, is there?

25 A. Yes, I think that's right.

1 Q. And so it's not the case where a minority  
2 interest owner, 1 percent -- or perhaps 23 percent, as is  
3 the case in the 30-6 Unit -- could prevent the drilling of  
4 that infill well in the PA?

5 A. Right, in the 30-and-6 unit pretty much every  
6 well is a PA well.

7 MR. HALL: Okay. Nothing further, Mr. Examiner.

8 EXAMINER STOGNER: Mr. Chavez?

9 EXAMINATION

10 BY MR. CHAVEZ:

11 Q. Mr. Jones, in your Exhibit Number 10 am I correct  
12 that you said that there were pressures for only 85 wells  
13 that were available, and you used them all?

14 A. We chose 85 wells that had enough pressure data  
15 that we could do this analysis.

16 Q. Okay. And one of the interesting things to me,  
17 sounds like you're asking for more data about pressures,  
18 more data about layer information. At what point would you  
19 say you had enough data that perhaps these provisions could  
20 be eased, that you're proposing?

21 A. The main thing, I think, that needs to happen is,  
22 a significant model area that shows the effect of wells  
23 over a greater distance than just your offset well, because  
24 this fairway is so highly competitive and there are layers  
25 that do affect wells over a greater distance than just one

1 section away.

2 Q. In a sense, then, you're looking at a study that  
3 perhaps the Committee could do, based on information that  
4 might be required very shortly with new infill drilling?

5 A. The only problem with that is that Phillips  
6 doesn't want to see all the infill drilling done before the  
7 study is done.

8 Q. Do you have some proposals as to exactly what  
9 data would have to be captured and how it would be captured  
10 that then could be used by the Committee to perhaps modify  
11 the Rules?

12 A. I think you need to select an area within the  
13 fairway that represents the biggest portion of the fairway  
14 that you can, and then decide on the model size, and then  
15 collect enough layer pressure data within that model area  
16 that will give you reliable results when you do the history  
17 match, and then project your results.

18 Q. And what is Phillips willing to do to that end,  
19 say participate on the Committee?

20 A. We will participate on the Committee. As far as  
21 what we're willing to do, I'm not in a position to say  
22 that.

23 Q. The question came up with the unit agreement, but  
24 is my understanding correct that the way you interpret the  
25 unit agreement does not necessarily address the

1 conservation issues for development of the Fruitland Coal  
2 Pool in this particular area?

3 A. The pool -- I'm not sure I follow your question.

4 Q. The unit agreement has been brought up as an  
5 issue, notification and what Phillips has -- and everybody  
6 who participates in the unit, has signed off on.

7 Is it my understanding from what your testimony  
8 is that the unit agreement, the way it's been signed by  
9 Phillips, does not adequately address conservation issues  
10 surrounding -- and correlative-rights issues, surrounding  
11 specifically the Fruitland Coal development in this small  
12 area?

13 A. Yeah, that would be a fair statement.

14 Q. Okay. And just as a matter of clarification for  
15 our purposes here, the Application from the Committee  
16 specifically addressed drilling for infill wells. Would  
17 Phillips oppose any wording that had more like drilling or  
18 recompletion or production, to give a more generalized  
19 approval process, rather than just specifically drilling  
20 for new completions?

21 And also on -- as far as the general Application,  
22 I think the way it was worded it said approve the drilling  
23 of an infill well, but testimony has shown that  
24 recompletions are also possible?

25 A. I don't think that recompletions are much of a

1 possibility in the fairway. I think they're very unlikely,  
2 in fact.

3 Q. But outside of the fairway area, the Application  
4 or the Rule should address drilling or recompletion, not  
5 just drilling, shouldn't it?

6 A. Yeah, I think that's a fair statement.

7 Q. Okay. And even though in your opinion there's  
8 less likelihood of a recompletion in the fairway area,  
9 would you be opposed to the way you worded your proposed  
10 changes to include recompletion -- notice of intention to  
11 recomplete, not just new drilling?

12 A. No, I would have no objection to that.

13 MR. CHAVEZ: Okay, that's all I have.

14 MR. BROOKS: Okay, I've got a couple questions  
15 here. I'll be very brief. Lawyers always say that, but I  
16 will be.

17 EXAMINATION

18 BY MR. BROOKS:

19 Q. On the -- Looking at Phillips' Exhibit 1, can you  
20 put that up on the --

21 A. Yeah.

22 Q. Okay. The numbers in the whited portions of the  
23 hatched area, those are the designations of federal  
24 exploratory units, correct?

25 A. That's correct.

1 Q. Can you tell us -- And the red bold line is the  
2 boundary of the high-productivity area as contemplated --

3 A. Yes, it was drawn on there. It may be slightly  
4 off in places, but the intent is that it's the boundary  
5 proposed.

6 Q. Okay. Can you tell us who is the operator of the  
7 30-6 Unit?

8 A. Burlington operates that.

9 Q. And these letters NEBU, is that designation of  
10 the unit?

11 A. That's the Northeast Blanco Unit, and --

12 Q. And who is the operator?

13 A. -- operated by Devon.

14 Q. Okay. And who is the operator of the 32-9 Unit?

15 A. That's Burlington.

16 Q. Now, the white area in here in which Phillips  
17 does not own any interest, do you know if a significant  
18 part of that is also an exploratory unit?

19 A. No, it's generally drillblock acreage.

20 Q. Okay, so there aren't any exploratory units --

21 A. The area up here is drillblock acreage, and where  
22 I'm pointing to is in the 31-8, 31-9.

23 Up here in this area, which would be 31-7 and  
24 31-6, the Allison Unit up there.

25 And then down in this area that covers the --

1 what's that, 31-6, that's -- the Rosa Unit is in there.

2 Q. And who is the operator of the Allison Unit?

3 A. The Rosa Unit is operated by Williams, and the  
4 Allison Unit is operated by Burlington.

5 Q. Okay. What about the area up in the far left-  
6 hand corner of the map in 32-10?

7 A. That's primarily drillblock acreage -- Well, that  
8 is drillblock acreage.

9 MR. BROOKS: Okay, I think that's all my  
10 questions.

11 EXAMINATION

12 BY EXAMINER STOGNER:

13 Q. Mr. Jones, in concerning such a situation in  
14 where an offset is notified, and the Division then gets  
15 involved in some sort of a settlement dispute brought  
16 before it, I'm trying to visualize where the Division would  
17 stand in an instance such as this and what the objection  
18 would be and perhaps what some of the solutions would be.  
19 That would be allow the drilling of the infill well if  
20 there's an objection; would that be one?

21 A. Right.

22 Q. Deny the infill well.

23 A. (Nods)

24 Q. Is that a yes?

25 A. Yes, yes.

1 Q. Okay, would there be another solution?

2 A. Well, another solution would be to allow it to  
3 happen on a limited basis, to allow what I've suggested  
4 data be gathered and the analysis to be done. Then the  
5 objections could maybe go away.

6 Q. Okay. Now, when you say limited, limited the  
7 number of these exceptions?

8 A. Correct.

9 Q. Okay, how about limiting the production?

10 A. I'm not sure how that would work.

11 Q. Oh, well, let's see. How about prorationing?

12 A. Okay.

13 Q. Would that be a way?

14 A. That would be a way.

15 Q. And that could be addressed in a situation such  
16 as this that would help everybody, the operator and the  
17 offsets, as opposed to limiting this -- or this wholesale  
18 drilling that you mentioned earlier?

19 A. (Nods)

20 Q. Is that a yes?

21 A. Yes, that is yes.

22 EXAMINER STOGNER: Are there any other questions  
23 of Mr. Jones?

24 With that, you may be excused.

25 And we stand in recess until after lunch, about

1 five after one.

2 (Thereupon, a recess was taken at 11:55 a.m.)

3 (The following proceedings had at 1:15 p.m.)

4 EXAMINER STOGNER: This hearing will come to  
5 order.

6 Let's see, I believe we had just finished up with  
7 Phillips; is that correct?

8 MR. HALL: Some brief questions of Mr. Jones, I  
9 think we can wrap it up in two minutes.

10 EXAMINER STOGNER: Okay, Mr. Jones?

11 EXAMINATION

12 BY MR. HALL:

13 Q. Mr. Jones, I want to make sure that the Division  
14 and the Examiner is clear about what it is Phillips is  
15 recommending here today. Could you summarize that for us  
16 briefly?

17 A. Basically, Phillips is recommending that infill  
18 drilling be approved outside the fairway, that inside the  
19 fairway additional study be done to justify that infill  
20 drilling is warranted there, and should that not be  
21 approved, then the additional notification process, or the  
22 revised notification process be approved.

23 MR. HALL: Thank you. That's all, Mr. Examiner.

24 EXAMINER STOGNER: Any questions?

25 You may be excused.

1           Is there any further presentations from Mr.  
2 Kellahin or Carr?

3           MR. CARR: No, sir.

4           MR. KELLAHIN: Yes, Mr. Stogner.

5           EXAMINER STOGNER: Other than closing? I'll have  
6 closing -- closing will be later.

7           MR. KELLAHIN: Some housekeeping chores for you.  
8 They have to do with the fact that Burlington had  
9 separately docketed with the Division a request to conform  
10 the Fruitland wells, the rules in the Fruitland Pool, so  
11 that they are consistent with how the Division has recently  
12 handled --

13           EXAMINER STOGNER: Excuse me for a second. Mr.  
14 Carr, could you hand him the microphone, please?

15           MR. KELLAHIN: Mr. Stogner, before the pool-rule  
16 case was filed, Burlington previously had filed a request  
17 to conform the Fruitland Coal Pool rules to those portions  
18 of the Dakota Pool that dealt with notification within  
19 federal units and to change the well-location requirements,  
20 so that as you look at the Dakota, the Pictured Cliff --  
21 I'm sorry, the Dakota, the Mesaverde and the coal, you have  
22 the same kinds of rules.

23           That separate case was filed as 12,856. It's on  
24 the docket for tomorrow at the Examiner Hearing.

25           All of the proposals that we have made in that

1 case have been duplicated and repeated in the Application  
2 that was filed on behalf of the Committee for this case.

3 So I suggest to you that you may dismiss Case  
4 12,856 when it is called tomorrow and rely upon the  
5 presentation made at this hearing, which included Mr.  
6 Hayden's summary that the Committee concluded that you  
7 could make those changes to conform the coal to the Dakota.

8 There is a display that helps illustrate that  
9 point. It was behind Exhibit Tab 3. It's the kind of  
10 display we gave you in the Dakota case, and it shows you an  
11 illustration of the notification required when the  
12 unorthodox well location moves towards a drillblock that is  
13 uncommitted or partially committed.

14 The only other point to present to you is that if  
15 you'll allow us, we will submit by affidavit Burlington's  
16 notice for this case. Burlington assumed the  
17 responsibility in sending out the notice for hearing.  
18 We've done that. The return receipts and the parties  
19 notified are behind Exhibit Tab Number 1, and if you'll  
20 allow me, I will submit an affidavit that would then avoid  
21 us having to call a witness to attest to the notification.

22 And with those housekeeping chores, we have  
23 concluded our presentation.

24 EXAMINER STOGNER: What time frame are you  
25 looking at, Mr. Kellahin?

1 MR. KELLAHIN: I'm sorry?

2 EXAMINER STOGNER: What time frame to get this --

3 MR. KELLAHIN: Oh, in the next few days, as soon  
4 as I can get home and do it.

5 EXAMINER STOGNER: Okay.

6 MR. KELLAHIN: Certainly by Friday.

7 EXAMINER STOGNER: And this brings up to -- I  
8 understand you're going to provide -- I'm sorry, Phillips  
9 is going to provide some additional information, and by  
10 what dates? And I'm sure you're going to want some sort of  
11 time to respond; is that correct?

12 MR. KELLAHIN: Yes, sir.

13 MR. HALL: Information is available now. What  
14 we'd like to do so that the record can be closed on this,  
15 if Mr. Kellahin would like to take these, print out hard  
16 copies, and if he'd like to continue with his examination  
17 of Mr. Jones on these, now is a good time to do that.

18 MR. KELLAHIN: My point, Mr. Stogner, is, I want  
19 the data behind Mr. Jones' testimony. I don't propose to  
20 ask any more questions. You could close the hearing, as  
21 far as I'm concerned, after the conclusion of today's  
22 presentation.

23 EXAMINER STOGNER: Thank you, that's what I would  
24 like to see, that information provided with Mr. Kellahin  
25 having an opportunity to write any kind of responses. And

1 we'll keep the record open just for those additional  
2 comments and what you're going to present to him, and his  
3 comment period and then the notification. I want to keep  
4 the record open for those three items.

5 MR. HALL: And I have an opportunity to respond  
6 to Mr. Kellahin's --

7 EXAMINER STOGNER: Four. So what kind of a time  
8 frame?

9 MR. HALL: One week after he gets his response  
10 in.

11 EXAMINER STOGNER: Okay.

12 MR. KELLAHIN: We can do it within the next week.

13 EXAMINER STOGNER: Okay, I'm going to say keep  
14 the record open for two weeks, and if additional time is  
15 needed for one of you, then you can request it at that  
16 time.

17 MR. HALL: Yes. And I had understood, Mr.  
18 Examiner, that BP and Burlington were going to reciprocate  
19 and provide us with similar data.

20 EXAMINER STOGNER: I didn't hear that, but --

21 MR. KELLAHIN: I didn't hear it either, sir.

22 MR. BROOKS: I heard Mr. Hall mention that he  
23 wanted it. I didn't hear anybody say they agreed to it,  
24 and I didn't hear the Examiner order it, so I guess that's  
25 where we are at this point. Mr. Hall wants it. It hasn't

1     been either agreed to or ruled upon.

2             MR. KELLAHIN: My position, Mr. Stogner, is that  
3 we have shared all our data with the Committee, and we're  
4 looking for that portion of the data Phillips did not share  
5 with the Committee. And I think it ought to be shared not  
6 only with us but with the rest of the Committee.

7             MR. HALL: Well, I think the testimony has been  
8 otherwise, and that's why we asked for the data. We didn't  
9 have this data in the committee process.

10            MR. BROOKS: Is there any --

11            MR. HALL: -- that's fair.

12            MR. BROOKS: Can you specify what backup data it  
13 is that has been raised at the proceeding that you have not  
14 been furnished?

15            MR. HALL: We're looking for the pressure data  
16 that supported Mr. Dinh's testimony. Net pay and the well  
17 identifiers as well, in his study areas. I think if we can  
18 get that reasonably soon, we can keep within the two-week  
19 time frame.

20            MR. CARR: Mr. Stogner, Mr. Dinh says that the  
21 data that he used is in the exhibits, and I'll be happy to  
22 meet with Mr. Hall, point that out, and then I believe we  
23 can work that out between ourselves, because Mr. Dinh  
24 assures me that what he has relied on and based it on is in  
25 the material.

1 MR. HALL: I'm told it is not in the exhibits, in  
2 the materials. Specifically, no, we don't have net-pay  
3 data. I think we still need the pressure data. We do not  
4 know the well identifiers under the pressure data.

5 EXAMINER STOGNER: I think what we're going to do  
6 is move on, and we will recess, finish this up, recess and  
7 have you guys figure out what is needed.

8 MR. CARR: I'd be happy to do that, and we'll  
9 report to you.

10 EXAMINER STOGNER: Okay.

11 MR. BROOKS: I have one housekeeping matter.

12 As you are doubtless aware from the Dakota  
13 hearing, Counsel, there exists a memorandum of  
14 understanding between the New Mexico Oil Conservation  
15 Division and the United States Bureau of Land Management  
16 with respect to lands within Indian reservations or other  
17 Indian lands. And under the memorandum of understanding we  
18 must submit to them a proposed order, and then they make  
19 the final decision as to whether they like what we propose  
20 or not.

21 So in order -- and we need to submit the record  
22 with that order. For that reason, first I want to clarify.  
23 I know that portions of the Basin-Fruitland Coal are within  
24 the Jicarilla Apache Reservation. The one I need to be  
25 concerned about, though, because it's a different BLM

1 office is the Ute Mountain Ute. Is there any of this  
2 that's within the Ute Mountain Ute?

3 MR. CARR: No.

4 MR. HAYDEN: No, sir.

5 MR. BROOKS: Okay, good. So in that case, what I  
6 was going to say is not particularly relevant because I  
7 have, I think, a complete set of the exhibits that were  
8 offered in evidence. I will need an extra set of any  
9 supplemental materials, so I would appreciate your  
10 furnishing any supplemental materials that are going to be  
11 offered as evidence in triplicate, one for the court  
12 reporter for the official record, one for the Examiner, and  
13 one for the Bureau of Land Management.

14 I think that concludes my observations.

15 EXAMINER STOGNER: Okay, at this time -- I have  
16 received a request, prehearing statement, and at this time  
17 I'm going to call and allow -- is there a Dr. Brooks  
18 Taylor, Bill Humphries and/or Tweetie Blancett at this  
19 time, to come forward? I don't care which order, whatever  
20 you would like.

21 Please state your name, your affiliation, and  
22 will you have any presentations to make?

23 DR. BROOKS TAYLOR: Well, I have a written copy  
24 of my comments.

25 My name is Dr. Brooks Taylor, I am here

1 representing the San Juan Citizens' Alliance.

2 MR. BROOKS: Let me interrupt at this point. You  
3 are free to make a statement either sworn or unsworn. Our  
4 rules specifically say that unsworn testimony can be  
5 labeled as such and included in the record. If, however,  
6 you're going to state facts to which you wish to testify as  
7 a person with personal knowledge, then you probably should  
8 be sworn. So I leave it up to you whether you want to be  
9 sworn or not.

10 DR. TAYLOR: I'm not sure I'm clear on the  
11 distinction there. I have no problem one way or the other.

12 MR. BROOKS: Okay, well, you are permitted to  
13 make an unsworn statement so I will let you go ahead, and  
14 if any of the attorneys feels like you should be sworn,  
15 then they may raise that.

16 Go ahead.

17 DR. TAYLOR: I appreciate the opportunity to  
18 comment before the Oil Conservation Division, Mr. Examiner.

19 My background is in preventive medicine and  
20 public health. My intent this afternoon is to highlight  
21 only a single, although important, environmental impact of  
22 the proposed increased density of coalbed methane wells in  
23 four northern counties of the state.

24 The impact that I draw your attention to is a  
25 rather more visible one than many of the obvious

1 disturbances of surface ecology, human surroundings and  
2 wildlife habitat, and that is the predictable deleterious  
3 effect on air quality of the region.

4 My remarks will be limited to the impact of  
5 deteriorating ozone levels in the Four Corners, and I refer  
6 primarily to the summary document of the New Mexico Air  
7 Quality Bureau, published earlier this year in April.

8 My presence here is to promote prevention, and  
9 particularly the prevention of acute asthmatic attacks,  
10 pneumonia, bronchitis, presenting in our emergency rooms,  
11 prevention of the impairment of human health and longevity.

12 Now, the complex atmospheric chemistry of ozone  
13 is beyond the scope of my remarks. Suffice it to say that  
14 the Air Quality Board documents the near non-attainment  
15 status of air quality, specifically ozone, in the  
16 Farmington area, that increased ozone levels correlate with  
17 identifiable cases of respiratory disease, and that non-  
18 attainment will incur restrictions upon these communities  
19 by both the US EPA and the state agency.

20 In that document, the Air Quality Board estimates  
21 that one-third of the regional contribution to the  
22 formation of ozone comes from the oil and gas industry.  
23 There is no doubt that increasing methane gas exploitation  
24 and industrialization will increase these numbers.

25 The point is that we are about to breach the

1 federal air quality standards for ozone and that we're  
2 better placed to prevent that happening than to allow it to  
3 happen and then try to correct it.

4 In brief, the Environmental Committee of the San  
5 Juan Citizens' Alliance, the Oil and Gas Task Force,  
6 proposes these specific actions on the part of the Oil  
7 Conservation Division:

8 First, that prior to any development an accurate  
9 estimate of the impact of increased coalbed methane  
10 activity on future ozone levels be calculated.

11 Secondly, that the Division consult with the New  
12 Mexico Air Quality Board regarding its recommendations on  
13 future development.

14 Third, that the Division consider a policy to  
15 authorize new well development only in replacement of dated  
16 or inactively productive wells in the region.

17 And fourth, that in the event of any authorized  
18 further coalbed methane development, only the strictest  
19 air-pollution-control guidelines be adopted and  
20 implemented.

21 And I would like to conclude with a paraphrase  
22 from that document from the Air Control Board. In response  
23 to non-attainment, communities and elected officials would  
24 be presented with the opportunity or the scenario to come  
25 up with a plan to correct the situation, and I paraphrase:

1           What does the local community want to do? Since  
2 EPA and state standards haven't quite been exceeded yet,  
3 the problem could be ignored for awhile. That might make  
4 the eventual solution more painful, but it's our choice. A  
5 lot depends on you. What future do you want for San Juan  
6 County and for the San Juan Basin?

7           Thank you.

8           MR. BROOKS: If you would like for us to take  
9 administrative of that document that you referred to,  
10 you'll need to give a citation so it can be included, so  
11 the reference can be included in the record.

12           DR. TAYLOR: I'll be glad to add that at the  
13 bottom of my notes.

14           MR. BROOKS: Okay, could you read that into the  
15 record?

16           DR. TAYLOR: This document is actually on the Air  
17 Quality Bureau website. It's called Four Corners Region  
18 Ozone, published April 23rd, 2002. The contact is Sandra  
19 Ely at the Air Quality Bureau, and -- Is that sufficient  
20 citation?

21           MR. BROOKS: That should be sufficient, thank  
22 you.

23           EXAMINER STOGNER: Dr. Brooks.

24           Ms. Blancett, or Bill Humphries?

25           We'll call a five-minute recess and let you get

1 this set up. Okay, we stand in recess.

2 (Thereupon, a recess was taken at 1:32 p.m.)

3 (The following proceedings had at 1:45 p.m.)

4 EXAMINER STOGNER: Okay, let's go back on the  
5 record. This hearing will come to order.

6 Let's see, I've asked Ms. Blanchett -- Blancett;  
7 is that correct? -- she's going to be sworn a this time.

8 (Thereupon, Ms. Blancett was sworn.)

9 TWEETIE BLANCETT,

10 the witness herein, after having been first duly sworn upon  
11 her oath, was examined and testified as follows:

12 DIRECT TESTIMONY

13 MS. BLANCETT: Thank you very much for the  
14 opportunity to make a presentation.

15 I'm Tweetie Blancett. My husband's family has  
16 been in this valley for now parts of three centuries, and  
17 I'm going to give you a short explanation of what our  
18 concerns are.

19 And the first thing I would like to tell you is,  
20 we have no objections whatsoever at all to any of the  
21 testimony that was presented the last day and a half. Our  
22 objections have nothing to with what -- any of your numbers  
23 or any of your analysis.

24 Our concerns are primarily with the surface and  
25 the impact that drilling has on the surface.

1           This is the original Blancett homestead that's  
2 still occupied by the Blancett family. We've been here,  
3 like I said, my grandson is the eighth generation, and  
4 we've run cattle on the same mountains running all the way  
5 to Colorado for parts of three centuries. We're one of 17  
6 New Mexico families that have continuous homestead on  
7 record in the same family.

8           This is the Blancetts up at the top in the 1880s,  
9 that's the Blancetts in the 1950s, and this is our current  
10 Blancetts.

11           The Blancetts' problems are primarily with El  
12 Paso, Burlington and some of the other producers. Our  
13 issues are surface issues, as I said, and the 32-9 is  
14 completely encompassed in our ranch. That is the  
15 Burlington operating unit that primarily covers both the  
16 range land and -- which is federal and state -- and the  
17 private land.

18           This, I think, is a real good idea. It tells you  
19 what San Juan County road system looks like, with the  
20 county roads, the state roads and the federal roads. And  
21 it's pretty clearcut. We're a large county, we're the  
22 third largest in the state, geographically.

23           This is the county with the oil and gas roads in  
24 it. It doesn't take anyone with any ability at all to  
25 determine that the surface impacts as a result of the oil

1 and gas industries doing their job is going to have an  
2 impact on other stakeholders.

3 If you take the thousands and thousands of acres,  
4 I've extrapolated this out and just used some basic  
5 numbers. If one site utilizes three acres, if one road  
6 utilizes three acres and if one pipeline utilizes three  
7 acres, that's nine acres times 35,000 wells.

8 The 35,000 wells, you can take it or leave it on  
9 that. I got that number from Bob Gallagher. So it may be  
10 less, it may be more, but I can't seem to get a good  
11 number. I certainly won't stand and say that's all there  
12 is or that that's too many. If you have a better number,  
13 I'd love to have it.

14 That impacts about 315,000 acres.

15 The pipelines utilize a lot more than three  
16 acres, many of the roads do, because unfortunately in our  
17 area with our geographic location, you can't always go  
18 straight from one well location to another, there's a huge  
19 canyon in between.

20 Burlington and El Paso have the majority of  
21 production in our 75 sections. This road -- and I  
22 apologize, it's not very clear. You can see the road, but  
23 you can't see the damage on the outside. This road was  
24 closed in 2001 because of a pipeline exposure and the  
25 traffic that was impacted as a result of it.

1           This is on our private land. It was closed in  
2 2000 and it's still closed, and we intend to keep it  
3 closed. There's an alternate route that was provided by  
4 BLM that the industry is using at present.

5           Here's some more roads. It gives you an example  
6 of total -- almost total lack of maintenance, and they've  
7 dragged them off of the right-of-ways, because the roads  
8 were so bad they were impassable. Unfortunately, we do not  
9 have impassable-road problems as a result of moisture this  
10 year. It's so dry that none of these problems are existing  
11 right now.

12           Throughout the permit, we have a lack of  
13 reseeding. Again, El Paso is our primary pipeline company  
14 in our area, although we do have Williams, Enron and  
15 Burlington pipelines. But the majority of the pipelines  
16 are owned by El Paso, and the re-seeding has been less than  
17 satisfactory. They haven't even followed the existing  
18 regulations.

19           On one side of the road, even though it's green,  
20 there's no re-seeding. Noxious weeds. The other side of  
21 the road is a re-seeded area. And this pipeline was very  
22 well done, and Phillips you did that.

23           If I'm going to point fingers at people who  
24 didn't do so well, I would tell you that if all our right  
25 of ways looked like the one on the right, you're not going

1 to hear anything from us.

2 The road that goes to this well location is also  
3 a Phillips well. And again, if every one of our wells  
4 looked like that well, we wouldn't fuss.

5 Now, to be real fair, Phillips has some other  
6 wells that we aren't as happy with. But this is what we're  
7 looking for.

8 This is what a majority of the pipelines look  
9 like. This is the main pipeline corridor, so there's eight  
10 pipelines in this area. And it hasn't been re-seeded, it  
11 hasn't been maintained, and the majority of the pipeline  
12 from -- in Hart Canyon all the way to the state line looks  
13 like this.

14 This is a saltwater spill, and it came from a  
15 Burlington transportation line. It sterilizes the ground.  
16 This year they went in and pulled some of the soil and are  
17 starting reclamation. With no moisture, we don't know if  
18 it took.

19 This is a saltwater spill that ran for more than  
20 four months and then migrated to another well. Again, this  
21 was one of those things that -- There was something wrong  
22 with the pump, and it just wasn't taken care of in a timely  
23 manner. If you'll notice, if you can notice, all around  
24 this there's cattle tracks, and cattle were drinking this  
25 water.

1           This is an example of oil by-products that we  
2 have throughout our entire 75 sections through lack of good  
3 stewardship.

4           This is a pit that's open to wildlife. The  
5 fence, even though it's up, it is not probably -- it's  
6 certainly enough for the deer and the elk. And with no  
7 reinforcement across the top part, it probably is  
8 accessible to cattle too.

9           Contaminants that are in these pits are deadly.  
10 I have autopsy reports that we lost cattle from this pit.  
11 The pit was not fenced properly, it was not handled  
12 properly and it wasn't closed properly.

13           We don't think that this is just a Blancett  
14 problem. This is our forest land permit that we have up on  
15 the middle fork of the Piedra, and it looks pretty good.  
16 Unfortunately, this year if you looked at it, it doesn't  
17 look quite this good. They had a drought up there too.

18           We believe there's contaminants everywhere in San  
19 Juan County. We're very concerned about this, and we have  
20 talked to Burlington, we have talked to El Paso. They are  
21 aware of our concerns. Part of those concerns are being  
22 addressed and part of them aren't.

23           We feel like that this is not just a Burlington-  
24 El Paso-Phillips problem. In northwestern New Mexico we've  
25 been considered a sacrifice zone. When you turn out as

1 much product as we do from San Juan County, things get lost  
2 in the shuffle. When you have 35,000 wells that need to be  
3 maintained, things fall through the crack, and they've been  
4 falling through the crack for quite a while.

5 We think Enron is a case study, and they speak  
6 for themselves, that we have seen with corporate America  
7 and the oil and gas industry an unheard of, untold amount  
8 of greed, and I believe that our President addressed us  
9 yesterday. It's not just oil and gas, it's across the  
10 nation, in all corporate America.

11 We also have concerns about air and water. We  
12 have aligned ourselves with a group out of Denver who's  
13 going to help us do some analysis in this area, because  
14 many of you in the industry, I'm sure, are quite aware that  
15 there's very little science about the pollution and the  
16 surface-damage problems that we have in San Juan County,  
17 very little science. Possibly a superfund site cleanup.  
18 Let's hope not.

19 In conclusion, basically we want to say that,  
20 very simply, \$2.4 billion -- that's \$2.4 billion -- was  
21 taken out of San Juan County last year. The year before it  
22 was \$1.9 billion. That's a lot of money to be sending to  
23 Washington, to our state governments and to corporate  
24 America and have the surface damage problems that we have  
25 in San Juan County. And you will find that most of us feel

1 like it's time to clean up the mess.

2           There's some good operators out there, there's  
3 some good wells out there, but there are a whole lot more  
4 that do not meet the basic environmental standards and  
5 compliance standards.

6           And we're not talking about wells, guys, that  
7 were drilled in the Forties and the Fifties, we're talking  
8 about wells that were drilled yesterday, and the day  
9 before, and last year. We're talking about new wells that  
10 we have problems with.

11           And we have made those available to Phillips, to  
12 Burlington, to Amoco, we have sent these people a list of  
13 the wells on our ranch that we have problems with. They're  
14 not all old wells.

15           And I guess what we want to say is -- and I want  
16 this to be part of the record, that our family believes  
17 very strongly in your rights to exercise your lease. We  
18 are not questioning your right to exercise your lease, and  
19 we would be the first ones to stand up with you, to say you  
20 have that right.

21           But we also say that you have rights and  
22 responsibilities to the environment that you are not  
23 meeting as an industry. And we are requesting that you  
24 work with BLM, OCD and the other stakeholders in meeting  
25 those requirements.

1 In conclusion, I would like to say three things.

2 Number one, that we have an RMP that's coming out  
3 very shortly, that has been produced for the Farmington  
4 field office. What you should know about this RMP is that  
5 it also encompasses the Albuquerque field office. This RMP  
6 has need for many comments and many concerns to be  
7 stressed.

8 We would request that the industry, and  
9 particularly the OCD hearing board, to please postpone  
10 decisions on increased spacings until we can analyze fully  
11 the impacts that we have as part of this RMP. That's the  
12 first thing.

13 I think it's exactly what Phillips was trying to  
14 say in a smaller sense, that until you have good science  
15 and you know what is occurring on the surface and the  
16 impacts to the surface, it is not a reasonable and prudent  
17 thing for people to make additional drillings when I have  
18 shown you what the surface impacts are.

19 I am not the only rancher/stakeholder that has  
20 problems in this area.

21 And the third thing that I would like to  
22 encourage is that we continue to try to work together. We  
23 are coming from different perspectives, we have different  
24 goals and we have different directions. But that does not  
25 mean that we can't work for the good of all.

1 Thank you. Thank you, Mr. Chairman.

2 EXAMINER STOGNER: We're going to call a five-  
3 minute recess at this time.

4 (Thereupon, a recess was taken at 1:54 p.m.)

5 (The following proceedings had at 2:03 p.m.)

6 EXAMINER STOGNER: This hearing will come to  
7 Order.

8 Do we have another person to testify?

9 Let's see, do you want to go through the  
10 rigamarole with him about the --

11 MR. BROOKS: Yes.

12 EXAMINER STOGNER: -- swearing in?

13 MR. BROOKS: Under our Rules, if a person is  
14 offering testimony, it states that testimony should be  
15 taken under oath. However, the Rule also states that  
16 unsworn statements will be identified and such and included  
17 in the record.

18 I'm not sure what that means, exactly, but for  
19 people who are not specifically being called as witnesses  
20 but are offering statements, I leave it to them to decide  
21 whether their statements are testimonial in nature and  
22 whether they want to be sworn, or whether they prefer to  
23 make an unsworn statement.

24 MR. BILL HUMPHRIES: You may swear me in if you'd  
25 like.

1 EXAMINER STOGNER: Please stand.

2 (Thereupon, Mr. Humphries was sworn.)

3 BILL HUMPHRIES,

4 the witness herein, after having been first duly sworn upon  
5 his oath, was examined and testified as follows:

6 DIRECT TESTIMONY

7 BY MR. HUMPHRIES: My name is Bill Humphries. I  
8 am past president of the New Mexico Cattle Growers'  
9 Association and a working committee member representing New  
10 Mexico Cattle Growers' Association, who represents ranchers  
11 across the State of New Mexico and private land owners,  
12 some who own surface and some who own surface and minerals  
13 both.

14 This is a resolution from the New Mexico Cattle  
15 Growers' Association I'd like to read into the record, and  
16 I'd be happy to answer questions if there are any.

17  
18 Be it resolved New Mexico Cattle Growers'  
19 Association requests that the New Mexico Oil  
20 Conservation Division include Private Property owners,  
21 both surface and mineral, in all hearings and  
22 Considerations of subsurface unit spacing changes; and  
23 that the New Mexico Cattle Growers' Association  
24 requests that the New Mexico OCD hold all unit spacing  
25 and re-spacing hearings in the community where the

1 proposed changes will occur and that surface owners  
2 and surface damage comments and testimony be included  
3 in the record and become part of the facts and  
4 evidence used to determine the decision.

5

6 That was passed June 29th at Tucumcari, New  
7 Mexico, at the quarterly meeting.

8 The point that I would like to make as a  
9 subsequent follow-up here is that cumulative impacts now,  
10 across a large area of New Mexico, both the San Juan Basin  
11 and the Permian Basin, have surface impacts that have  
12 heretofore not been considered or at least considered  
13 completely, and we think it's absolutely necessary.

14 I live in the San Juan Basin, I live in Rio  
15 Arriba County, ranch there, have for 40 years, and I can  
16 tell you that the impacts now are at a point where the  
17 surface damages and the contributing effects of roads,  
18 pipelines, wellpads and the adjacent impacts from those are  
19 now starting to be at a level where we're all concerned.

20 And I heard Mrs. Blancett mention that we would  
21 like to continue to work closely with the industry, with  
22 the lessees that are operating on private surface and with  
23 other interests, to make sure that we continue to do both,  
24 manage the surface well and produce energy in a way that is  
25 beneficial to both the surface and America.

1           So it's not an adversarial thing, but it is a  
2     role that we intend to take much more aggressively than we  
3     have in the past.

4           EXAMINER STOGNER: Any questions for Mr.  
5     Humphries?

6           Thank you, Mr. Humphries. Did you provide us a  
7     copy --

8           MR. HUMPHRIES: I will leave a copy of the  
9     resolution with you.

10          EXAMINER STOGNER: That concludes the formal --  
11     when I say formal, we had a prehearing statement from the  
12     last three people that you've heard speak.

13          Now I'm going to open it up to the public  
14     comment, for anybody who would like to come forward for any  
15     reason in this matter, now's the time to be heard. And I  
16     welcome anybody to come up. Just come up, sit in this blue  
17     chair, identify yourself, your name, your residence, where  
18     you live, any affiliation that you're here for, and make  
19     your statement.

20          Thank you.

21          MR. MULLINS: Thank you. My name is Tom Mullins,  
22     I'm the engineering manager for a small independent  
23     production company called Synergy Operating, based here in  
24     Farmington, New Mexico. I am also a registered  
25     professional engineer in the State of New Mexico in

1 petroleum engineering and have worked for several of the  
2 companies that have testified here today. I've also  
3 participated in several of the meetings on the Subcommittee  
4 put together for the recommendation for infill development.

5 And I just had a few comments and a few things  
6 that I observed during the hearing process that I wanted to  
7 point out.

8 As an independent operator, and a small  
9 independent operator that is outside of the prolific  
10 production area, our main concern is in the underpressured  
11 or nonprolific coal production area, which is the primary  
12 focus of the Subcommittee that was put together.

13 I agree and wholeheartedly support the infill  
14 development in the Fruitland Coal in the underpressured  
15 area.

16 With regard to the overpressured or prolific area  
17 -- we've used several different terms defining that -- I  
18 currently believe there's some additional information that  
19 needs to be analyzed, and most likely the Subcommittee  
20 needs to get together and come back before the Division  
21 with a united recommendation.

22 A few of the points that were presented by BP's  
23 testimony that I did want to point out that were not  
24 mentioned earlier relate to a couple of the exhibits that  
25 they have, and I would need a copy of those exhibits to

1 reference as I point those out.

2 MR. BROOKS: Mr. Chavez is pointing out that your  
3 statement may be of a testimonial nature, and perhaps you  
4 might want to be sworn. Did you hear my explanation to Mr.  
5 Humphries?

6 MR. MULLINS: Yes, and I would agree with that.

7 MR. BROOKS: Okay, very good.

8 (Thereupon, Mr. Mullins was sworn.)

9 TOM MULLINS,

10 the witness herein, after having been first duly sworn upon  
11 his oath, was examined and testified as follows:

12 DIRECT TESTIMONY

13 BY MR. MULLINS: I want to make sure that I get  
14 the exhibit numbers correct in this book.

15 A couple of points that I just wanted to mention  
16 regarding the exhibits. This would be Exhibit Number 18 of  
17 BP entitled "Colorado Historical Production of Fruitland  
18 Coal Wells." It is the production graph indicating the --

19 EXAMINER STOGNER: What tab is that behind?

20 MR. MULLINS: I'm sorry?

21 EXAMINER STOGNER: The tab?

22 MR. HALL: It's Tab 13, Mr. Examiner.

23 MR. MULLINS: I'm sorry, I don't have tabs.

24 MR. BROOKS: Yeah, it's not in that copy.

25 MR. CARR: It's Tab 11.

1 MR. HALL: Tab 11?

2 MR. MULLINS: It's Tab 11.

3 EXAMINER STOGNER: Tab 11. Tab 11, BP's Exhibit  
4 Number 18.

5 MR. MULLINS: Regarding this, first of all I'd  
6 like to state that all of the companies that participated  
7 in the Committee, including the folks that testified here  
8 today, have done very good engineering work.

9 A couple of points that I want to mention in  
10 relation to some of the plots for the record.

11 The dark, I guess, purple line that indicates the  
12 number of wells drilled between 1985 and 1995, which tends  
13 to flatten out in 1994 and then has a slight decrease, if  
14 you'll notice the production from the parent wells, even  
15 though the well count is flat, that the production  
16 continues to increase over time during that -- for the next  
17 four years, until the -- excuse me, next three years, until  
18 some of the pilot infill development occurs.

19 Some of the testimony presented today relates to  
20 well production at a certain point in time and then  
21 interpreting it to a reserve or drainage area. And I just  
22 wanted to point out that production on coal wells, as  
23 evidenced in the testimony, does increase as it relates to  
24 time.

25 Exhibit Number 16 and Exhibit Number -- excuse

1 me, that's my number. Under the same tab, which would be  
2 Tab Number 11, Exhibit Number 24 and Exhibit Number 25,  
3 both of these exhibits relate to a modified material-  
4 balance methodology for Fruitland Coal reserve numbers.

5 And a number that's listed on Exhibit Number 24  
6 is the infill pressure of the well that was drilled, it  
7 appears, in March of 1999, and that's referenced on that  
8 plot at 970 p.s.i.

9 On Exhibit Number 25, which is the parent well in  
10 that same section, no initial pressure is listed on the  
11 plot, but I believe the testimony was given that that is  
12 approximately 1500 pounds.

13 The evidence that I see is that there is a  
14 pressure reduction between the point in time that the  
15 original well was drilled and that the infill well was  
16 drilled, as evidenced in BP's testimony, and that to me  
17 indicates some communication between the two wells and the  
18 area associated with that.

19 Exhibit Number 26 and Exhibit Number 27 is  
20 another example of the material-balance plots indicated by  
21 BP. Exhibit Number 26 evidences a December, 1999, pressure  
22 of 530 p.s.i. The parent well, which is on Exhibit Number  
23 27, again does not indicate the pressure on this plot, but  
24 I believe it is in that neighborhood of 1500 p.s.i. It  
25 again shows evidence of pressure communication in the

1 Fruitland reservoir between those two points.

2           There was some testimony given earlier that  
3 concerned me, that there was no communication or drainage  
4 effects, as evidenced by those two wells, and I felt it was  
5 appropriate that the data that was submitted does reflect  
6 that there is pressure communication between the two wells,  
7 as evidenced by the data submitted.

8           A couple of other points that I thought that were  
9 critical to the discussion that should be entered into the  
10 record.

11           There were five initial pilot areas in the  
12 underpressured area that Burlington put together, and Chris  
13 Clarkson did a very good job modeling those areas. The  
14 detail was presented on three of those particular areas;  
15 two of the areas, the detail was not fully presented, but  
16 it was indicated that the information was similar with  
17 regard to the infill determination.

18           An item that was not mentioned in either of the  
19 presentations, other than briefly in Burlington's  
20 information, was water production that's associated with  
21 the drainage determination on these wells. From a  
22 material-balance standpoint, the drainage of the entire  
23 reservoir, the water production needs to be considered in  
24 the drainage of this area.

25           Burlington did testify that in the underpressured

1 area that the pilots were in that the water production was  
2 marginal and not, you know, of concern in the analysis, and  
3 that validated their model for the single-phase reserve  
4 model that they use.

5 With regard to the Colorado data area and the  
6 Carracas Canyon Unit area, the water production is a  
7 factor, and that may be a reason why the cumulative  
8 recoveries, as presented in BP's information, were not a  
9 straight-line relationship between coal thickness and gas  
10 or the circle representations on their plots.

11 So I do think that water production is a concern.  
12 It's obviously a concern from the testimony that we heard  
13 from Ms. Blancett about some of the spills that may occur  
14 in the development of oil and gas production.

15 I do believe that water production in some of the  
16 underpressured areas is significant, and the testimony on  
17 the pilot areas, there was not enough water production to  
18 be looked at.

19 A significant difference between the Colorado  
20 infill area and the overpressured or prolific area on the  
21 New Mexico side of the border has been the completion  
22 methodology. The cased and fractured stimulation styles  
23 which are primarily dominant in the Colorado area are also  
24 dominant in the underpressured Fruitland Coal area of the  
25 San Juan Basin. I do feel that that methodology has been

1 proven by industry to be applicable to the underpressured  
2 infill development area.

3           We've had some discussion here today about the  
4 overpressured or prolific area and whether wells would be  
5 developed through recompletions or through new drilling,  
6 and one of the reasons that we're focusing on the new  
7 drilling area is because of the completion style, which  
8 would primarily be my estimation -- I don't have  
9 Burlington's budget and I don't have BP's budget and I  
10 don't have Phillips' budget, but the primary completion  
11 method that's been proven in that overpressured area is  
12 open-hole cavity completions, and that's where the  
13 statements about how many new wells versus recompletions  
14 comes into consideration.

15           I thought it appropriate to, I guess, focus from  
16 a small independent operator's standpoint, where we are not  
17 in the prolific producing area, we will be pursuing  
18 development of the Fruitland Coal through recompletion  
19 opportunities. In every instance, the economics are  
20 driving us in that direction, but in the overpressured  
21 envelope we are talking about new drilling.

22           I'd like to, I guess, finalize my statement. I  
23 do think all of the parties have done very good engineering  
24 work. There is some sort of outside pressure for obtaining  
25 this order in a timely fashion, because we have large

1 dollar amounts, full budgets in place, and how many wells  
2 we're going to drill from the various companies.

3 But from a small independent producer's  
4 standpoint, we feel that adoption of the infill development  
5 on the underpressured Fruitland Coal area is appropriate  
6 and that the information that's been presented is adequate,  
7 and it justifies the allowance for infill development at  
8 this time.

9 We do feel that the -- I feel that the  
10 overpressured area may require industry to gather together  
11 again and consolidate some of the information that they do  
12 have. There was discussion on whether -- do we need to do  
13 some pilot infill development in the overpressured area?  
14 There was also some testimony regarding the well placement,  
15 that the wells are -- in certain instances, achieve the  
16 same result of being an infill development well on timing.

17 My personal feeling is that, given the pressure-  
18 observation wells that many of the major oil and gas  
19 producers have in the Fruitland Coal, and the timely  
20 development of the existing wells, that there should be a  
21 significant body of information to quickly bring before the  
22 Division any answers or additional information in the  
23 overpressured envelope area, to answer any questions that  
24 may come up.

25 I want to finally thank the Division for coming

1 to Farmington, and it's not often that we have the  
2 opportunity without the additional travel expenses to  
3 attend the hearing and offer our testimony, and I thank the  
4 Division for that opportunity.

5 And given that I've offered some statements, you  
6 know, I will sit in case any of the attorneys would like to  
7 cross-examine me.

8 EXAMINER STOGNER: Any questions?

9 MR. KELLAHIN: No.

10 EXAMINER STOGNER: Just for the record, Mr.  
11 Mullins, you have testified as an engineer before the Oil  
12 Conservation Division in prior cases?

13 MR. MULLINS: Yes, I have.

14 EXAMINER STOGNER: Thank you. That was just for  
15 the record.

16 You may be excused.

17 Anybody else, please?

18 MS. REESE: I'm grateful for this opportunity to  
19 have to share my concerns with the closer spacing thing  
20 that has come up.

21 I am Janet Reese from Bloomfield, New Mexico.  
22 I'm a long-time citizen of this area. I want to share with  
23 you all why I consider myself a stakeholder in this  
24 process.

25 First of all, I can empathize with the ranchers,

1 with Tweetie and the Cattle Growers' Association people,  
2 because I grew up on a small ranch in northwestern Colorado  
3 where also there has been some drilling, although not to  
4 the extent we've experienced here.

5 I consider myself a stakeholder too, because I'm  
6 an amateur naturalist with my primary interest being in the  
7 bird fauna of our area and throughout the State. The area  
8 impacted here would be the piñon/juniper and sage,  
9 primarily, I think, although we also have some areas, some  
10 small pockets of Douglas fir and ponderosa.

11 As far as affiliations, I am a member of the  
12 Sierra Club and of the Native Plant Society. But I am not  
13 speaking for either one of those groups today, I am  
14 speaking my personal concerns.

15 Which brings me to a very personal level about  
16 clean air, and that is, my husband has recently been  
17 diagnosed with asthma, and I have a grandson who is a  
18 prematurely born baby who will be highly at risk for  
19 respiratory infections, and so I am concerned about the  
20 clean air, not only for my personal interest but for all of  
21 you.

22 The downsizing from 320 to 160 acres is pretty  
23 phenomenal, I think, when you consider Tweetie's map of the  
24 oil/gas roads that we just looked at recently.

25 As for air quality, we have been told that we are

1 nearing noncompliance in this county. Dust contributes to  
2 this problem, and certainly dust is produced from these  
3 roads.

4 Another problem is the compressors. Noise is a  
5 part of that problem. And even though we're a rural area,  
6 I think it's something to consider and something that the  
7 BLM is probably obligated to think about in regard to this  
8 downsizing in area.

9 In my reading and preparation for today I also  
10 read in Colorado about methane seeps and hydrogen sulfide  
11 gas at the surface. All of these things are air-quality  
12 concerns, and I hope we keep these in mind as we look at  
13 permitting these new wells.

14 The roads too are a problem, and I was interested  
15 in the last hearing I attended to hear one of the oil/gas  
16 people say that it's a county problem, that it really  
17 wasn't their problem.

18 I cannot disagree that the introduction of  
19 noxious weeds is a problem for all of us and something for  
20 which we're all responsible. But I think it's pretty  
21 commonly acknowledged that these noxious weeds come to an  
22 area via the roads. And if you don't believe me, look  
23 around you, go out and so some driving and see where the  
24 weeds are.

25 Another concern of mine is the water factor. And

1 I have read, and the man who was just speaking to us talked  
2 about the potential of significant production of water in  
3 some areas.

4 This isn't clean water, as I understand it, it's  
5 going to be salty water. There's a question of what we're  
6 going to do with this. Is it going to be injected again  
7 into the ground, or is it going to be put on the surface,  
8 is it going to be put into pits? What's going to happen to  
9 that?

10 Another question, where does this all come from?  
11 What does it mean for our aquifers, and what does it mean  
12 about going into our aquifers. What are these pits going  
13 to do to livestock? And we heard a little bit of that from  
14 Tweetie's presentation earlier. What's it going to mean to  
15 wildlife?

16 And again, guys, I am not opposed to the drilling  
17 out there. I use natural gas too. I realize that I am a  
18 part of the situation. But I think it's time for everyone  
19 to look at doing this stuff responsibly, to hear some of us  
20 instead of just calling us environmentalists and tree-  
21 huggers and the insulting things, to try to find common  
22 solutions to our problems.

23 The question of closer spacing is of concern to  
24 me too because the piñon/juniper and sage bird-obligates --  
25 these are the birds that are totally found in those areas

1 -- I think that's something that we probably don't know  
2 enough about.

3           And I found on the Internet when I was searching  
4 that the Colorado BLM has given a fairly high priority to  
5 needing research and data in these areas that we don't  
6 everything, we don't know what this habitat fragmentation  
7 is doing, and I think it's time we need to find out.

8           One of their concerns is avian population  
9 dynamics. We need to look at the piñon/juniper, we need to  
10 look at the sage communities.

11           An area that appears to be almost totally  
12 neglected in this -- and I have yet to look at the last  
13 environmental impact statement, so it may be addressed  
14 there -- is the amphibian and invertebrate populations.  
15 And this particular BLM cite says that these are poorly  
16 understood. I suspect that that might be a problem for us  
17 too.

18           I would like to ask the industry to seriously  
19 consider our concerns about air quality, water quality and  
20 what's happening out there. Recreation is certainly a part  
21 of what goes on in the public lands.

22           And so I ask for you to consider these things  
23 when you're looking at the smaller spacing and encourage  
24 you not to just totally make profit your bottom line.

25           Thank you for your time.

1 EXAMINER STOGNER: Thank you.

2 Anybody else?

3 MR. RALSTON: Can you run the sworn testimony  
4 thing by me?

5 MR. BROOKS: Okay, very good. I was going to ask  
6 you if you had heard what I said previously.

7 Under the rules of the Oil Conservation Division,  
8 if you -- it states that testimony offered before the  
9 Division will be under oath. It also states that relevant  
10 unsworn statements will be recorded as such and made a part  
11 of the record. That may not be an exact quote, but it's  
12 close.

13 As I said to another witness, I'm not sure what  
14 that means, and I'm the Division's attorney. But I leave  
15 it to you as to whether you want to make your statement  
16 under oath or whether you want to make a relevant unsworn  
17 statement.

18 MR. RALSTON: And who decides if it's relevant?

19 MR. BROOKS: I believe the Examiner does, and I  
20 think his policy is, basically, this afternoon you can say  
21 anything you want to.

22 EXAMINER STOGNER: That's my policy today.

23 MR. RALSTON: Well, I'll go under oath. It's  
24 probably not that important.

25 (Thereupon, Mr. Ralston was sworn.)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

ALAN RALSTON,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT TESTIMONY

BY MR. RALSTON: My name is Allen Ralston, I work for San Juan Systems Alliance out of Durango, Colorado, on oil and gas issues, and we actually have two groups, one here in New Mexico and the one in Durango, nonprofit groups interested in all kinds environmental issues.

I've worked in the Powder River Basin in Montana for two or three years before I came down here, so I'm sort of familiar with oil and gas production methods. I'm not an expert, however.

I just wanted to raise a couple concerns. I know it may not be in the narrow purview of your rules to consider these, but I think the time is ripe to start thinking outside the box here a little bit.

I think most people, or some people, are aware that in July of 2000, or the summer of 2000, there was an internal review of the BLM's Compliance Division here in the Farmington Field Office. It's a fairly thick document pointing out all the things that are wrong with their compliance. They have not been doing a good job.

In this district there's one inspector for 1500 wells. Nationwide in BLM there's one inspector for every

1 350 wells. So we think that's one reason that the  
2 transgressions that Tweetie pointed out are happening,  
3 because the BLM has not been able to do compliance.

4           And I guess my point here is that we would like  
5 this board to carefully consider this Application for  
6 downspacing in light of BLM's shortcomings in compliance.  
7 I think it's reasonable to move more slowly, and I think  
8 Phillips made a very good case for that. There's not  
9 enough evidence in part of the Fruitland formation to  
10 downspace. I think -- That's my conclusion, that sounds  
11 reasonable, and I think that deserves serious  
12 consideration.

13           And I also think that due to the air-quality  
14 concerns that Dr. Taylor illuminated, that the board -- I'm  
15 not a lawyer, but I think that as a reasonable human being  
16 that this board has some kind of implied duty or obligation  
17 to consider the approaching non-attainment status of  
18 ground-level ozone when you're talking about well spacing  
19 and things like that.

20           I'm an ex-capitalist businessman, so I understand  
21 the profit motive, I fully understand why the companies  
22 want to get the gas out of the ground as fast as possible.  
23 They have shareholders to answer to and accountants to  
24 answer to about profit guidelines and things like that.

25           But I think that we're at a point in this whole

1 Basin that we have to consider other things besides narrow  
2 technical issues or profit and loss. I think, you know,  
3 we're approaching a point in our society as evidenced, you  
4 know, by events of the recent past weeks of accountants not  
5 doing their job, things like that.

6 I think we're putting too much emphasis on just  
7 the money thing, and I don't think that's an idealistic  
8 viewpoint, but I just think that we have to consider the  
9 quality of life that we want here, and I don't think that  
10 we can look at -- the BLM can do their little narrow job,  
11 you guys do yours. I think we all have to work together  
12 with the oil companies and all the other stakeholders to  
13 solve these problems.

14 And we're not opposed to any -- taking gas out of  
15 the ground. In fact, I own mineral rights on land in  
16 Montana, so I'd be happy to have some gas company develop  
17 those rights, or those minerals.

18 But I do feel that we need to cooperate and that  
19 the industry has to -- and I think they're getting the  
20 message here, that we have to raise the operating standards  
21 that we go by. I think people are demanding that, and I  
22 think it can be done.

23 So in closing I would reiterate Tweetie's point  
24 that this board or this Division take your time on deciding  
25 the downspacing and maybe wait until the resource

1 management plan for the Farmington field office is  
2 finalized.

3 That's all I have to say.

4 EXAMINER STOGNER: Thank you, Mr. Ralston.

5 MR. RALSTON: Thank you.

6 EXAMINER STOGNER: Please come forward, anybody  
7 else?

8 MR. CARR: Mr. Stogner, there is a statement from  
9 Williams Production Company. Would this be the time for a  
10 representative of that company to make a statement?

11 EXAMINER STOGNER: I think so.

12 MR. CARR: Mr. Hawks?

13 MR. BROOKS: Presumably you have heard my  
14 explanation to the other people that have gotten up here.  
15 Do you wish to be sworn?

16 MR. HAWKS: I'm just reading in a statement.

17 MR. BROOKS: Okay, very good.

18 MR. HAWKS: My name is Ralph Hawks, I'm a  
19 geologist with Williams Production Company in Tulsa,  
20 Oklahoma.

21 Williams is in support of the infill drilling  
22 Applications that have been stated here. We also are in  
23 support of the adoption of amendments which will result in  
24 one set of rules applicable to all operators who desire to  
25 develop the interests, wherever located within the

1 reservoir.

2 We have a -- I'll leave with you a copy of the  
3 completed statement.

4 That's all I have. Thank you.

5 EXAMINER STOGNER: Thank you, if you'll leave  
6 that up here.

7 Ladies and gentlemen, anybody else? This is a  
8 rarity. I've only got out of town -- Santa Fe, I should  
9 say -- this is my third time to have hearings in other  
10 places besides Santa Fe. But with your participation in  
11 this, and I've heard a request -- a couple of requests and  
12 some appreciation for us being here.

13 Once you get up here and say anything in front of  
14 the record, it might make you feel better, and I welcome  
15 that.

16 (Laughter)

17 EXAMINER STOGNER: Don't be scared, come on up if  
18 you want to, because the next phase I'm going to have to go  
19 into the closing arguments by the attorneys at this point,  
20 so I'm trying to prolong this.

21 (Laughter)

22 EXAMINER STOGNER: Well, at this point I'll open  
23 it up for the closing arguments.

24 At this time, Mr. Dean, I'll allow you to go  
25 first.

1           MR. DEAN: Thank you. Mr. Examiner, briefly my  
2 name is John Dean and I've entered my appearance on behalf  
3 of Dugan Production Corporation, an independent producer  
4 here in the Basin.

5           We support the Application of the Committee as it  
6 pertains to the low-productivity area. We don't have any  
7 acreage in the high-productivity area. We wish we did, but  
8 we don't.

9           We have participated in the Committee since its  
10 inception more than a decade ago, and in the first hearing  
11 that created the Fruitland Pool Rules, the Dugan Group, as  
12 it was referred to, advocated 160-acre spacing.

13           We didn't really have the evidence, the Committee  
14 felt, at that time to get that through. But it was  
15 something that we were thinking about 12 years ago. So we  
16 heartily endorse that now in the low-productivity area.

17           Our purpose in appearing was to make sure that  
18 there was no attempt to exclude any of Dugan's lands in a  
19 separate issue, which has been resolved, I think. There  
20 have been no requests to exclude Dugan land from the effect  
21 of any amendment that's adopted by you, and we do not  
22 advocate that.

23           We think the Rule should be applied throughout  
24 the low-productivity area, and we basically just ask that  
25 you do that, and we do support the Committee Application.

1                   And I thank you.

2                   EXAMINER STOGNER: Who would like to go first, as  
3 far as the presenting attorneys?

4                   MR. KELLAHIN: I'm not here to argue with you,  
5 Mr. Stogner, so perhaps I could go next.

6                   EXAMINER STOGNER: Okay.

7                   MR. KELLAHIN: And Mr. Carr and --

8                   EXAMINER STOGNER: Make sure -- Is that on the  
9 record? Okay.

10                  (Laughter)

11                  MR. KELLAHIN: I'm here on behalf of Burlington  
12 Resources. We're here to express to you our support not  
13 only of the Committee process but of the Committee  
14 recommendations.

15                  I've represented Burlington in the coal gas for,  
16 I guess, 20 years now, or 15 or more. We were involved in  
17 the original pool rule cases that were presented before the  
18 Division, and we started off years ago with the Fruitland  
19 wells up in the Cedar Hills.

20                  Amoco at that time had interference-study tests  
21 to demonstrate that at least within that study area there  
22 was the need to be careful about your well density. Dugan  
23 and others presented a different point of view urging that  
24 in other areas there was need for a higher density.

25                  So for some 15 or more years, if you look at

1 those old orders, you will see that the Commission has  
2 always recognized that infill drilling of the coal was an  
3 inevitable probability. You have recently dealt with that  
4 yourself in the Richardson application under current rules  
5 to create a special area for infill drilling over by the  
6 coal mine. It's an evolving process where everyone  
7 recognizes that the spacing in the pool needs adjustment by  
8 increasing the density.

9           The committee process is one that consistently  
10 works for the Division. I've led a number of those  
11 committees. We recently did one on the Mesaverde. You had  
12 the Mesaverde infill hearings. So when you go back to the  
13 committee process, it's a great way to get industry  
14 operators collectively together to talk about how to manage  
15 this resource in an effective and efficient way.

16           That was done in this case. It started many  
17 years ago when the Division took the initiative of having  
18 one of the personnel in Aztec poll the operators. When we  
19 sent out the notice a few weeks ago, there were 45 or 49  
20 operators. Consistently, the Committee has met and allowed  
21 anyone that wanted to participate, to bring technical data  
22 and to share that data. Some come, some go, some continue  
23 to stay and participate. From the inception, Burlington  
24 has done that.

25           As a result of that committee effort, they've

1 analyzed thousands of wells, and they have brought to you a  
2 concise recommendation. A committee process is a process  
3 of collaboration. You may come in with an initial agenda,  
4 you may be agreeable to some changes, you may be persuaded  
5 to change your own position by information you see from  
6 others. And the end result is, there's a give and take  
7 about what to do. The give and take, the result, is a  
8 committee recommendation to you that Burlington supports.

9           When you start with a huge pool and you start  
10 categorizing the rate at which these wells produce, the  
11 technical people that are involved in this process that  
12 know the geology and the engineering started drawing some  
13 contour lines so they could identify for you an area within  
14 which wells will produce in excess of 2 million a day. We,  
15 for simplicity, characterize that as the fairway.

16           You've had a number of geologic presentations.  
17 All those presentations show you not only in the nonfairway  
18 tract but in the fairway tracts, that coal is layered, the  
19 layers are discontinuous, individual layers are  
20 discontinuous, the lateral inconsistency is incredible.  
21 You can't separate out the fairway based upon the geologic  
22 characteristics in the pool.

23           You had all the geologic presentations made to  
24 you. Phillips, who's an active operator in the Basin, has  
25 not chosen to present to you geology in this hearing. I

1 can only presume that they agree with the rest of us that  
2 the geology is as we described.

3 So when you look about how to treat the fairway,  
4 the major dilemma is, do the operators agree among  
5 themselves that the pool needs to have increased density?  
6 All the filings demonstrate that the Committee is unanimous  
7 on increasing the density for the entire pool. You're not  
8 faced with a request to exclude the fairway.

9 Amoco consistently has always said, Let's not  
10 make a distinction, let's make the rules the same in the  
11 fairway and the nonfairway. It's no surprise that Mr.  
12 Hawkins is telling you that again today. And if Phillips  
13 or anyone else objected to how that was to be done, there  
14 was plenty of opportunity to present technical data to  
15 build a case, to build a consensus or advance an argument,  
16 to exclude the fairway.

17 Nobody did that. The Committee as a whole  
18 decided the geology spoke for itself. We're dealing with  
19 the same container, it has substantially the same  
20 characteristics when you look at what these wells will do.  
21 And so no one ever sought to exclude it.

22 Amoco perhaps has learned something from the  
23 Mesaverde case. That is a case that you heard, you may  
24 remember, similar approach. The engineers and geologists  
25 developed these amazing maps where they had shown rates of

1 drainage and productivity. They had these pods of high  
2 recoveries, and they were scattered and dispersed in the  
3 pool.

4 Amoco's solution in that case was, let's carve  
5 those out, collectively expose them to a hybrid pool rule  
6 under which Amoco or anybody else could object, and we can  
7 decide what happens with infill drilling in these pockets  
8 of high productivity.

9 The Division in its wisdom said, What are you  
10 asking me to do? Are you asking me to take individual  
11 pockets, expose them to complicated technical hearings, to  
12 drive a solution in the pool that's different than what I  
13 am persuaded exists for the whole pool? The Division said,  
14 No, it's too complicated. We'll let you as operators  
15 decide how you want to put your infill wells and how close  
16 they are among a certain population. They rejected Amoco's  
17 argument, which Phillips now advances, that you need a  
18 hybrid rule.

19 I've looked at the Rules. I can't find another  
20 pool in New Mexico that is layered in such a way that a  
21 certain portion of that pool is subject to some special  
22 notice provisions that trigger hearings to deal with well  
23 density. They're just not there.

24 So when you find that all the parties are  
25 unanimous on the geology then you address, do we make them

1 different or do we make them the same?

2 We've spoken on behalf of the Committee because  
3 we think the committee process is substantially more  
4 important to you than what individual companies would seek  
5 to ask you to do. When you look at the Committee's  
6 solution, we have suggested -- and as Mr. Hayden has told  
7 you, we are agreeable to deleting the Cedar Hills Pool.  
8 There's no reason to continue that pool, and we can make it  
9 one pool here.

10 The Committee was in agreement that within the  
11 fairway there was an opportunity for a correlative-rights  
12 issue. No one has presented a waste issue in the fairway.

13 The issue was correlative rights, and the  
14 Committee addressed the opportunity for that violation of  
15 correlative rights in their request. They showed you that  
16 if an operator was encroaching upon a non-operated spacing  
17 unit, it's likely to have different ownership, different  
18 parties affected, and there should be an opportunity in the  
19 fairway for those parties to have notice and objection. It  
20 was not considered at that time necessary to apply that  
21 rule as an implement or an additional requirement of the  
22 unit.

23 The units are a contractual solution among the  
24 parties affected by that contract on sharing their cost and  
25 correlative-rights responsibilities, and there's no reason

1 in a participating area that whoever the operator is or the  
2 majority of the interest owners who decide to drill an  
3 infill well need to have the permission and consent of 100  
4 percent.

5 Phillips' proposal lets a 1-percent owner  
6 checkmate or blackball an infill well within the fairway.  
7 In doing so, it triggers complicated hearing problems.

8 The shifting of the burden of proof is no  
9 solution. The burden ought to be on the opponent, because  
10 the presumption is, you need it, everybody says you need  
11 the well.

12 If the burden is on the opponent it doesn't solve  
13 the problem, because the Applicant has to go through the  
14 same expensive technical defense of his application. It  
15 doesn't solve the issue.

16 But when you look at the correlative rights in  
17 the unit, why is that fair? Because if the infill well is  
18 surrounded by unit tracts that are participating, those  
19 interest owners are the same interest owners as in the  
20 infill well. They're all sharing in the same source of  
21 supply. Correlative-rights issue disappears.

22 If everybody collectively feels that there's a  
23 need for the infill wells, we think the committee approach  
24 is a nice solution. We ask and urge that you adopt that as  
25 a solution in this case. We support you doing so. We

1 think the record is entirely void of any reason not to grab  
2 the infill well in the nonfairway properties, that the data  
3 and the information is extensive, and there's no opposition  
4 to that.

5           Within the fairway, if you choose to adopt the  
6 Phillips-proposed additional notification, it will run  
7 havoc through the fairway. And I would prefer that you  
8 just make the rules the same for the entire pool, and we'll  
9 deal with that as operators and interest owners spending  
10 the money to produce the resource. We still would like you  
11 to support and approve the Committee recommendation.

12           Thank you, Mr. Stogner.

13           EXAMINER STOGNER: Thank you, Mr. Kellahin.

14           Mr. Carr?

15           MR. CARR: May it please the Examiner, as you  
16 know, I'm here for BP America, Inc. We support infill  
17 drilling.

18           We believe infill drilling should be approved  
19 poolwide under one set of rules, and we believe -- BP  
20 America, Inc., believes that you should enter an order  
21 adopting infill drilling on a poolwide basis, that it  
22 should be one set of rules for all portions of the pool.

23           And we believe the work of the Study Committee  
24 and the evidence presented in this case justifies that  
25 order. We have a fairly lengthy record, but when you look

1 at this record, Mr. Stogner, I'm convinced you'll find that  
2 you're looking at a reservoir, and it has been established  
3 that it is a complex reservoir with substantial  
4 discontinuity in the producing coals well to well, that it  
5 is a multi-layered reservoir, and to properly and  
6 efficiently and effectively access these reserves, infill  
7 wells must be drilled, and they must be drilled everywhere.

8           You know, you hear often, oh, well, there's a  
9 lack of evidence to support this. In my experience, you  
10 hear that in two cases: one where there's no evidence --  
11 that's not the case here -- or one where it's a convenient  
12 argument if you don't want the result that you see may be  
13 coming.

14           But the geological evidence in this case is  
15 clear, it goes one direction, and the picture of the  
16 reservoir is one that warrants additional development.

17           You can talk about need for pilot projects and  
18 for models. I'm of the opinion, listening to this  
19 proceeding, that you could model every square inch of the  
20 reservoir, and there would still be something someone  
21 thinks you should wait on until we can look at it again.

22           But the evidence we have shown you through our  
23 modeling is that you have high-productivity wells -- the  
24 well that we showed you yesterday that produced at a rate  
25 of in excess of 5 million a day during the peak of its

1 producing life -- that an infill well was drilled on that  
2 spacing unit, and the infill well did not affect the  
3 performance of the parent well.

4 We didn't say there wasn't a pressure  
5 differential. We said that when you look at the material-  
6 balance calculations, the infill well did not affect the  
7 performance of the parent well and that the infill well in  
8 a very high-productivity area was recovering substantial  
9 additional, incremental reserves. And that prevents waste,  
10 for without those wells those reserves would be left in the  
11 ground, they would be lost, they would be wasted.

12 In a nutshell, that's what this case shows, and  
13 that's what it shows as to the fairway as well as to the  
14 low-productivity area. And it's a result that has been  
15 developed by a Committee that has worked for two years, and  
16 I think it's supported by the evidence here today.

17 It's an interesting case. We seem to be, on one  
18 side, presenting to you what we've done for two years, and  
19 yet we have one individual who we thought was doing it with  
20 us, who's decided to take a contrary position, instead of  
21 presenting data and letting it be mulled and worked through  
22 the Committee process, wants to do it here, I submit, after  
23 the fact, with you.

24 And everything they have said doesn't challenge  
25 the composition, the physical make-up of this reservoir or

1 the data we have shown you on how wells perform.

2 There are a number of things I would suspect  
3 you'd gather that we don't like.

4 We're opposed to the line around the high-  
5 productivity area. And it needs to be understood that at  
6 one point BP did say if there's a line, this is the line.  
7 But people are either misunderstanding or trying to  
8 misunderstand that.

9 It's a little bit like a situation where if Mr.  
10 Kellahin found he was to be executed he would say, I'd  
11 prefer electrocution to hanging, and everybody else would  
12 later say, well, Mr. Kellahin has decided he'd like to be  
13 electrocuted. That's not what we have here.

14 (Laughter)

15 MR. KELLAHIN: Or you could talk me to death.

16 (Laughter)

17 MR. CARR: We have never said -- we have not said  
18 we want the line. We have said, if we have to have a line  
19 this is it. But I would submit to you the line is  
20 arbitrary. It's arbitrary, it's based on a producing rate  
21 of 2 million a day. That drains maybe 200 acres. We're  
22 trying to sort out wells that drain their spacing units,  
23 320.

24 And so if you adopt that line I think we start  
25 with a flawed premise, a premise where we already know 175

1 wells to start with are on the wrong side of the line.

2 We don't like the notice provision. We think,  
3 one, it's also arbitrary because only those inside the  
4 arbitrary line have to give or get notice. And we think  
5 the only reason for it, really, is to prevent someone from  
6 drilling offsetting you so you don't have to go ahead and  
7 develop your acreage.

8 It sounds to me like what we could have in almost  
9 every other pool in New Mexico. Instead of having  
10 correlative rights being defined as an opportunity to  
11 produce what is under your acreage, we can rewrite the  
12 statute and say, you can produce if your neighbor doesn't  
13 think it's going to interfere with what they may be  
14 draining from your acreage. It runs right in the face of  
15 correlative rights.

16 Correlative rights in New Mexico doesn't  
17 guarantee you an MCF of gas or a barrel of oil, it  
18 guarantees you an opportunity to produce what's under your  
19 land. And you could model every square inch, virtually, of  
20 the San Juan Basin, and you'd have to do that before you  
21 would know a well at a particular location would intersect  
22 a new layer in the coal that could produce commercial  
23 reserves.

24 And so we can model forever and someday give up,  
25 I guess.

1           But you know, you take -- you avail yourself of  
2 an opportunity to produce your reserves in various ways.  
3 You can drill a well -- that's what we'd like to do -- or  
4 you can commit your interest to a unit and arrange through  
5 a contractual arrangement for the wells to be drilled and  
6 the property to be developed. Both of those are ways to  
7 avail yourself of your correlative rights.

8           And yet it seems to me that Phillips stands  
9 before you having selected option two, but now, without  
10 really saying why, wanting it out so that inside a unit  
11 that they don't operate if someone wants to propose a well  
12 under the unit provisions, well, they have another way to  
13 avoid the relationship that's established.

14           And I appreciate Mr. Chavez's concern that those  
15 agreements may not be always consistent with regulatory or  
16 conservation principles, but we're talking about federal  
17 units and federal unit agreements here.

18           I think there's one thing I do need to correct.  
19 There's sort of a hysteria, I think, being spread about how  
20 many wells are going to be rapidly drilled to the fairway.  
21 When you look at the transcript, we didn't say we were  
22 going to drill 150 infill wells, we said that's how many we  
23 operated in the area around the high-productivity. We're  
24 not going out on a reckless drilling plan. We don't know  
25 how many we're going to drill, it depends on what happens

1 here. It will be responsible and it won't be secret, and  
2 it won't be drilled and other operators notified after the  
3 fact.

4 You know, we've talked about, gosh, we do need  
5 additional information. And you know, it sounds great.  
6 But what comes from this? I mean, instead of just saying,  
7 well, gosh, it would be easy, let's just kick out this area  
8 and study it some more, what are we going to have at the  
9 end of that?

10 Well, we know we're going to have delay, and I  
11 want to talk to you a little bit about the delay. You  
12 know, your jurisdiction -- and we've tried to bring to you  
13 a case based on prevention of waste and protection of  
14 correlative rights, and I often run in and remind you that  
15 you're a creature of statute and your powers are defined  
16 and limited by the Oil and Gas Act. And we had a hearing  
17 here today where, other than just those issues, we've heard  
18 from landowners and other individuals.

19 And as I've been thinking about that it strikes  
20 me that it's not only correct but it's important to do  
21 that, because your jurisdiction isn't just narrow,  
22 compartmentalized into narrow, specific areas, but you have  
23 a broader responsibility.

24 It also occurred to me that while I was being, I  
25 thought, characterized as one of the guys over and over

1 again, that there's a lot of misunderstanding both ways in  
2 this situation where at one moment I thought I was being  
3 branded with an Enron brand and chasing profit. It's a lot  
4 more complicated what we do.

5 I mean, maintaining a reserve level in this pool  
6 is important if we're going to have the overall resources  
7 to go out and drill additional wells and continue to have  
8 the infrastructure to get it developed in a timely way.  
9 And the delay isn't just leaving it in the ground, the  
10 delay can interfere with how it's ultimately produced or if  
11 it's ultimately produced.

12 And so there are lots of things here, and I think  
13 it was important to call people in and to talk about it.

14 But you know, when we -- the delay that can come  
15 from a study period can be harmful. And then you need to  
16 weigh that against, what are you going to get out of a  
17 study? I can't imagine that a year from now you would know  
18 anything about the reservoir, other than it's a very  
19 discontinuous, fragmented, multi-layered reservoir where  
20 additional wells are going to produce reserves that  
21 otherwise would be wasted. I can't imagine you'd have  
22 anything but that.

23 I can't imagine that you would go out and after  
24 studying this for a year or two years you would find  
25 yourself in a situation where you wouldn't know what we

1 know today, that there are some areas where you need wells,  
2 some areas where you don't need wells. Operators have to  
3 make those determinations based on economic and reservoir  
4 considerations and go out and try and with all their  
5 science and all their ability and try and properly develop  
6 these reserves. You a year from today won't know more than  
7 you know today.

8 We're asking you on the record that's been made  
9 here, we're asking you on the work that has been put  
10 together by all of us who fully participated in the  
11 Committee process and come forward with a recommendation,  
12 we're asking you to prevent waste by approving drilling  
13 that will let us access these reserves.

14 We're asking you to protect correlative rights by  
15 giving us an opportunity to go out and do that, and we're  
16 asking you to do that without regulatory burdens, arbitrary  
17 boundaries and additional studies that really are  
18 meaningless and in the final analysis arbitrary.

19 EXAMINER STOGNER: Thank you, Mr. Carr. Also I'm  
20 going to deny your request concerning Mr. Kellahin. I'd  
21 rather see him hanged.

22 (Laughter)

23 MR. CARR: And I would pull the lever.

24 EXAMINER STOGNER: Mr. Hall?

25 MR. HALL: Mr. Examiner, on behalf of Phillips,

1 Phillips' position in this proceeding has been crystal-  
2 clear throughout the last two days, and I would submit to  
3 you that -- Mr. Carr took my batteries. It shows "on".  
4 I'm sorry.

5 (Off the record)

6 MR. HALL: Mr. Examiner, Phillips' position has  
7 been absolutely clear throughout the course of these  
8 proceedings, and I would submit to you that Phillips'  
9 position has been in accord with the preponderance of the  
10 evidence that's been presented to you over the last two  
11 days.

12 What Phillips proposes is quite simple. Phillips  
13 proposes that you adopt a rule providing for infill  
14 development in the low-productivity area.

15 Phillips also proposes that you take a more  
16 measured approach to development in the high-productivity  
17 area. Prudence dictates that that area be studied further  
18 before final rules are adopted for its development, because  
19 this is the last, best chance for the development of this  
20 pool, and we ought to do it right.

21 Alternatively, if there is to be infill  
22 development in the infill area -- the high-productivity  
23 area, rather -- we ought to provide for some safeguards by  
24 way of notification so that minority working interest  
25 owners, whether they be a Phillips Petroleum, a Dugan

1 Production or the numerous smaller working interest owners,  
2 individuals, some of whom can't -- were unable to appear  
3 before you here today, have some way to get together and  
4 look at what's being proposed, perhaps take the opportunity  
5 to negotiate with the Applicant if not go to hearing and  
6 work it out there. There ought to be additional scrutiny  
7 if we are to have infill development within the high-  
8 productivity area.

9 Mr. Examiner, I think it was apparent on the face  
10 of the Application that was filed in this case that the  
11 Committee's work was not complete. You look at it, there's  
12 alternative relief requested on there, and you have to  
13 wonder why.

14 If we've learned over the last few days,  
15 divergence among the Committee participants, again, only  
16 recently. And you have to again ask why, and when did that  
17 divergence begin? And it's been learned through testimony  
18 that not all of the Committee participants were forthcoming  
19 with what their plans for development were in the high-  
20 productivity.

21 Some of the testimony that was established, we're  
22 looking at at least 150 wells to be drilled by Burlington.  
23 One of the BP witnesses said probably 130 wells. It's  
24 unclear whether all of that or some of that is within the  
25 high-productivity area. I'm not sure I understand Mr.

1 Carr's response to that issue. We ought to clarify that.

2 But the very fact that there is a proposal for  
3 scores of wells, hundreds of wells upcoming in the near  
4 future, what sounds like, in the year 2003, that dictates  
5 prudence on all of our parts, and the Division. And that's  
6 why I say the Committee's work is not done.

7 I think it's a prudent thing to refer the matter  
8 back to the Committee. The Committee participants ought to  
9 be made to confer, establish an appropriate pilot project  
10 area and obtain additional data, study it, and then come  
11 back to you with a more concrete recommendation. It  
12 appears to me that otherwise the Application in this case  
13 was premature, and I think the evidence has borne that out.

14 One thing that is very clear, Mr. Kellahin  
15 mentioned that most of the testimony was focused on  
16 violation of correlative rights. That is not true.

17 I think it has been unequivocally established  
18 that there is a tremendous potential for waste here. We  
19 think it is irrefutably established that we are looking at  
20 not only the likelihood but the probability that  
21 unnecessary wells will be drilled in the high-productivity  
22 area. That contravenes your statutory duties under the Oil  
23 and Gas Act. Drilling of unnecessary wells must be  
24 prevented.

25 Unnecessary wells is the equivalent of waste.

1 And I would remind you, Mr. Examiner, that of all of the  
2 duties the Division has under its various statutes, the New  
3 Mexico Supreme Court has instructed all of us that the  
4 prevention of waste is paramount. You must bear that duty  
5 in mind before all others before you act.

6 For that reason, Mr. Examiner, that's why I think  
7 it's perhaps unfair for the Committee Application to have  
8 gone forward in the fashion it has, to ask you to sort out  
9 the dissonance among the Committee members. What you ought  
10 to do is approve infill drilling in the low-productivity  
11 area, refer the matter back to the Committee for further  
12 study. We can come back and do this again with a more  
13 concrete proposal that more people agree on.

14 Mr. Examiner, one final housekeeping matter. We  
15 were requested by Mr. Kellahin to provide certain pressure  
16 data information. I want the record to reflect that we  
17 have done that here today.

18 We'd also ask BP to provide pressure data and  
19 well identification number to support their Exhibit 20, and  
20 they have committed to provide that us today.

21 But that's all I have, Mr. Examiner. Thank you  
22 very much.

23 EXAMINER STOGNER: Thank you, and that addresses  
24 the issue that I was going to recess.

25 MR. CARR: Yes, sir. We have the information,

1 we'll quickly provide it. Mr. Hall identified exactly what  
2 it was, and we do have that.

3 EXAMINER STOGNER: I'm going to keep the record  
4 open in this matter for two weeks. If additional  
5 information is needed or additional time is needed to  
6 address your concerns after you review it and the other  
7 party gets a chance to rebut, then you can request it.

8 Also, I'd like to request a rough draft order --

9 MR. CARR: Yes, sir.

10 EXAMINER STOGNER: -- within that two-week  
11 period. I'm sorry, how about a week subsequent to the --  
12 reviewing all of the --

13 MR. CARR: We can --

14 EXAMINER STOGNER: -- information subsequent --

15 MR. CARR: -- which would be about three weeks  
16 from now.

17 EXAMINER STOGNER: Yes.

18 MR. CARR: Yes, sir.

19 EXAMINER STOGNER: If additional time is needed,  
20 then you can request that.

21 Anything further in this matter?

22 MR. CARR: Mr. Stogner, could I ask that we be  
23 given two weeks after the transcript is finished in this  
24 case to provide orders?

25 EXAMINER STOGNER: Okay, the request has been

1 made for two weeks after the transcripts are issued to  
2 provide a rough-draft order. I concur. Thank you for  
3 reminding me of that.

4 I appreciate the Aztec office's work on getting  
5 this facility for us. Again, I appreciate being here.  
6 Thank you all for showing up and staying here.

7 And we'll be continuing this road show tomorrow  
8 in Aztec with our regularly schedule hearings, since all  
9 the parties that regularly put on hearings, the attorneys  
10 and myself, Mr. Brooks, the reporter, will be in this area,  
11 we decided we'll go ahead and have the regularly scheduled  
12 hearing in Aztec, and we're going to be in the City Council  
13 chambers there. So if you didn't get your belly full of  
14 this in the last two days --

15 (Laughter)

16 EXAMINER STOGNER: With that, I stand adjourned.  
17 The record will be kept open pending the information.

18 (Thereupon, these proceedings were concluded at  
19 3:10 p.m.)

20 \* \* \*

21  
22 I hereby certify that this is a true and correct  
23 a complete record of the proceedings of  
24 the Examiner hearing of Case No. 12888  
25 heard by me on July 9 and 10, 2002.

*Mark Stogner*  
Oil Conservation Division


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )  
 ) ss.  
COUNTY OF SANTA FE )

I, Steven T. Brenner, Certified Court Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I transcribed my notes; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL July 25th, 2002.



STEVEN T. BRENNER  
CCR No. 7

My commission expires: October 14, 2002