

STATE OF NEW MEXICO  
ENERGY AND MINERALS DEPARTMENT  
OIL CONSERVATION DIVISION  
STATE LAND OFFICE BLDG.  
SANTA FE, NEW MEXICO

28 August 1985

EXAMINER HEARING

IN THE MATTER OF:

Case 2355 being reopened on the motion CASE  
of the Oil Conservation Division and 2355  
pursuant to the provisions of Order  
No. R-2051, as amended.

BEFORE: Michael E. Stogner, Examiner

TRANSCRIPT OF HEARING

A P P E A R A N C E S

For the Division:

Jeff Taylor  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Bldg.  
Santa Fe, New Mexico 87501

For H. L. Brown, Jr.:

Ernest L. Padilla  
Attorney at Law  
P. O. Box 2325  
Santa Fe, New Mexico 87501

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

## I N D E X

MIKE FEAGAN

Direct Examination by Mr. Padilla 4

Cross Examination by Mr. Stogner 13

## E X H I B I T S

Brown Exhibit One, Booklet 6

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MR. STOGNER: We'll call Case Number 2355, which is being reopened.

MR. TAYLOR: In the matter of Case 2355 being reopened on the motion of the Oil Conservation Division and pursuant to the provisions of Order No. R-2051, as amended, which order promulgated temporary special rules and regulations for the Bluitt-Wolfcamp Gas Pool in Roosevelt County, including a provision for 320-acre spacing units.

Operators in said pool may appear and show cause why the pool should not be developed on 160-acre spacing units.

MR. STOGNER: We will now call for appearances in this matter.

MR. PADILLA: Mr. Examiner, my name is Ernest L. Padilla, Santa Fe, New Mexico, for H. L. Brown, Jr., in this case.

I have one witness to be sworn.

MR. STOGNER: Okay, are there any other appearances in this matter?

Will the witness please stand and be sworn?

(Witness sworn.)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24  
25

MIKE FEAGAN,

being called as a witness and being duly sworn upon his  
oath, testified as follows, to-wit:

DIRECT EXAMINATION

BY MR. PADILLA:

Q Mr. Feagan, for the record would you  
please state your name and what your connection with H. L.  
Brown, Jr., is?

A Yes. My name is Mike Reagan. I'm em-  
ployed by H. L. Brown, Jr., as a petroleum engineer, produc-  
tion engineer.

Q You work out of Midland, Texas. Do you  
reside in Midland, Texas?

A That's right.

Q Have you previously testified before the  
Oil Conservation Division and had your credentials accepted  
as a matter of record?

A I have not testified previously.

Q Would you please state your educational  
background and when and where you received your degree in  
petroleum engineering?

A Yes. I attended Texas Tech University;  
received my degree in 1981, BS in petroleum engineering; af-

1 ter which I was employed by Texaco, Incorporated, and worked  
2 for a year and a half as a production engineer in Sundown  
3 and Pinwell, Texas, and then transferred to the Midland Dis-  
4 trict Office as a reservoir engineer for Texaco, Incorporated.  
5

6 Q When did you start working for H. L.  
7 Brown?

8 A February of 1984 I started working for H.  
9 L. Brown, Jr., in the present capacity I'm employed.

10 Q And as a petroleum engineer what are your  
11 duties with H. L. Brown?

12 A They really range -- with a small company  
13 they range from production and a small amount of drilling  
14 and anything that may pertain to regulations.

15 Q Have you made a study in connection with  
16 this case of the Wolfcamp gas pool in Roosevelt County, New  
17 Mexico.

18 A Yes, sir, I have.

19 Q Have you prepared certain exhibits or had  
20 them compiled under your direction and supervision?

21 A Yes. I prepared the exhibit in front of  
22 us based on some data gathered by an engineering, indepen-  
23 dent engineering consulting firm.

24 Q Under your direction.

25 A Under my direction, correct.

1 MR. PADILLA: Mr. Examiner, I  
2 tender Mr. Feagan as an expert in petroleum engineering.

3 MR. STOGNER: Mr. Feagan is so  
4 qualified.

5 Q Mr. Feagan, would you please turn to what  
6 we have marked as Exhibit Number One and generally describe  
7 what that is?

8 A Exhibit Number One is our exhibit based  
9 on data gathered by an independent engineering consulting  
10 firm of Osborn and Uhl, Incorporated.

11 They prepared two studies for us, one in  
12 September -- one in 1981 and the other updated study in 1984  
13 on the Bluitt-Wolfcamp Field, and their findings and docu-  
14 mentation are presented in this exhibit.

15 Q Will you give us a brief history of the  
16 Bluitt-Wolfcamp Field?

17 A The Bluitt-Wolfcamp Field was discovered  
18 by the completion of H. L. Brown, Jr. Federal Well No. 1 in  
19 October of 1959. The field has been developed since 1959  
20 through 1982 with the drilling and completion of thirteen  
21 gas wells in the main Wolfcamp reservoir.

22 Twelve of these wells are currently oper-  
23 ated by H. L. Brown, Jr., and one was recently sold by Sun  
24 Exploration Company and I'm not sure who's operating that  
25 well now.

1                   As of January 1st, 1985, 319,915 barrels  
2 of condensate and 16.9 BCF of gas have been produced from  
3 the Bluitt-Wolfcamp Field.

4                   Q           Okay, can you briefly describe the study  
5 that was prepared by H. L. Brown in 1981 and what the pur-  
6 pose of that study was for?

7                   A           The purpose of the study in 1981 was to  
8 investigate the possibility of infill drilling the Bluitt-  
9 Wolfcamp Field on 160-acre spacing.

10                   We found that it wasn't economically  
11 feasible at that time to infill drill.

12                   Q           Did you update that study in 1984?

13                   A           Well, we didn't do it as far as updating  
14 the economics. We did update the findings as far as pres-  
15 sure data, data concerning infill -- I guess drainage of the  
16 reservoir.

17                   Q           Is that pressure data contained in this  
18 exhibit?

19                   A           Yes, sir, it is.

20                   Q           Would you refer to the pressure data,  
21 please?

22                   A           Yeah. The estimated original reservoir  
23 pressure was 2900 psig.

24                   In 1980 H. L. Brown, Jr. subjected our  
25 wells to long term pressure build-up tests. Using these

1 pressures an isobaric map, which is Figure No. 2 in this ex-  
2 hibit, was constructed by Osborn and Uhl and was updated by  
3 Figure No. 3 from pressure data gathered in September of  
4 1984.

5 Q What are Figures 2 and 3?

6 A They're the isobaric maps based on pres-  
7 sure data from 1980 and 1984. You'll notice when the two  
8 isobaric maps are compared, similarities in the isobar  
9 shapes can be seen and general reservoir pressure decline  
10 can also be observed to essentially be uniform over the en-  
11 tire reservoir.

12 Q What does that mean, the comparison of  
13 those two isobaric maps?

14 A It's showing us that we have good pres-  
15 sure communication between the wells and that we don't find  
16 any undrained areas within the reservoir boundary. We're  
17 adequately drawing the pressure down with the current wells.

18 Q Have you also made reserve calculations  
19 for the field?

20 A Yes. We -- the well stream gas initially  
21 in place was determined to be 40.4 BCF for the Bluit-  
22 Wolfcamp Field. This volume was determined by a P/z plot,  
23 or reservoir pressure divided by compressibility factor  
24 versus the cumulative well stream production.

25 This is shown on Figure 4, P/z plot.



1 Q Would you turn to that and explain that  
2 to the examiner?

3 A Yes. The P/z plot here was constructed  
4 using the reservoir pressure in 1980 and then up -- from the  
5 updated -- from the updated reservoir pressures found in  
6 1984. We were able to circulate this to --

7 Q Does that P/z plot show uniform drawdown  
8 of that reservoir?

9 A Well, actually this plot is just showing  
10 us basically what our ultimate recovery is really predicted,  
11 ---

12 Q Okay.

13 A -- which is 40.4 BCF for the field.

14 Q Okay, what -- that's total estimated re-  
15 serves in the field, is that correct?

16 A That's correct.

17 Q What do you estimate to be your ultimate  
18 recovery from the wells currently in the field?

19 A Well, from Osborn and Uhl's updated study  
20 of 1984, we projected ultimate recovery to be 35.3 BCF from  
21 the field. This constitutes and 87.4 percent of the well  
22 stream calculated initially in place to be recovered.

23 Q Is that a good recovery factor in your  
24 opinion?

25 A Yes, we feel like that's a good recovery

1 factor for this field.

2 Q Now, what economic calculations or eval-  
3 uations have you mde concerning infill drilling in the Blu-  
4 itt-Wolfcamp Pool?

5 A We had a study done in 1981, again by Os-  
6 born and Uhl, to infill -- look at the possibility of infill  
7 drilling the Bluitt-Wolfcamp Field.

8 The economic comparisons of this study  
9 are shown in Table II in this exhibit and it shows the case  
10 of the infill drilling well, infill drilling to yield a cash  
11 flow of \$1.3-million less than the described for the case of  
12 continued current operatons, so we're showing that we would  
13 be losing money by drilling the wells.

14 Even though a few more reserves were  
15 generated from infill drilling the well, the increase in re-  
16 serves wasn't sufficient enough to offset capital expendi-  
17 ture required plus the increase in operating costs.

18 Q Now, is H. L. Brown intending to use an  
19 alternate method of recovery in order to enhance production  
20 from the field?

21 A Yes. We currently had approved by our  
22 partners and are in the process of putting in a compression  
23 facility out there at the Bluitt-Wolfcamp Field. It's our  
24 intentions that the lower line pressures will yield a longer  
25 life, thus more recovery, and help our recovery efficiency.

1           Q           But you -- H. L. Brown deems this proce-  
2           dure as a viable economic expenditure?

3           A           Yes, sir. Our expenditure for the com-  
4           pression facility will be approximately \$1.65-million, as  
5           opposed to over, I believe it was \$8-million for cost of in-  
6           fill drilling of the Bluit-Wolfcamp Pool.

7           Q           Have you updated the economic evaluation  
8           in 1984?

9           A           We've not updated the economics. The eco-  
10          nomics in 1981 were based on a condensate price of \$40 a  
11          barrel escalated at 8 percent per year to \$75 a barrel and  
12          held constant thereafter.

13                   A gas price of \$2.23 an MCF was used,  
14          again escalating at 8 percent per year, reaching a ceiling  
15          of \$10 per MCF and constant thereafter.

16                   Operating costs were \$9000 per well, es-  
17          calated at 8 percent. Drilling and completion costs were  
18          estimated to be \$500,000 per well.

19                   With our present prices of \$23 a barrel  
20          for condensate and \$2.93 per MCF, we feel like the situation  
21          of no escalation, prices used in the previous study, indi-  
22          cate that with today's oil and gas markets an infill drill-  
23          ing program would prove even less attractive than it did in  
24          1981.

25          Q           And in fact is it your testimony that you

1 would be spending money needlessly in trying to develop ad-  
2 ditional reserves in the pool?

3 A Yes, that's correct.

4 Q What conclusions do you draw as far as  
5 maintaining 320-acre spacing for this pool is concerned?

6 A It's our opinion that the reservoir in  
7 the Bluit-Wolfcamp Field is being drained efficiently and  
8 economically with the present 320-acre spacing.

9 Uniform pressure drawdown indicates  
10 drainage of the entire reservoir.

11 Infill drilling will not add enough re-  
12 serves to offset the capital costs associated with drilling  
13 these wells, nor will it add significantly to the projected  
14 recovery factor of 87.4 percent of the well stream gas ini-  
15 tially in place.

16 We request that the 320-acre spacing  
17 units remain in effect for the Bluit-Wolfcamp Field.

18 Q Mr. Feagan, do you have anything further  
19 to add to your testimony?

20 A No, sir.

21 MR. PADILLA: Mr. Examiner, we  
22 tender Mr. Feagan for questioning.

23 And I move the introduction of  
24 Exhibit Number One.

25 MR. STOGNER: Exhibit Number

1 One will be admitted into evidence. Thank you, Mr. Padilla.

2

3

CROSS EXAMINATION

4 BY MR. STOGNER:

5 Q Mr. Feagan, are you familiar with Order  
6 Number R-2051-C?

7 A No, sir.

8 Q Are you familiar with any of the Orders  
9 Number R-2051?

10 Are you referring to the ones that were  
11 opened earlier asking -- bringing this case up?

12 Q That was the order of the application of  
13 H. L. Brown, Jr., and Clem E. George for establishment of  
14 these special pool rules in the Bluit-Wolfcamp. Your com-  
15 pany was the applicant.

16 Are you familiar with these orders?

17 A No, sir.

18 Q Well, in particular, Order No. R-2051-C,  
19 order in paragraph number two says, the operator of the next  
20 line connected to a pipeline in the Bluit-Wolfcamp Gas Pool  
21 shall notify the Commission in writing of such fact and  
22 that the the Commission will thereupon issue a supplemental  
23 order designating exact date for reopening this case.

24 Do you know if H. L. Brown, Jr. Corpora-  
25 tion abided by this order?

1 A I'm afraid I don't.

2 Q Do you know what the second well in this  
3 pool was?

4 A The second well, I don't have that in  
5 front of me, no, sir. I believe it was the Federal "A" No.  
6 1.

7 Q Do you know who the operator of that well  
8 was?

9 A H. L. Brown, Jr.

10 Q Is it still on line?

11 A Yes, sir.

12 Q Do you know when it was put on line?

13 A No, sir, I sure don't. I tell you what,  
14 I may have that data.

15 Q Well, to save you and me some time, it  
16 was put on line in November of 1964, so you've had approxi-  
17 mately eleven years to abide by this order number.

18 A Uh-huh.

19 Q And I just wondered why H. L. Brown did  
20 not.

21 A I'm afraid I'm not familiar with that.

22 Q Are you familiar with the general rules  
23 and regulations of Rule 104?

24 A No, sir.

25 Q Are you familiar with the statewide rules

1 for Wolfcamp age spacing?

2 A No, sir.

3 MR. STOGNER: I have nothing  
4 further for Mr. Feagan.

5 Is there anything further for  
6 Mr. Feagan?

7 If not, he may be excused.

8 Is there anything further in  
9 Case Number 2355 reopened at this time?

10 If not, this case will be taken  
11 under advisement.

12

13 (Hearing concluded.)

14

15

16

17

18

19

20

21

22

23

24

25

## C E R T I F I C A T E

I, SALLY W. BOYD, C.S.R., DO HEREBY  
CERTIFY that the foregoing Transcript of Hearing before the  
Oil Conservation Division (Commission) was reported by me;  
that the said transcript is a full, true, and correct record  
of the hearing, prepared by me to the best of my ability.

Sally W. Boyd CSR

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 2355 (Reopened)  
heard by me on 28 August 1985.

Michael E. Hogner

Examiner

Oil Conservation Division