

I N D E X

	<u>Page</u>
1	
2	
3	
	<u>Page</u>
3	
	<u>Page</u>
4	
5	
6	
7	
8	
9	
10	
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	
25	

sid morrison reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 INDEX (Continued)

2		<u>Page</u>
3	Cross Examination by Mr. Houston	130
4	Cross Examination by Mr. Stamets	132
5	Cross Examination by Mr. Lucero	133

6 R. D. SIMS

7	Direct Examination by Mr. Houston	83
8	Cross Examination by Mr. Richards	92
9	Cross Examination by Mr. Stamets	97
10	Cross Examination by Mr. Clements	98
11	Cross Examination by Mr. Lucero	99
12	Cross Examination by Mr. Richards	101
13	Cross Examination by Mr. Ulvog	102

14 FRED BOYD

15	Direct Examination by Mr. Houston	103
16	Cross Examination by Mr. Richards	110
17	Cross Examination by Mr. Stamets	112

18 TOM LINEBERY

19	Direct Examination by Mr. Houston	114
20	Cross Examination by Mr. Richards	122
21	Cross Examination by Mr. Stamets	126

22 EXHIBIT INDEX

23		<u>Offered</u>	<u>Admitted</u>
24	Applicant's Exhibit A	82	83

25

1 MR. RAMEY: The hearing will come to order. We will
2 call Case 5899.

3 MS. TESCHENDORF: Case 5899, application of Robert P.
4 Wallach, Ray A. Wallach and Patricia Louise Wallach House for
5 an exception to Order No. R-3221, Lea County, New Mexico.

6 MR. RAMEY: I'll ask for appearances at this time.

7 MR. RICHARDS: If it please the Commission, I'm
8 R. E. Richards, Attorney at Law, Post Office Box 761, Hobbs,
9 New Mexico, zip code 88240. I represent the applicants.

10 MR. RAMEY: Any other appearances?

11 MR. HOUSTON: Glen Houston, Box 1948, Hobbs,
12 New Mexico, 88240.

13 MR. RAMEY: Will you have any witnesses, Mr. Houston?

14 MR. HOUSTON: Yes, I will.

15 MR. RAMEY: I ask at this time that all of the
16 witnesses stand and be sworn.

17 MR. HOUSTON: Mr. R. D. Sims, Mr. Fred Boyd,
18 Mr. Tom Linebery.

19 (THEREUPON, the witnesses were duly sworn.)

20 MR. RAMEY: You may proceed, Mr. Richards.

21

22 ROBERT P. WALLACH

23 called as a witness, having been first duly sworn, was examined
24 and testified as follows:

25

DIRECT EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. RICHARDS:

Q. Please state your name and address?

A. Robert P. Wallach, 1800 Avenue I, Eunice, New Mexico.

Q. Mr. Wallach, are you related to Ray A. Wallach?

A. Yes.

Q. Are you related to Patricia Louise Wallach House?

A. Yes.

Q. What is the relation?

A. Brother and sister.

Q. Do you, Ray A. Wallach, Patricia Louise Wallach House own the fee simple surface in the southwestern quarter of Section 29, Township 21 South Range 38 East NMPM?

A. Yes.

Q. How long has that property either been owned by you and your brother and sister or in the Wallach family?

A. Probably -- Bob, I'm not real sure on the date that thing was purchased.

Q. Give the Commission your best estimate.

A. That was approximately in 1945, I believe.

Q. And in the period since the time of acquisition and up to and including today, is there a sand, gravel and rock business being operated in this land?

A. Yes, that was in 1949 and 1950 the rock business and the sand and gravel business was started in that area.

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 Q And who is the present operator of that sand and
2 gravel business?

3 A I am.

4 Q Do you, as the operator of that business, lease and
5 acquire materials from, purchase materials from your brother
6 and your sister as co-partners or co-tenants?

7 A Yes.

8 Q Did this land pass to you all from the estate of your
9 late father, Paul Wallach?

10 A Yes.

11 Q Did you, or your brother and sister contact and retain
12 the firm of Ed L. Reed and Associates of Midland and
13 San Angelo, Texas for the purpose of examining the gravel pit
14 area that we just described for the possible purpose of the
15 disposal of salt water or other oil field production liquids?

16 A Yes.

17 Q And are you here today as an applicant for an
18 exception and spokesman for the three of you for an exception
19 to Rule 3221 which prohibits the surface disposal except under
20 specific permission of the Commission?

21 A Yes.

22 Q Historically, Mr. Wallach, tell the Commission in
23 your own words what water is available in the area made up
24 of the southwest quarter of that section?

25 A Well --

1 Q Subsurface water?

2 A Well, we operate a sand and gravel operation which
3 takes some water to operate and where we get the water for this
4 operation is we have two water wells that are located in
5 Monument Draw which is approximately two miles west of the pit
6 area and they supplement the water that we purchase from the
7 City of Eunice. Most of the water that we use to operate this
8 plant is piped four miles and Eunice is where we purchase the
9 water for this. Now, we have done extensive -- or my father
10 did, at one time he was in the water well drilling business and
11 he did extensive exploring around the pit area for water to
12 operate this sand and gravel operation but never did develop
13 any water in that line.

14 Q Do you know about how many wells or test holes he
15 drilled in the search for water around the pit area?

16 A Bob, it was numerous but I can't recollect how many
17 but he did extensive drilling in that area, around the pit area,
18 trying to develop water for the operation and north of the
19 pit we have a pit there that he even excavated down to the top
20 of the Redbed formation and tried to develop some water there so
21 we could have plant water there but there was not enough water
22 there to furnish anything for the plant supply.

23 Q Where was that now in relation to the current pit
24 area?

25 A It's north about a quarter of a mile or two-thirds

1 of a mile.

2 Q Did it develop any water ever of any substantial
3 amount?

4 A Well, not substantially, no, enough to water cattle,
5 et cetera, but nothing for commercial use.

6 Q Was that seep water from the Ogallala?

7 A I'm not sure, Bob, I couldn't testify to that.

8 Q Mr. Wallach, let me ask you, and with the leave of
9 the Commission, to attempt to move this along, to tell the
10 Commission if they see fit to grant this application whether or
11 not based upon the studies and recommendations of Reed and
12 Associates, with whatever restrictions that the Commission might
13 see fit to place on the operation if you, Ray A. Wallach, and
14 Patricia Louise Wallach House would undertake to scrupulously
15 follow any recommendations or directions which they might give
16 to you as conditions to operate this facility?

17 A Yes, we would.

18 MR. RICHARDS: I have no further questions.

19 MR. RAMEY: Any questions of the witness? Mr.
20 Houston?

21

22 CROSS EXAMINATION

23 BY MR. HOUSTON:

24 Q Mr. Wallach, on your operations there, you have
25 dug down into the water sands, have you?

1 A. No, sir, not the water sands, no.

2 Q. Has water seeped into your pits?

3 A. Not in these pit areas that we are referring to here,
4 no, sir.

5 Q. Now, as you drive up from the highway, from State
6 Road 18, there is a pit on the right-hand side before you get
7 to your office?

8 A. Yes, sir.

9 Q. And you have a pressure pump?

10 A. Yes, sir.

11 Q. And a pressure tank?

12 A. Yes, sir.

13 Q. And you are using that water for your office area,
14 aren't you?

15 A. Right.

16 Q. Where does that water come from?

17 A. That is rain water, Mr. Houston, strictly. We had
18 seventeen inches of rain three years ago, I think, and we
19 caught twenty-five foot of rainwater in that pit at that time.

20 Q. And you installed your pressure pump and pumped at
21 that time?

22 A. That pressure pump was installed about nine months
23 later, I believe, unless it has been -- I think it was in
24 August, I'm not sure, Mr. Houston. When we did the work for
25 the Wallach Brothers on the four-lane highway down there we

1 used that water to make concrete with and also we do use it
2 for office use right now.

3 Q. And that's sweet water?

4 A. That is rainwater, yes, sir, it sure is.

5 Q. Are there any fish in that water?

6 A. There is some bass, yes, sir.

7 Q. Did your father plant fish in some of the water out
8 there when he was alive?

9 A. Well, he did, yes, sir, he sure did.

10 Q. When did he pass away?

11 A. He passed away in '75.

12 Q. He had retired many years prior to that, though,
13 hadn't he?

14 A. Well, he had, yes, sir, he had retired approximately
15 in 1962.

16 Q. And he had planted bass prior to that time?

17 A. Yes.

18 Q. Is there any vegetation in any of the pits?

19 A. There is salt cedar and some wild willows, weeping
20 willows I guess you would call them, that have been in there.

21 Q. Now, there are some cattails also, aren't there?

22 A. Whereabouts are you referring to, Mr. Houston?

23 Q. Probably the north pit that your dad dug to --

24 A. Yes, in the north pit, three-quarters of a mile there
25 is on the far end of that.

1 Q. On the north end of that there are cattails?

2 A. Yes, sir.

3 Q. And that water is fresh water there too?

4 A. That is fresh water, yes, sir.

5 Q. Now, have you in digging your gravel, have you used
6 explosions to do your excavating?

7 A. Yes, sir, in the red formations we do use explosives.

8 Q. How long have you been using explosives?

9 A. Since we were in operation, since '49 or '50.

10 Q. And you have used substantial charges in order to
11 dislodge the material or make excavations?

12 A. Not necessarily, Mr. Houston, it all depends on the
13 strata, et cetera.

14 Q. What is the largest charge you recall using?

15 A. Now, personally or what my father had used?

16 Q. What you have used then tell us what you know your
17 father used.

18 A. What we are doing now is drilling with an air track
19 drill into the bank from the bottom of the formation and we
20 probably shoot, oh, twenty or thirty holes at a time, charges,
21 which is not an extensive amount of powder. Now, my father at
22 one time used some free running powder in the big pit that you
23 are talking about and put on an extensive explosion there to
24 loosen up that material but that was back in, I believe 1954,
25 '55 or somewhere along in there, Mr. Houston.

sid morrison reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 Q Now, some of the maps which Reed and Associates have
2 prepared at your request reflect the Baker Spring east of the
3 pit area, do you recall where that is?

4 A Yes.

5 Q Does that spring still flow?

6 A I'm not real sure, Mr. Houston?

7 Q You have never been to it?

8 A Well, I was over there and it had some water in it
9 the last time I was there, but very little, I believe that was
10 about three weeks ago.

11 Q But you are not familiar with it like on a monthly
12 or --

13 A No, sir, I feel like when it rains a lot the thing
14 fills up.

15 Q You went there in connection probably with this
16 hearing to see if there was water there?

17 A No, I went over there to look for rattlesnakes.
18 Somebody told me there was some snakes over there so that's
19 why I went over there.

20 Q Now, in connection with the pit areas are you still
21 using all of the pits at the present time?

22 A What are you referring to, all of the pits?

23 Q There are several pits there, aren't there?

24 A Well, there is an extensive number of pits, yes. The
25 pit to the north of us is not being used, the furtherest one

sid morrison reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 north if that's one that you are referring to, where we tried
2 to develop water.

3 Q Where the cattails are?

4 A No, it hasn't been used.

5 Q Are the other pits being used for gravel and
6 material?

7 A Some of them are, not all of them, no, sir.

8 Q Is there still material suitable for gravel, sand
9 and gravel business, available in all of the pits on your
10 property?

11 A No, sir, not all of them.

12 Q Which ones do not have sand and gravel material in
13 them?

14 A Well, we have worked some north, worked them out or
15 into what they call sugar sand that are not feasible for
16 concrete. The pits that we are referring to, the deep hole
17 that you looked at, we have worked those completely out,
18 extensively, where we can't work them anymore, the rainwater
19 has drained in, that's been worked out. The pit area that we
20 are proposing for, the big area for the water disposal is
21 completely worked out, there will be no more evacuation in
22 that particular --

23 Q Could there be more if you were not successful in
24 this application, would you use it for sand and gravel?

25 A No, sir. We worked it out to the point where it's

1 not economical to work it anymore.

2 Q And is that in the Reed report, is that denoted
3 pit number one or do you recall?

4 A That's pit number six I believe it is. Let's see,
5 you are talking about the pit we're proposing to use. Let me
6 clarify that, we are not taking any material out of these areas
7 at all at this time.

8 Q When did you last take any material out of them?

9 A Oh, we've been working in the area we're are working
10 in now for I imagine it has been a year ago since we worked
11 the east end of the pit, the last pit that we've worked out.
12 Now we are moving back north, in a northerly direction and
13 taking some material out there.

14 Q Are you down to the clay in the pit number six?

15 A Pit number six is -- that pit is on the clay
16 bottom, yes, sir.

17 Q Now, what do they call that clay?

18 A That's the Redbed, I believe.

19 Q The Redbed?

20 A Yes.

21 Q Have you drilled any water wells in that area, in
22 the Eunice area?

23 A Have I personally?

24 Q Yes, have you observed anyone drilling water
25 wells, are you familiar with the terminology?

1 A. When I was in high school I worked on a water well
2 rig.

3 Q. All right, where do we find our fresh water there in
4 drilling down, where in relation to the Redbeds normally?

5 A. Well, it's been on the area but it is generally on
6 top of the Redbed.

7 Q. Immediately on top of the Redbed?

8 A. Yes, well, this is my assumption here.

9 Q. All right, you're down to the Redbed --

10 A. If there is water there in the Eunice area, there's
11 not much water.

12 Q. Well, there is a windmill just west of the pit where
13 you turn off the highway?

14 A. Just west? There is one north, I believe. Just
15 west of the highway?

16 Q. There is a homestead right there where you turn off
17 to your property?

18 A. That is two miles from our pit area, yes, sir, that
19 is down in the Monument Draw area. That's the wells I was
20 telling you about that we supplement with.

21 Q. All right, are there windmills?

22 A. There have been windmills since the property was
23 homesteaded, I assume, isn't that right? I'm not really sure,
24 Mr. Houston, there are wells there now, like I say, we are
25 using two wells there now.

sid morrison reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 Q. Were they there when you first saw the property?

2 A. Mr. Jones homesteaded that place and there was a
3 windmill there at that time, yes, sir.

4 Q. And that windmill is drilled down to the Redbed?

5 A. I have no idea.

6 Q. As a boy when you worked water wells in that area
7 they drilled down to the Redbed and usually got their water
8 right above the Redbed?

9 A. Well, you know that all depends on what area you
10 were in. I know, you know, it was hard to find water in the
11 Eunice area, real hard.

12 Q. Are there any other windmills to the north of your
13 pits?

14 A. There is one over on Mr. Stevens' property, Bill
15 Stevens. It used to be owned by Pete Stevens.

16 Q. Are there any windmills to the east of your
17 property?

18 A. Well, I'm sure -- how far east?

19 Q. Within a mile or so.

20 A. There is an old well on Monroe Baker's old place
21 which is probably three-quarters of a mile.

22 Q. Would that be closer to your property than the
23 Baker Springs or farther away?

24 A. I imagine it is about the same distance.

25 Q. Are there any windmills south between your pits and

sid morrison reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 the Andrews Highway?

2 A. No.

3 Q. Do you own all the way to the Andrews Highway?

4 A. Yes, sir.

5 MR. HOUSTON: I believe that's all.

6 MR. RICHARDS: If it please the Commission, I didn't
7 mean this -- who does Mr. Houston represent in this proceeding?

8 MR. HOUSTON: As I introduced them.

9 MR. RICHARDS: As individuals?

10 MR. HOUSTON: Yes.

11 MR. RICHARDS: That's fine.

12 MR. HOUSTON: If it please the Commission, when I
13 qualify my witnesses one of them is the President of the Fee
14 Land Owners Association of South Lea County but they are also
15 citizens of New Mexico and Texas.

16
17 REDIRECT EXAMINATION

18 BY MR. RICHARDS:

19 Q. Mr. Wallach, let me see if I can clear up something,
20 I'm a little confused. Are you familiar with the areas which
21 are contained within the Reed report?

22 A. Yes.

23 Q. Described as pit areas one through six?

24 A. Yes.

25 Q. Are you working out any sand, gravel or other

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 materials from any of the areas enclosed within the Reed report
2 and described as one through six?

3 A. No.

4 Q. The cattail pond, is that included within the numbers
5 one through six in the Reed report?

6 A. No.

7 Q. Is it approximately three-quarters of a mile north-
8 northwest of the middle of these pits?

9 A. Yes.

10 MR. RICHARDS: That's all.

11

12 CROSS EXAMINATION

13 BY MR. RAMEY:

14 Q. Mr. Wallach, on this cattail pond, you say your
15 father excavated this pit?

16 A. Yes.

17 Q. Seeking water?

18 A. Yes.

19 Q. Is there water in the pit?

20 A. There is at this time, yes.

21 Q. Well, the cattails is an indication that there has
22 been water a long time, I assume?

23 A. Well, we had a pump there at one time. Can I
24 clarify this?

25 Q. Yes.

1 Q Let me ask you, in addition to the pit to the east
2 side of the road where you say you are pumping, is there
3 another area close to the plant that has water in it?

4 A State that again.

5 Q To the pit to which Mr. Houston referred, immediately
6 adjacent to the entrance road that has some rainwater, is
7 that right?

8 A Uh-huh.

9 Q Now, is there another pit very close to the plant
10 that has rainwater in it too?

11 A Yes, sir.

12 Q And are either of these self-recharging to your
13 knowledge or are they both dependent upon rainwater?

14 A Both are dependent on rainwater. I would like to
15 clarify something else, Bob. Now, Mr. Houston asked a question
16 about us working in a pit area, is that pit -- could I see
17 the map -- let me make sure. Okay, we are working in this
18 pit back here only this is not a pit.

19 Q Well --

20 A I would like to clarify this for Mr. Houston. Pit
21 two, we are extending it back at this time and I'm sorry, I
22 didn't make that clear at that time. That's where the bench
23 is and we are going over the bench and that's where we are
24 working in this area now.

25 MR. RICHARDS: Nothing further, Mr. Ramey.

1 MR. RAMEY: Any other questions of the witness?
2 Mr. Nutter?

3
4 CROSS EXAMINATION

5 BY MR. NUTTER:

6 Q Mr. Wallach, the pit that has been referred to as
7 the cattail pit, would that be the one that is up in the north
8 part of Section 29 there? The application is for the pits
9 that are in the southwest quarter of Section 29?

10 A Yes, sir.

11 Q And I think you mentioned this cattail pond is some
12 three-quarters of a mile north?

13 A Yes, sir, that is the pit area there.

14 Q So that would be where there is natural seepage into
15 the pit that recharges that water?

16 A Yes, right.

17 MR. NUTTER: That's all, thank you.

18 MR. RAMEY: Any other questions of the witness?

19 MR. STAMETS: Just a couple. Mr. Wallach, do you
20 know how deep the wells are that you get water from?

21 MR. WALLACH: Approximately eighty feet.

22 MR. STAMETS: So they are probably getting water
23 from the top of the Redbeds too?

24 MR. WALLACH: I'm sure they are, yes, sir, well,
25 that's where they are coming from.

1 MR. STAMETS: Thank you. That's all.

2 MR. RAMEY: Mr. Lucero?

3

4 CROSS EXAMINATION

5 BY MR. LUCERO:

6 Q You said that your father had attempted to find
7 water and had drilled several wells?

8 A Yes, sir.

9 Q Is this around the edges of these pits or --

10 A Well, he did extensive -- anywhere in the area that
11 he thought he might -- I think he drilled wells down to six
12 hundred feet and developed no water at all in those areas.
13 That's right up by the pit area is where he was trying to
14 develop the water in this area there.

15 Q Did he keep any field notes or any results of
16 this drilling?

17 A No, sir, he sure didn't. This was back several
18 years ago when he first developed the area up there.

19 Q Since then there are traces of water that seeped to
20 the surface in any number of these pits in the conduct of
21 your business then?

22 A No. The pit areas that we are referring to have
23 no seepage at all from out of these sand and gravel formations
24 on top of the Redbed that we are talking about on the -- in
25 other words, this material, we are working what we call a red

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 conglomerate up there. I guess that Mr. Reed can probably
2 explain this a lot more than I can but when we blast this thing
3 and shoot it there is no -- the only time we get any moisture
4 in these beds is when we have extensive rainfall but this is
5 a dry process I go through on my sand and gravel operation in
6 these red conglomerate pits. All of the material that came out
7 of these pits is, the first primary step is a dry screen process
8 and that's what we go through. We go through, we don't wash
9 it on the primary screen. Everything that comes out of these
10 pits are dry, they have to be to go through the plant, so this
11 is what we are referring to here.

12 Now, the deep hole was a little bit different there
13 but the pits that we are working now with the red conglomerate
14 Redbed in it is all a dry process.

15 Q Where is the nearest fresh water well to the pits
16 that you intend to utilize?

17 A I imagine Stevens' windmill, probably a mile north
18 and then I think that the Baker Springs is three-quarters of
19 a mile and there is an old windmill, it's not being used now to
20 my knowledge, on the Baker place there. I think it's blown
21 down and I don't think it's in use now. It is about three-
22 quarters of a mile due east of us.

23 Q What kind of vegetation is around the pit area, let's
24 say within a mile or two of the pits?

25 A Mesquite and shinnery and some grass.

1 MR. LUCERO: That's all.

2 MR. RAMEY: Any other questions? The witness may
3 be excused.

4 (THEREUPON, the witness was excused.)

5
6 VICTOR STEVEN REED

7 called as a witness, having been first duly sworn, was examined
8 and testified as follows:

9
10 DIRECT EXAMINATION

11 BY MR. RICHARDS:

12 Q. For the record please state your name?

13 A. Victor Steven Reed.

14 Q. Mr. Reed, where do you live?

15 A. 1900 Sherwood Way, San Angelo, Texas is my office.

16 Q. By whom are you employed?

17 A. By Ed L. Reed and Associates.

18 Q. Mr. Reed, tell the Commission a little bit about
19 your education and background?

20 A. I received a Bachelor's degree in geology at
21 Northern Arizona University in Flagstaff and I went on at
22 Northern Arizona University and completed a Master's degree at
23 the same university, with a Master's thesis on Precambrian
24 Redbed formations near the bottom of the Grand Canyon.

25 Q. Is Precambrian Redbed formation -- what relationship

1 does that bear to the Redbed we are talking about?

2 A. Well, it is a similar kind of formation, considerably
3 older but in many characteristics it is quite similar.

4 Q. During the period of time that you were studying at
5 Northern Arizona were you employed?

6 A. I worked from 1967 through 1975 which was the time
7 that I was going to school, with the U. S. Geological Survey
8 branch of Astro-Geology. I was a cartographer for the first
9 three and a half years of that time and a geologist with the
10 Apollo field geology team in the last part of that eight years.

11 Q. How long have you been associated with Ed. L. Reed
12 and Associates?

13 A. A little over two years.

14 Q. What is the business of Ed L. Reed and Associates?

15 A. We are consulting hydrologists.

16 Q. In the organization of Ed L. Reed and Associates is
17 there a certain primary division of interest in certain types
18 of work?

19 A. Well, yes, there is, I, myself, the large majority of
20 my work is in disposal related problems, environmental problems,
21 environmental impact statements but there is a great deal in
22 connection with disposal projects. Similar kinds of things
23 that I have been involved in are disposal sites in playa lakes,
24 salty playa lakes. I'm presently working with Sandia Corpora-
25 tion right now in the nuclear waste disposal site down near

1 Carlsbad.

2 Q What is the function of a hydrologist in nuclear
3 waste disposal?

4 A We are examining the hydrologic characteristics
5 of the formations that the material will be placed in if this
6 is done, as well as examining the hydrology above and below
7 this depository zone to predict over the next two hundred and
8 fifty thousand years what would happen in this area.

9 Q Are you a member of any professional societies or
10 registrations?

11 A I'm a registered professional geologist for the
12 State of Arizona, I'm a member of the Geologic Society of
13 America, American Society for the Advancement of Science and
14 Society of Economic Paleontologists and Mineralogists, as well
15 as the West Texas Geological Society.

16 Q Are you a registered geologist in the State of Texas
17 or New Mexico?

18 A No, I'm not but neither of these states require or
19 have registration for geologists at this time.

20 Q All right, sir. Mr. Reed, in the course of your
21 business were you contacted by the so-called Wallach brothers
22 and sister to undertake an investigation and study for them?

23 A Yes, sir, my firm was contacted.

24 Q Were you in charge of that study?

25 A Yes.

1 Q. And you prepared a report?

2 A. Yes, I prepared a report, it summarizes my findings.

3 Q. Please tell the Commission how you approached this
4 project and what you in fact did?

5 A. Okay, the first thing we did, of course, was to go
6 to the site and make a preliminary investigation. It was a
7 very quick investigation, about an afternoon's work, driving
8 around the site, looking it over and seeing if there was any
9 point in going any further and it appeared to both myself and
10 one of the members of my firm who visited the site that it was
11 worth pursuing. So with this in mind I went to the field and
12 with the aid of a drill rig provided by Wallach, we began drill-
13 ing a number of holes in the area, again looking at the
14 characteristics.

15 To give a little bit of setting this is a USGS
16 topographic map which was shot from a one forty-four thousand
17 map. This is essentially the outline of the pit that we are
18 talking about now. The configuration has changed a little bit
19 since this map was produced but not too much.

20 If you will follow one of these contour lines, such
21 as this thirty-four fifty contour line, you will notice that
22 the pits themselves are on a nose, so to speak, but they
23 reenter here and not surprisingly at that reentry is Baker
24 Springs and again the topography curves around this way. This
25 is a high spot, these are low reentrance into this high terrain

1 to the north.

2 MR. NUTTER: Mr. Reed, while you are on that would
3 you point out the cattail pit, please?

4 A. I believe it is up in here.

5 MR. NUTTER: That is that old area where there is a
6 mining symbol shown then?

7 A. That is correct and if you will notice the location
8 of that it is back beyond the front of this nose, it is now
9 in line with Baker Springs, along this trend. It is not out
10 on the nose and that will be an important point later on.

11 Again with the aid of this drill rig we drilled
12 almost eighty holes out in this area. I must emphasize that
13 these were all drilled with air, no water was used to drill
14 any of these holes. We completely circled all of these pits
15 which really is one major pit which was mined in several
16 segments and it is now all one pit. So we essentially
17 completely surrounded these pits and this outline here that
18 you see right here is essentially the outline of the pits as
19 a whole.

20 While we were drilling I was out there not only to
21 watch the samples as they came out of the drill rig, but also
22 I had a plane table man out there and I shot in those surface
23 elevations of the locations of these drill sites as well as
24 elevations both in the bottom of the pits and up on the ridge.

25 You can see right here on this what is a contour map

sid morrison reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 of the surface as I constructed it from my data I took here in
2 the field during the test drilling. This is a fairly deep pit,
3 these are contours going down into the pit. This is a very
4 long, low pit here. This one is somewhat shallower. This is a
5 very deep pit and this one which is called the two by four
6 slopes gently up to the north and there is a small pit right
7 here. Here is another pit that is also fairly deep.

8 Q (Mr. Richards continuing.) In conjunction with the
9 surface topographic map which I believe that you just displayed
10 is also figure number two or three, figure number three to
11 your report. Have you brought the Commission some photographs
12 that might --

13 A Yes, I do. I would like to show them now so we can
14 get a setting of this whole thing because it is a little
15 confusing.

16 Okay, this is a shot essentially looking north to
17 perhaps northwest. Here is one of the large pit areas here that
18 you can see the rim of. That is this pit right here.

19 MR. RAMEY: Would you kind of identify those pits as
20 to direaction, east pit, or --

21 A Okay, this is the easternmost pit or this one right
22 here.

23 Q (Mr. Richards continuing.) Is that pit described as
24 pit number two in your report, sir?

25 MR. WALLACH: Mr. Chairman, I believe that is

1 described in the report as pit number three.

2 A. Number three, that is correct.

3 MR. LUCERO: Excuse me, before you go on to the
4 next slide, is all that green around there grass?

5 A. Well, grass and mesquite and other things.

6 MR. RICHARDS: Mr. Commissioner, these were taken
7 in, and if I may, I'm aware of the circumstances under which
8 they were taken. They were taken two days after we finally
9 got some rain and that shinnery and that mesquite down there
10 that is -- the cattle had just been taken off the shinnery
11 when this picture was taken.

12 MR. WALLACH: We would like to have that much grass.

13 MR. LUCERO: Well, did that much grass grow in
14 two days after the rain?

15 MR. RICHARDS: Yes, sir, that country turns green
16 over night. The shinnery was coming out about the time these
17 pictures were taken.

18 MR. LUCERO: But it is all grass all through the
19 whole picture. I didn't see any bald earth or anything like
20 that.

21 MR. RICHARDS: Well, it's grass green down there.

22 MR. LUCERO: Okay, thank you.

23 A. Okay, this is a little closer shot of the same pit.
24 This is again the easternmost pit or pit number three. You can
25 see the steep walls of the pit. Again that shot, this back

1 wall, essentially looking at this portion right here, you can
2 see the pit there is quite deep as reflected by these contours
3 back here.

4 Q (Mr. Richards continuing.) What is the material in
5 the bottom of that pit, Mr. Reed?

6 A Throughout the entire bottom of this pit is Triassic
7 Redbed. As a matter of fact, you can see a small portion of
8 the Triassic right there, the Triassic Redbed you can see
9 just a tinge of red in here. That is all Triassic and a little
10 more difficult to see but this right here is a bench or a
11 terrace that is about three feet above the level of the rest
12 of the pit. There are minor little erosional channel. Just a
13 few inches deep in this terrace you can see very good looking
14 Triassic.

15 Q Is there anything else of significance that you wish
16 to tell the Commission about?

17 A I believe I would like to go on to the next slide.

18 Okay, this is looking now a little bit further to
19 the west of that first pit. This is primarily in this area
20 right there. This pit that you can just barely see in the
21 background, right here, is pit number two. The rest of this
22 right in here and incidentally it goes behind this pile of
23 spoil right here, is this portion of the pit right here.

24 MR. RAMEY: What pit number is that, Mr. Reed?

25 A This large pit right in here I called number one, if

1 I'm not mistaken.

2 MR. WALLACH: It's a seven and a half acre pit.

3 A. It's a large pit in the central part of the area.

4 This road right here again comes up right in through here going
5 this direction.

6 MR. LUCERO: Sir, could I ask you one thing on that
7 one too, that one slide. How far away was that picture taken
8 there?

9 A. I didn't take these.

10 MR. LUCERO: Is it on top of a little hill?

11 A. No, these were taken from an airplane. This I
12 believe was a two hundred millimeter.

13 MR. RICHARDS. It was a two hundred millimeter lens
14 at approximately twenty-five hundred feet and five hundred
15 feet elevation, sir.

16 MR. LUCERO: How deep are those pits where you show
17 the red and everything right there, by the road right there,
18 from the highest point there?

19 A. How deep is this pit here?

20 MR. LUCERO: Yes.

21 A. I can't read the slide very well so I'll have to --
22 The surface up there on that rim is an elevation of thirty-four
23 sixty, that's sea level elevation. Down there in the bottom it
24 is thirty-four forty-four.

25 I would like to have the next slide here. Okay, again,

1 this is a little farther down to the west. We are now looking
2 at an area right in here. This gray area right here is water,
3 again run-off water in the bottom of this pit which is number
4 five. This deep pit is just off to the left of this photograph
5 but this is again part of the largest pit that we have in this
6 area, right in here. This that you see on your map is
7 boulders, represents these boulders here and to the right.

8 See a spot right there with a little bit of a red
9 tinge, that's Triassic Redbed right there in the bottom of the
10 pit. On the ground you can follow that red on up this road.
11 In fact, I have drilled holes up that road.

12 This is a little better overview of this centralized
13 pit, the larger pit, pit number one, essentially this whole
14 area right in here. Again, the boulders that you see illustra-
15 ted on my map right in here represent this line of boulders
16 right here.

17 Next slide, please. This is a photographic view
18 further to the west, the rim that you see right here extends
19 all of the way back into about here is the large, very deep
20 pit right here.

21 The elevation differences up on the rim is an eleva-
22 tion of somewhere around thirty-four fifty six, thirty-four
23 sixty. The water's edge when I was out there was thirty-four
24 twenty-four and the pit is quite a bit deeper than that.

25 MR. LUCERO: Could I ask a question with respect to

1 the showing of the slides and the map?

2 A. Yes, sir.

3 MR. LUCERO: Is the top of it north?

4 A. Yes, the north arrow right here, it's not quite
5 north but it is essentially north.

6 MR. LUCERO: I'm sorry, I couldn't see it.

7 MR. RICHARDS: The photographs basically, Mr.
8 Commissioner, were taken on a east to west course generally in
9 line and parallel to what would be the bottom of the map.

10 A. This slide again shows an overview of this area. It
11 shows again the very deep pit to the far west with its somewhat
12 vertical walls and as you walk along these walls you can find
13 Triassic outcrops all the way around the pit. This pit that
14 you see down at the bottom of the photograph is pit number
15 six. Pit number seven will be just off to the right of the
16 slide.

17 MR. LUCERO: Is there something growing, is there
18 something that looks like it's green there?

19 A. That's just vegetation, again from rainwater coming
20 down and settling in the top of that pit.

21 Q. (Mr. Richards continuing.) In addition to your
22 surface elevations, Mr. Reed, did you do a study of certain
23 Triassic elevations?

24 A. Yes, I did. In order to evaluate these pits from the
25 standpoint of being able to discharge brine into them,

1 obviously we've got to be able to contain the brine. We can't
2 just get them down to the Triassic and leave them there if
3 it happened to be a nice flat surface. Again we drilled
4 something on the order of seventy-five to eighty test holes
5 into the Triassic.

6 This next slide shows, without any surface elevations
7 on it, it shows the configurations of the top of the Triassic
8 Redbeds. All of these dots that you see, the black dots,
9 those holes encountered Triassic somewhere in them. Again I
10 will emphasize that all of these holes as well as the ones
11 outside and inside, were drilled with air.

12 Q. Was the Triassic Redbed all at the same elevation
13 as it regards sea level?

14 A. No, sir.

15 Q. Is there a significance to that?

16 A. Yes, there is. Essentially there is an east-west
17 trending trough in the Triassic Redbeds. The Triassic Redbed
18 rises in elevation to the north and it rises in elevation to
19 the south. This contour line that you see right here is on a
20 high spot in the Triassic here on the step. This contour line
21 right here, the elevation thirty-four fifty-five. This one
22 is thirty-four fifty. It shows again that once you get out
23 of this pit area that the Triassic is rising in elevation to
24 the north.

25 Contrast this thirty-four fifty-five elevation with

1 the exposures, the surface exposures of Triassic in the bottom
2 of the pit is somewhere in the neighborhood of thirty-four
3 forty-five, sometimes less than that, but thirty-four forty-five,
4 at least in the pit one area, is a fairly consistent elevation
5 for the Triassic in the bottom of the pits and these are not
6 elevations that I just merely took off the ground and assumed
7 they were Triassic, I drilled several holes in the pits
8 themselves to make sure we were in good Triassic Redbeds.

9 The Triassic in pit number three is as deep as thirty-
10 four forty. In pit number four, the deep pit to the far west,
11 the Triassic is as deep as -- well, the top of the Triassic in
12 that particular pit again is about thirty-four forty and the
13 pit is dug down into the Triassic.

14 Q Mr. Reed, in layman's terms, does this Triassic
15 Redbed undulate or form a trough or bowl or saucer in the area
16 of these pits?

17 A Well, essentially it represents a linear trough
18 aligned in an east-west direction. The trough opens up on the
19 west side, it opens up on the east side. In other words this
20 is high country as far as the Triassic is concerned and this
21 is high country as far as the Triassic is concerned. this is an
22 arroyo that cut into the Triassic on an east-west trend.

23 Q Is this arroyo the area in which the sand and gravels
24 were deposited?

25 A That's correct and it's not coincidental that they

1 find the gravels in this deep channel. It is there because the
2 channel is there.

3 Q Mr. Reed, please continue. After you told us you
4 did some surface elevations and then determined some of the
5 elevations of the Triassic, be good enough to tell us what you
6 next did in your investigation?

7 A After these surface maps, the Triassic map was
8 constructed, I took a look at both of the maps together in
9 order to evaluate the feasibility of using these pits for
10 storage and disposal of salt water.

11 Using primarily the Triassic map, I looked particularly
12 for areas in the Triassic that were low spots, in other words,
13 small swales, any small swales in the Triassic where the
14 Triassic was slightly lower in elevation I noted particularly.
15 And the reason for this is obvious. Any time we have the
16 Triassic up high around the periphery of these pits, we are in
17 very good shape as far as holding the brine in these pits.

18 There are a few areas where there is a bit of a
19 Triassic swale. I pointed it out to you just awhile ago.
20 There is a low spot on the east side and on the west side in
21 conjunction with this linear trough. There is a very slight
22 swale, a low spot in the Triassic of just a few feet just to
23 the south of pit number one.

24 Do we have that last slide?

25 This is the Triassic map I had over there just a

sid morrison reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 moment ago. You can see by the contour a low spot here that
2 lines up with the main trough in the pit areas themselves. A
3 low spot here. There is just a bit of a low spot here. This
4 contour bends around like this and the other side of the
5 contour bends around like this. This is thirty-four fifty,
6 thirty-four fifty and something on the order of thirty-four
7 forty-eight right here in the middle.

8 So after finding these low places in the Triassic
9 which was what this program was designed to do, we have proposed
10 what we consider not only reasonably simple but very sound
11 methods of blocking off essentially these low spots to make
12 the pit areas themselves, to enable them to completely contain
13 any brine that we may place in them.

14 Q. I'm not sure I've asked you, Mr. Reed, but please
15 tell the Commission what is magic, so to speak, about the
16 Triassic Redbed?

17 A. The primary importance of the Triassic from the
18 standpoint of disposing of materials in or near the Triassic
19 is really twofold. Number one, it does not transmit fluid
20 very readily. It is composed almost entirely of clay-sized
21 particles and the clay beds do not transmit water except in
22 a very minor degree.

23 Q. Mr. Reed, do you know about how thick the Triassic
24 is through this area of the Redbed material?

25 A. In this area it is somewhere between -- and it varies,

1 of course, it is an erosional surface so that the thickness
2 varies somewhere between six hundred and a thousand feet.

3 Q And is that generally true over the entire area we
4 are talking about?

5 A In this area, yes.

6 Secondly, the importance of the Triassic is that
7 in this area particularly, except in a few minor isolated
8 cases, not similar to this particular area, the top of the
9 Triassic represents the base of the fresh water.

10 Q Are you telling us that there is no fresh water
11 below the Triassic?

12 A That is correct.

13 Q Did you do studies to determine the permeability
14 of this material that you are calling the Triassic Redbed?

15 A I had a drill crew from Southwestern Laboratories
16 in Arlington come to the area with the purpose in mind of
17 drilling a number of holes in the bottom of these pits to
18 indeed test their permeability or these clays' ability to
19 transmit water.

20 Q What did you find out?

21 A Essentially what we did was to take this rig into
22 the pits, drive three inch hollow tubes in the ground,
23 recovered those tubes intact, extracted the material out of
24 them, took these cores that we had collected, wrapped them in
25 plastic and tinfoil to preserve them. They took them back to

1 the Arlington Laboratory and ran permeability tests on them,
2 two kinds. They determined a coefficient of permeability for
3 the undisturbed material. They determined a coefficient of
4 permeability for the remolded samples. They took two sets of
5 samples, broke them up, recompactd them and ran permeability
6 tests on them.

7 Q In general what were the results of these tests?

8 A Generally without exception, with only two exceptions
9 I should say, these permeabilities which can be considered
10 in-place permeability, that is what you are going to expect
11 out here in these pits, is less than five times ten to the
12 minus seven centimeters per second.

13 Q What does that mean in English?

14 A And I'll say that I do mean less than, they get it
15 down to ten to the minus ten centimeters per second. In
16 English, five times ten to the minus seven means that with a
17 foot of continual one foot of head throughout an entire year
18 that the water would penetrate about five tenths of a foot
19 into the bottom of the pit, into the sediments at the bottom
20 of the pit.

21 Q Was that the most permeable material or porous that you
22 found in your testing?

23 A There were two samples that were less than ten to
24 the minus seven that were more permeable than ten to the
25 minus seven. Both of these are in the upper portions or more

1 aptly described as the weathered part of the Triassic, it is
2 an erosional surface and they had slightly higher permeability
3 on the order of one times ten to the minus six which means again
4 translated into English, about a foot of penetration per year,
5 but those are only on the uppermost surfaces and are underlain
6 by materials more impermeable.

7 The compacted samples, we ran them for the primary
8 purpose of determining what would happen if we used this clay
9 in the construction of any retention structures.

10 MR. ARNOLD: What are retention structures?

11 A. These are structures designed to retain or prohibit
12 the movement of any fluids.

13 MR. ARNOLD: Dikes and core trench material?

14 A. Dikes and core trench material.

15 MR. ARNOLD: Thank you.

16 A. These two samples that we removed and ran permeability
17 tests on were essentially one over ten less than in their
18 recompacked state which is not an unusual situation so they
19 will be, these materials in the core trenches and dikes will
20 be as impermeable or perhaps more impermeable than the pit
21 bottom itself.

22 Q. (Mr. Richards continuing.) Now, you were speaking of
23 core trenches and dikes and a little earlier you told the
24 Commission, I believe, that this was not a completely closed
25 vessel that you found. Is this where core trenches and dikes

1 come into it?

2 A. That is correct. It is essentially enclosed except
3 on its eastern and western ends but there are a couple of
4 little low spots I would like to beef up to insure the integrity
5 of the system.

6 Q. After you completed your permeability tests, Triassic
7 elevations, surface elevations, did you come to the conclusion
8 with certain modifications to the ends of this pit area that it
9 had potential as an oil field production liquid disposal site?

10 A. That is correct, with a few modifications I think
11 it should have very high integrity with that regard.

12 Q. Would you please tell the Commission in some detail
13 the modifications which you feel are necessary and how you
14 would propose that they be undertaken?

15 A. There are two kinds of modifications, there are those
16 which I call core trenches which are in areas that pits do not
17 now exist, in other words, these are outside the margins of the
18 pits, then there are proposed structures that I call dikes which
19 are simply mounded levees, if you will. Again, both of these are
20 constructed of compacted Triassic Redbeds. To utilize the
21 entire area of these pits there is a core trench that I would
22 propose in the far western side. The best way to see it is
23 right here, again you see a low spot in the Triassic and I
24 tie this into the core trench to a known high verified by a
25 drilled hole there. I would tie that side of the core trench to

1 a known high of the Triassic verified by a drill hole right there

2 Another structure down here just to the south of
3 the main pits is another core trench to raise this slight
4 depression here in the Triassic about three feet up to the
5 level of this surrounding Triassic material.

6 This one is a combination core trench outside and
7 a dike within for the primary reason to hold the level to
8 contain materials within this major pit and not at this time
9 let them go into this far eastern pit.

10 There is another structure which didn't come out on
11 the slide at all but you can see on the map, is primarily a
12 dike which cuts off this western part of the largest pit.

13 Both of these structures are designed to contain
14 water as well or better than the materials that underlay the
15 floor of the pits. The best way to do that is to find Triassic
16 material to construct the structures. The core trenches could
17 be constructed by means of removing what we know is permeable
18 material on top. In other words, this just narrows out, the
19 deep pit is here, what we saw before but this is up on the
20 surface covered by sands and gravel. We dig down through what
21 we know is permeable materials, sands and gravels, with a
22 bulldozer, dig it well into the Triassic so we key this
23 core trench to the Triassic, backfill the trench with compacted
24 clay, very simply done by laying down six to eight inches of
25 clay, adding moisture to it to aid the compaction and compacting

1 it with a sheeps foot or some device like that. You continue
2 this process until the core trench is brought up to the
3 desired elevation.

4 Q And then do you have something similar to the
5 recompacted samples you were telling the Commission about that
6 Southwestern had run?

7 A This is the reason for the recompacted samples, to
8 test the integrity of the material that we are going to lay
9 into these trenches. It looks very good.

10 The dikes are essentially the same kind of structure
11 without being lain in a deep trench. They are levees that are
12 laid down and clay six to eight inches thick compacted and
13 brought up to the elevation that is desirable.

14 Q Mr. Reed, after assuming that this diking was done
15 and any boulders removed from the bottom of the pit, did you
16 calculate for the Wallachs some potential storage or disposal
17 quantitates?

18 A I looked at evaporation data of the Red Bluff Dam to
19 give me a good idea, I felt, of what the average evaporation
20 should be. One can't dispose of all of the evaporation that
21 these kind of numbers tell you that you can dispose of in one
22 year because you have periods of low evaporation such as
23 during the winter, so using the evaporation figures derived
24 from Red Bluff, plus rainfall records, I came up with what I
25 thought was a maximum amount of fluids that could be introduced

sid morrison reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 into these pits on a year around basis. In other words, the
2 same amount per month per twelve-month period. Essentially it
3 amounts to about four-tenths of a foot of water per month into
4 each of the pits.

5 Q. Did you in using your evaporation datum use conserva-
6 tive figures from the Red Bluff area?

7 A. The evaporation datum themselves are averaged over
8 about a fifteen year period.

9 Q. Now, are your results as to the calculations of
10 the barrels per month of materials that can be disposed of in
11 the site contained within your report?

12 A. Yes.

13 Q. Are they mathematically accurate?

14 A. Yes.

15 Q. And are they conservative in nature?

16 A. Yes.

17 I'll say very quickly that this amount that I have
18 predicted you can dispose of in these trenches is such that
19 there should be zero accumulation of water in the trench during
20 a twelve month period so that we do not have an increase in
21 the amount of accumulation of water in these ponds carried over
22 from year to year. You have to be able to have enough storage
23 to carry it through the low evaporation winter months and
24 this is done with this rate of discharge.

25 Q. Mr. Reed, did you put any elevation limitations on

1 your recommendations as to the amount of water that could be
2 disposed of in these pits?

3 A. Yes, I have. In each pit which I treat essentially
4 separately in this report, I place an upper elevation which in
5 my opinion right now we should not exceed this elevation with
6 water.

7 Q. What is that?

8 A. It essentially represents an elevation which is four
9 feet below the highest Triassic or the Triassic high around the
10 pits. In other words, it's a four foot free board below what
11 water should be below which level -- well, there's a better
12 way to put it. If we think of the Triassic as a flat surface
13 for just a minute, with a hole in the middle of it, this repre-
14 sents an elevation that is four feet below that level Triassic.

15 Q. All right. Are you aware of any statutory or
16 regulatory designed criteria for this type of operation in the
17 State of New Mexico?

18 A. There is a couple of criteria that the Texas Water
19 Quality Board uses in similar kinds of instances. The first
20 involves permeability.

21 Q. What is the Texas Water Quality Board's permeability
22 standards?

23 A. They consider a pit to be impermeable with a perme-
24 ability coefficient of one times ten to the minus seven.

25 Q. Is that what you found here?

1 A. We found permeabilities generally less than one times
2 ten to the minus seven.

3 Q. Less permeability is better, is that right?

4 A. That's right.

5 Q. Okay, do they have any criteria for free board?

6 A. They generally recommend and in most cases require
7 adherence to a three foot free board. I recommend a four foot
8 free board because the system should be operated for a period
9 of time, in my opinion, perhaps ultraconservatively to be
10 a hundred percent sure of this integrity before we go even as
11 high as the Water Quality Board recommends.

12 Q. I see. Now, do I understand that there are certain
13 numbers of material that you say can be disposed of within
14 this area with the trenching and boulder removal, the diking
15 that you have described?

16 A. That's correct.

17 Q. All right, and are you of the opinion that this is
18 a feasible project from a hydrologist's standpoint?

19 A. With the modifications that I recommend I think so,
20 yes.

21 Q. Would you put any other safety features in your
22 recommendation?

23 A. Absolutely.

24 Q. What are they?

25 A. Again to insure the integrity of this system and not

1 only that but to -- primarily to insure the integrity but if
2 there was a problem to detect it early. A system of monitor
3 wells or monitor holes, I should say. I have laid out in
4 this area, again paying attention to low spots in the Triassic,
5 where for some reason we did have a leak these wells would pick
6 them up because they are in a low spot of the Triassic.

7 All of these which are double circles on the map,
8 show up plainly on this map, represent holes that I would
9 recommend drilling to detect escape from the pits. These
10 holes are drilled five or so feet into the Triassic, they are
11 cased with perforated PVC pipe and they are monitored
12 regularly for the presence of water.

13 Q In the unlikely event that water was ever present
14 there, does your report contain certain criteria and recommenda-
15 tions for how that should be handled?

16 A If we ever did find salt water in them, I say salt
17 water on purpose, then there are very easy methods and I
18 emphasize very quick methods to catch those leaks and it
19 involves digging a narrow trench down into the Triassic once
20 again and lining it with gravel and a perforated PVC pipe,
21 collecting this water into what we call a French drain which
22 is graded toward a centralized wet well. The water is then
23 drained into the wet well and pumped out of the wet well back
24 into the pit. So if you detect water when you monitor the wells

25

1 you immediately go down to the south, if it's in that direction,
2 to the south of those monitored wells and construct this
3 French drain which I will say again, it is a tried and true
4 method, we have used it a number of times for all kinds of
5 purposes really.

6 Q Mr. Reed, what is the effect of dynamiting in the
7 Triassic of the Redbed?

8 A My opinion is that there would be very little
9 damage to it. These clays are fairly plastic in nature.

10 Q Are they at all like caliche?

11 A Oh, no. Now, there is caliche. Some people think
12 of caliche as being nice stuff on the roadbed and some of it
13 is nice and dry up on the surface where an outcrop is, not
14 like this dry stuff up on top. Caliche is a brittle substance
15 most times and these clays are not brittle at all, they are
16 very plastic.

17 Q All right, based upon your investigation, your
18 training and your background, do you have an opinion as to
19 whether or not the operation of an oil field production liquid
20 disposal facility in the southwest quarter of Section 29,
21 Township 21 South, Range 38 East NMPM, also known as the
22 Wallach gravel pit area, would or would not and according to
23 the recommendations that you have put into your design
24 parameters, would or would not create a hazard or contaminate
25 any fresh waters in the area?

1 A. In my opinion it could be operated very safely and
2 would not be a hazard to any ground or surface waters in the
3 area.

4 MR. RICHARDS: Thank you. I pass the witness.

5 MR. RAMEY: Let's have a fifteen minute recess
6 before we start on the cross examination.

7 (THEREUPON, the hearing was in recess.)

8
9 MR. RAMEY: The hearing will come to order.

10 Are there any questions of Mr. Reed? Mr. Ulvog?

11
12 CROSS EXAMINATION

13 BY MR. ULVOG:

14 Q. This depression or channel or syncline or low area,
15 the general area in which these pits are located that you
16 described, do you feel that this is a structural depression,
17 a syncline or is it channeled out?

18 A. I don't think it's a syncline because, well, just
19 for instance, in one of these pits, the first pit that I
20 showed you, the easternmost side, you see green clays that
21 appear to be truncated. I think it's erosional channels on the
22 Triassic which is a very common -- the Triassic is a very
23 hummocky channeled surface and I think this is what it is and
24 it is also a very linear feature but not very big and not very
25 wide so I think it's a channel and there is a little bit of

1 evidence in some places of little side channels, shallow side
2 channels that come into it.

3 Q Well, since you have several formations missing this
4 makes sense. Now, the entire channeled out place is filled
5 in with Ogallala, is that correct?

6 A Yes, sir, basal Ogallala. There are a few Cretaceous
7 boulders in the basal Ogallala as again you might suspect.

8 Q Then these pits, they are all essentially in the
9 Ogallala, is that correct?

10 A No, sir, the material that was removed is Ogallala
11 material.

12 Q That's what I mean, what has been mined is Ogallala?

13 A That is correct.

14 Q And when the pit is mined out sometimes it reaches
15 to the Triassic and maybe sometimes it doesn't, is that right?

16 A In these pits that I've seen, almost without exception
17 they are scoured down to -- the materials are removed down to
18 the Triassic.

19 Q But the sides of the pits then will still be Ogallala?

20 A No, sir, but the nature of it being erosional, an
21 erosional channel, you see, and I've got a slide that I'll
22 show you, the sides of these pits are also Triassic. The
23 V-shaped or U-shaped channel with Triassic coming up on both
24 sides, the Ogallala fills on the outside and then drapes in
25 into the inside of this channel but I do see, walking around

1 the edges of these pits Triassic up higher than the pit floor.

2 Let me show you this one slide right quick. Here
3 is Triassic in the bottom. I drilled a hole right there,
4 Triassic unweathered, essentially unweathered Triassic very
5 close to the surface. I drilled another hole right here on
6 this road, right in the road, again Triassic very close
7 to the surface but a little bit of weathering on top as again
8 you expect but that is several feet higher than that and this
9 is reflected on my Triassic map and the same thing happened
10 on the other side. Let's go back one more slide.

11 Here's the bottom of the pit, a bench three or so
12 feet higher, Triassic material, on the rim here that you
13 can't see in the foreground. The Triassic comes back up quite
14 a bit higher than the bottom of the pit. There is a place
15 that the Triassic is peeking through. This debris has
16 essentially fallen over the edge of the pit.

17 Q Now, if this is so then the dip of the formation then
18 is -- this is a monolith dip dipping one direction in the
19 Triassic do you think?

20 A Generally in this area, right now there is a gentle
21 dip on the Triassic, southward.

22 Q Do you detect any bedding planes at all in the
23 Triassic, any geologic changes or anything of that sort? You
24 mentioned that you had seen where some of it was truncated and
25 so on and so forth?

1 A. Yes, uh-huh, in this one bench is a suggestion of
2 truncation. I can't swear to it because the exposures are
3 fairly poor. In the drill holes it is extremely difficult to
4 correlate beds because it is just all clays. There are one
5 or two very thin sand sequences occurring on the top sometimes,
6 six or eight inches, I think, but you don't seem to be able to
7 correlate them across.

8 Q. If one of these pits had mined down into a silty or
9 sandy member then of the Triassic this in effect would become
10 a seep zone, would it not?

11 A. Well, yes, for the few centimeters or whatever it
12 might be right there in that area. Like I say the pits
13 themselves are underlain by Triassic materials. There is a
14 thin erosional surface up on top as again you expect. In one
15 or two instances I have seen in the deep pit on the far west
16 there is a thin sand layer, so, yes, if you fill the pit up to
17 the sand layer which is right at the top of the Triassic it
18 would leak, yeah, perhaps. I don't know that for sure but I
19 think it probably would but already you are in trouble because
20 you are getting very close to the Ogallala Triassic inner face
21 and we are recommending staying four feet down below the lowest
22 part of the Triassic with our water. We are essentially
23 containing these waters entirely within impermeable Traissic
24 material.

25 Q. In the report I believe that I understood that your

1 monitor wells would go five feet into the Triassic, is that
2 correct?

3 A. That is correct and the casing would then be set into
4 that five foot zone and extend to the surface perforated from
5 the bottom to the maximum elevation of a particular -- of
6 the water that we would recommend in any particular pit.

7 Q. And all of these monitor wells will be outside of
8 this area of the pits?

9 A. That is correct but quite close and most of these
10 monitor wells are somewhat staggered, again as I say they are
11 put -- and they are put behind the core trenches, for instance,
12 to monitor the integrity of the core trenches and they are
13 also put around the pits themselves to monitor the integrity,
14 yes.

15 Q. So at least some of them, maybe none of them, would
16 reach an equivalent stratigraphic point within the Triassic
17 equal to the bottom of the pit?

18 A. No, they probably wouldn't reach levels of an equal
19 stratigraphic layer.

20 Q. Probably none of them?

21 A. No, in most cases that's right, none of them will,
22 that's correct, but in our core hole program it was the bottom
23 of the pits that we tested and I put them on the map, I placed
24 the location of these on the map prior to drilling the test
25 holes so they are not placed where I saw a nice little piece of

1 good red clay sticking on the surface, well, we'll drill here,
2 I put them on the map first and scattered them throughout the
3 whole pit area. So the permeabilities in the table in my
4 report represent the permeability of the bottom of that pit
5 that's going to see the water.

6 Q Could there be some impermeable members up on the
7 walls somewhere?

8 A I haven't seen them, but again they look similar
9 to the clay that I see in the bottom of the trench.

10 Q However, your slides show that there was a great deal
11 of overburden that had fallen in over the walls of the pits
12 and kind of obscured the Triassic as was apparent in some
13 of your photographs?

14 A Yes, particularly in the pit that I showed you, in
15 the deep pit. You can see Triassic nearly all the way around
16 except in the zones that I've -- again the westernmost side
17 where there is a little swale, yes, and in those I see a little
18 sand near the top but again good clay down underneath that
19 zone.

20 MR. ULVOG: That's all I have.

21

22 CROSS EXAMINATION

23 BY MR. RAMEY:

24 Q Let me dwell on these monitor wells, Mr. Reed, now,
25 you state that the monitor wells will go five feet in the

1 Redbed, is that correct?

2 A. That is correct.

3 Q. Why wouldn't it be better to go ten feet or to some
4 point lower, say, than the bottom of, say, pit one?

5 A. Primarily because the water if it escapes is not
6 going to escape through the Triassic because and, again, I have
7 drilled fairly deeply through these zones, through this
8 Triassic, and a number of holes and it's comprised, except on
9 the upper surface, of good clay so we don't anticipate leaks
10 through the Triassic. If we have a problem the place that it's
11 going to leak is at the inner face between the Ogallala and
12 the Triassic, that's where it is going to escape.

13 There will be minor penetration of the water into
14 the wall of the pits similar to what you will find at the
15 bottom but as an avenue of escape the Triassic is not a
16 candidate but that inner face is and, in fact, there are some
17 pits lined with polyvonchloride in the State of Texas which
18 I'm presently constructing closure plants for because that
19 twenty ml PVC after a little bit of weathering leaks. These
20 pits are constructed in the Ogallala, ten feet up off the
21 Triassic, it leaks down through the PVC, hits the Triassic
22 inner face and runs out and away from the site.

23 Q. So you are not at all concerned about any seepage
24 occurring through the bottom of the pit?

25 A. No, neither through the bottom nor the sides.

1 Q You feel like you have six to a thousand feet of
2 protection?

3 A That's correct.

4 Q The only concern we should have would be leakage
5 on the inner face of the Ogallala?

6 A Yes, and the reason I say that is, the density of
7 my drill holes here is pretty good but the Triassic is an
8 erosional surface. Perhaps, and I think the possibility is
9 remote because of the density of my points, but perhaps there is
10 a little bit of a swale in the Triassic that I did not pick up
11 in my drilling program, then this perhaps, if it was below
12 the level of the water which again based on the density of the
13 drill hole I don't think it's conceivable but if it happened,
14 if it occurred, the water would run down through this little
15 depression, this depression in the Triassic that will be filled
16 with permeable sand and gravel and it is these areas that we
17 would pick up in our monitoring program.

18 Q How close to the pits do you recommend that these
19 monitor wells be?

20 A Well, I spaced them at various distances really,
21 more based on what I knew of the Triassic surface. Most of
22 them are less than a hundred and fifty feet from the edge of
23 the pit. There are some that are within a hundred feet.

24 Q How are these wells coded on your map, say on the
25 Triassic map?

1 A. On figure four of my illustration in my report they
2 are double circle wells. In the legend the double circle wells
3 are the proposed monitor holes.

4 Q. So in essence, say you take pit one, you have your
5 monitor wells everywhere but to the east of the pit, is that
6 correct?

7 A. In pit number one?

8 Q. Yes.

9 A. Well, yeah, the number next to each monitor hole,
10 that number represents the pit which that monitor hole will
11 monitor. In other words, there is a monitor hole that I have
12 located just east of the easternmost dike of pit one, labeled
13 one-three. That will monitor pit one as well as pit three.

14 Q. Now, would it be necessary on pit one to have this
15 dike to the south of the core trench, I think it utilizes that
16 pit or --

17 A. I beg your pardon?

18 Q. Would you need the core trench to the south?

19 A. Should those two be connected, is that what you're
20 saying?

21 Q. Just to utilize pit one, what construction work are
22 you going to have to utilize to use pit one?

23 A. I see. If we just utilized pit one I would put --
24 I've got these labeled on one of these maps if I can find out
25 which one. Oh, it's on the dikes and monitor holes. I would

1 put the one labeled C which is the easternmost dike, combination
2 dike-core trench, I would put core trench labeled B and the
3 dike labeled A.

4 Q Now, what did you find the permeability of your
5 samples that you took out of the pit area?

6 A The permeability is -- many of them were less than
7 ten to the minus seven centimeters per second. There were a
8 couple that were -- one of them was one point four times ten
9 to the minus six centimeters per second. The liquid limit of
10 that sample, though, is very high, fifty. The liquid limit is
11 a measure of how much water a sample will hold prior to flowing
12 That high liquid limit suggests there is something wrong with
13 that test because it indicates very fine grained material so
14 I suggest that was a poor and the lab technician also said
15 that he thought there was something wrong with that particular
16 one.

17 There is another one that was --

18 MR. RICHARDS: Mr. Chairman, that is contained in
19 table seven in the report.

20 MR. RAMEY: Table seven?

21 MR. RICHARDS: Yes, it's immediatly --

22 THE WITNESS: It's page sixteen, fifteen and sixteen.

23 Q (Mr. Ramey continuing.) In other words, the sample
24 that is five times ten to the minus seven would be five times
25 as impermeable as your one times ten to the minus seven?

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 A. More permeable.

2 Q. More permeable?

3 A. In other words, the permeability of one times ten
4 to the minus seven essentially says that within one year with
5 a foot of hydraulic head, the water will penetrate a tenth of
6 a foot in that twelve-month period. Five times ten to the
7 minus seventh means that it will penetrate zero point five feet
8 in that one year with the same amount of head.

9 MR. RAMEY: Okay. Any other questions of the witness?
10 Mr. Stamets?

11
12 CROSS EXAMINATION

13 BY MR. STAMETS:

14 Q. In response to Mr. Ulvog's question awhile ago you
15 indicated that perhaps the Redbeds had a southward dip, is
16 that correct?

17 A. That's right, in this immediate area.

18 Q. Is that a very steep dip or is it relatively flat?

19 A. No, it's fairly gentle, it's fairly gently. I don't
20 have a real good handle on the amount of dip but I would say
21 fifty feet per mile, sixty feet per mile perhaps.

22 Q. Quite gentle?

23 A. Yeah, quite gentle.

24 Q. Just in case there should be any leakage through
25 the bottom of these pits, any vertical leakage, would the

1 likelihood be that it would leak down to some impermeable
2 layer and then progress down dip towards the south?

3 A. Well, the bottom is impermeable and I guess I
4 don't see how it could reach a more impermeable layer.

5 Q. Well, I just said "if", this is hypothetical.

6 A. Well, conceptually if we were putting this
7 material in a pit with a high permeability such as the one I
8 described a few minutes ago, that would happen, it would
9 percolate down to an impermeable zone and migrate away from
10 the site down dip.

11 Q. Okay, now, it's a very gentle dip, how about the
12 thickness of the beds that you observed, were they fairly
13 thick or fairly thin?

14 A. Some of the core holes that I drilled into the pit
15 bottom I drilled, well, one that I remember, fifteen to
16 eighteen feet through the bottom and it was continuous good,
17 red clay down to the bottom of that.

18 Q. Without any break or any differentiation as to
19 color or --

20 A. Well, sometimes there is a change in color. There
21 are green chloritic clays.

22 Q. This would indicate some sort of a bedding or some
23 sort of a change?

24 A. I think there is bedding there certainly so, but
25 again the green chloritic clays are just as tight as the red

1 ones.

2 Q Assuming now that the Commission wanted a test hole
3 to be drilled, say to the depth of at least ten feet below
4 any formations which would be in contact with the bottom of
5 pit one, how deep would these test holes have to be drilled
6 say on the south side of the pit?

7 A Well, the bottom of pit one is at an elevation of
8 in the neighborhood of thirty-four forty-five or forty-six.
9 The rim on the south side of pit one is thirty-four sixty. We
10 are talking about fifteen feet before you get to the elevation
11 of the pit.

12 Q So you would have a hole twenty-five feet deep?

13 A If you went to ten feet below the bottom, yes.

14 Q You might want to add a few feet because of this
15 gentle dip then, twenty-five or thirty feet of depth?

16 A I'm not understanding what you are saying.

17 Q Well, because of this southward dip you might want
18 to add a few feet to the twenty-five.

19 A You are saying to get to the same stratigraphic
20 horizon?

21 Q No, to get ten feet below the same stratigraphic
22 horizon.

23 A Well, in order to get ten feet below the bottom of
24 the pits, it wouldn't make any difference about the dip if you
25 are trying to intercept the same stratigraphy that you see at

1 the bottom of the pit you would have to go a few feet deeper,
2 five, ten, fifteen feet deeper.

3 MR. STAMETS: Okay, that's all the questions I have.

4 MR. RAMEY: Mr. Nutter?

5

6 CROSS EXAMINATION

7 BY MR. NUTTER:

8 Q Mr. Reed, in estimating what your evaporation rates
9 out of these pits would be, you have assumed that you would be
10 able to keep the water completely free of any oil films, is
11 that correct?

12 A That's assumed in these calculations, that is correct.

13 Q Now, --

14 A These are Class A pan evaporation figures.

15 Q Well, I notice on your table four you had used the
16 net evaporation for Red Bluff which is in 1941, the low year
17 as far as net evaporation was concerned?

18 A That's right. That was a year of both high rainfall
19 and low evaporation.

20 Q Okay. And so in that year you had a total net
21 evaporation of thirty-nine point six inches of water in table
22 number three?

23 A That is correct, that is with rainfall taken out.

24 Q Now, looking at your evaporation rate then for the
25 first twelve months exhibited there on table four and adding

1 those columns up I come up with three point three feet of water
2 or thirty-nine point six inches and I find that you would be
3 discharging, however, an estimated rate according to table five,
4 of point four one feet of water per year. Now, why would you
5 be discharging more than your evaporation rate would be?

6 A. You get that from doing what?

7 Q. Well, your table number three says that Red Bluff
8 evaporated thirty-nine point six inches of water per year and
9 then on table number four --

10 A. In a low evaporation period that is correct, that's
11 an abnormal --

12 Q. That's a bad year. Don't you have to work on a bad
13 year as far as making an estimate of what this pit can do?

14 A. Well, not if we have an emergency standby system
15 and so what I have done, I have used the average, that average
16 evaporation from Red Bluff and again you can't evaporate out,
17 you can't add up twelve months and say you have sixty-five
18 inches of net evaporation, you cannot put that much water in
19 those pits because you have six months of low evaporation and
20 you have too much accumulation so you have to tailor it through-
21 out a twelve-month period, so I indicate that a maximum of
22 this amount of water, four-tenths of a foot, can be discharged
23 if we -- I believe I have a table in here also that shows what
24 would happen, yes, table four, the fourth column under
25 "Accumulation" shows that after what, a year and a half of poor

1 evaporation you would have an accumulation of two point two
2 feet.

3 Q All right.

4 A After August.

5 Q Now, you said these were pan rates but yet you have
6 used Red Bluff Dam, are these evaporation rates out of the
7 lake or are these panned over at Red Bluff?

8 A No, these were panned at Red Lake. To continue, I
9 have a suggestion in my report that we set aside one of these
10 pits and in my mind that is pit number four, which is very
11 deep and has lots of storage for emergency overflow, for when
12 you have more accumulation than you can expect during average
13 conditions.

14 Q Now, have you taken into consideration the reduced
15 rate of evaporation because of the salinity of the water?

16 A We have not, these are calculations based on --

17 Q On fresh water?

18 A On fresh water, yes.

19 Q Normally salt water doesn't evaporate as fast as
20 fresh water?

21 A Not quite, no.

22 MR. NUTTER: I believe that's all. Thank you.

23 MR. RAMEY: Any other questions, Mr. Houston?

24

25

sid morrish reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

CROSS EXAMINATION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. HOUSTON:

Q Mr. Reed, in looking at these pits on the site the floor doesn't appear to be level and doesn't appear to me to have -- what did you say?

A Fifty to sixty feet per mile.

Q It doesn't appear to have any gentle slope to them at all, when you drive around on them you are climbing hills and valleys and dales.

A In the pits you are talking about?

Q Quite a bit in getting from pit to pit. There is one pit that is flat.

A In the arroyo you have interrupted the regional dip by the arroyo.

Q But the pits are not generally flat. There is one pit that is flat and the rest of them aren't, isn't that true?

A Pit number one by and large for the most part is flat; pit number three by and large is flat.

Q The rest of them are irregular?

A In some form or another, yes.

Q The walls of those pits are caliche and gravel, rock?

A Above a certain point, yes, that's right.

Q And it is your testimony that the Triassic Redbed is clearly evident all the way around the walls of the pit on

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 the level?

2 A Well, if you will examine my Triassic map which is
3 in the report that I believe you have a copy of you will see
4 that --

5 Q Which map are you referring to?

6 A This is figure number two. Very simply what this
7 map shows is that up to the north of the pits the Triassic is
8 high, elevation thirty-four fifty-five. It shows that in the
9 central part of this linear depression that the Triassic is low,
10 thirty-four forty-three, forty-four and forty-five. It shows
11 that in addition south of the pit the Triassic is again high.
12 Now, this does not necessarily have any direct connection
13 necessarily in terms of concern to what you see in the edges
14 of the pits. It does not concern me the slightest amount that
15 there are some edges of the pits that I can't see Triassic
16 coming up well above the pit floor because I see it coming up
17 higher than the pit floor, just outside that pit in my drill
18 holes.

19 So to be walking those pits and to be totally
20 surrounded by Triassic above your eye level is not a concern
21 but you do have to make sure that the Triassic is higher than
22 the bottom of your pits, on the outside of the pits and that is
23 what I have shown here on this map.

24 Q In other words, it can be irregular in the walls of
25 the pit but you are confident that beyond the walls of the pit

1 that it is level?

2 A. That what is level?

3 Q. The Triassic.

4 A. It is not level, it is sloping up out of the pits.
5 It's high on the south, it's high on the north and it's low
6 inside.

7 Q. With no valleys in the edges?

8 A. As I pointed out before there is a slight swale
9 down here to the south of pit one and the ends, the east and
10 west ends are low spots.

11 Q. The east end flows into Monument Draw -- the west
12 end flows into Monument Draw?

13 A. Let's look at my topographic map here. Just a
14 minute.

15 Again, we are on this nose, if you are up on the
16 surface we are strictly above the surface, the dip is in this
17 direction, the surface. This lineation here, I have drilled
18 across this road and I find a low spot in the Triassic, I do
19 not know what direction that goes. I know it is a low and I'm
20 going to put that core trench directly across that low, tie it
21 into two known points that I've got.

22 Q. Where is Monument Draw in relation to that?

23 A. Monument Draw essentially is out here to the south,
24 the southeast.

25 Q. Monument Draw actually is to the west, to the north-

1 west and then comes right down parallel to it, doesn't it?

2 A. Well, I would have to show you on a smaller scale
3 topographic map which might simplify things.

4 This is the same scale map. Here is the nose and
5 the surface is sloping out essentially this way and this way
6 and this way.

7 Q. My question was, where is Monument Draw?

8 A. Well, Monument Draw is out here to the southwest,
9 essentially. There is a small extension of it down around
10 here to the west and to the south.

11 Q. Show us up in the upper northwest corner of that map
12 where Monument Draw is?

13 A. Right here.

14 Q. And it comes right on down?

15 A. This is part of it, it comes down through here. You
16 can see it better on some other maps of a little bit larger
17 scale.

18 Q. You stated that the sand and gravel is in this trough
19 and that you naturally expected it to be there?

20 A. Yes, sir.

21 Q. And is it found anywhere else in this area?

22 A. Oh, there is sand and gravel throughout the Ogallala
23 in varying quality in terms of mining operations.

24 Q. You said that the Triassic Redbeds do not transmit
25 water and they vary in thickness there from six hundred feet

1 to a thousand feet below this point?

2 A. That is correct.

3 Q. And that the top of the Triassic Redbed represents
4 the base of the fresh water?

5 A. In most areas this is correct.

6 Q. In that area specifically. I'm talking about
7 within a radius of some miles of that point, ten or twelve
8 miles?

9 A. To my knowledge this is correct.

10 Q. Now then I didn't hear you say what the rainfall
11 was at Red Bluff or the rainfall at Eunice, did you correlate
12 that in your evaporation tables?

13 A. No, I didn't say and I'll have to look back through
14 my report to answer that directly. I honestly don't remember
15 whether I used Red Bluff or whether I used Eunice. I don't
16 have the rainfall in my table and I honestly don't remember
17 which I did. Normally anytime I can use local rainfall I do
18 that.

19 Q. I believe the rainfall at Eunice would be substantially
20 more, although it is low, than at Red Bluff.

21 A. I just don't recall. Like I say, normally when I
22 can get local data, local rainfall data, I do so.

23 Q. Mr. Wallach referred to that pit to the north that
24 his father excavated?

25 A. Yes.

1 Q. Where the cattails are growing now and that water
2 stands in that pit, seeps into that pit, fresh water, did you
3 observe that pit?

4 A. I saw it in the early stages of my investigation.

5 Q. Did you observe a water well at that pit?

6 A. I don't remember one, no, sir.

7 Q. Did you observe the cattails growing in that pit?

8 A. Yes, I did.

9 Q. Did you observe cattails and willows growing in
10 the other pits that have water in them?

11 A. In this one deep pit it seems like there were some
12 cattails, yeah.

13 Q. Did you observe the willow trees, weeping willows?

14 A. Well, I don't know what the trees were because it
15 was wintertime when I did my investigation.

16 MR. HOUSTON: I believe that's all.

17

18 CROSS EXAMINATION

19 BY MR. RAMEY:

20 Q. Mr. Reed, just as a matter of curiosity how do you
21 account for the salt cedars growing in, say in pit one?

22 A. I'm not aware that there are any in pit one, are
23 there? The only logical way I can explain them in my mind is
24 an accumulation by rainfall. The reason I say that is simply
25 that I watched the drilling of every one of these test holes

1 and I also walked the rim of every one of these pits and I
2 did not see in any of the test holes or in any of the rims of
3 the pits, water flowing into the pits and the first time I
4 went to the site was after a fairly good rain. So I can say,
5 based on that evidence, in my opinion, there is no Ogallala
6 water seeping into the pits. There obviously is rainfall
7 that comes into that area and you can see large muddy areas
8 and these waters don't go anywhere because it has got an
9 impermeable bottom, they only are moved by evaporation so
10 they are retained there, after a good rain they are retained
11 there for a substantial length of time.

12 MR. RAMEY: Any other questions of the witness?
13 Mr. Nutter?

14
15 CROSS EXAMINATION

16 BY MR. NUTTER:

17 Q. Well, do the salt cedars grow there without roots
18 going down to look for water there? They are growing in the
19 hard pan if they are growing in the Triassic, do they have
20 roots?

21 A. I presume so, yes.

22 Q. What are their roots for, there is no water down
23 there you say?

24 A. Well, I won't say that the Triassic is absolutely
25 dry. You cannot produce a well out of it, out of the Triassic

1 Q But you said that the permeability was something
2 like five times ten to the minus centimeter per year or
3 something, did you, Mr. Reed?

4 A Yes, sir.

5 Q I wouldn't think those salt cedars would need roots
6 if there is no more permeability than that.

7 A I don't have any idea what the salt cedars are
8 doing.

9 MR. NUTTER: I believe that's all.

10 MR. RAMEY: Mr. Lucero?

11

12 CROSS EXAMINATION

13 BY MR. LUCERO:

14 Q Did you say you walked the rim of all of these pits?

15 A Yes, I have.

16 Q How long ago was that?

17 A Well, a number of times. The very first time I
18 went out there which was, if my memory serves me right, last
19 fall sometime, late last fall.

20 Q And the latest time?

21 A The latest time was -- it was early last fall,
22 probably September, perhaps October -- the last time probably
23 was in December.

24 Q And you also walked the bottoms of the pits, you
25 said?

sid morrish reporting service
General Court Reporting Service
825 Calle Méjia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 A. Yes, sir.

2 Q. Did you walk the bottom and the rim of pit one or
3 the pit that is supposed to have salt cedars in it?

4 A. I walked throughout most of the area visible on
5 this map, portrayed on this map.

6 Q. Can you say now that you did or did not see salt
7 cedars in the one pit that we are talking about now in all of
8 those times that you walked the pits because I noticed that
9 you looked over at one of the previous witnesses as to knowledge
10 as to whether there were salt cedars or not in that pit. We
11 are asking you of your own personal observation and knowledge.

12 A. I believe in pit one and also in pit four that
13 there are some salt cedars.

14 Q. Are you making that from your own recollection, now,
15 conclusions?

16 A. I believe so, as far as I can tell I am but it does
17 seem like I remember seeing them in the bottom of the pit.

18 Q. Was there a great profusion of salt cedars in
19 terms of numbers or just one or two or three?

20 A. My recollection is that they were fairly sparse.

21 Q. Well, are you sure or are you just saying that you
22 think?

23 A. That is my recollection that they were -- to my
24 knowledge I didn't ever have any trouble walking through any
25 in that area and so --

1 Q Well, of course, by walking through you mean that
2 you weren't walking through a forest of salt cedars, is
3 that what you mean?

4 A Yes, sir.

5 Q That's the difference between walking around two
6 or three of them, is that it, we are talking about extremes.
7 How many salt cedars do you think are growing in that area?

8 A I'm afraid I wouldn't hazard a guess.

9 Q Well, then there is some?

10 A They were not dense.

11 Q Then there is some doubt in your mind as to whether
12 or not the amount of salt cedars that were there, there is
13 some doubt in your mind now?

14 A To the amount?

15 Q Yes.

16 A Well, to the specific density there is some question
17 in my mind. When the question was initially raised I do
18 remember at that time of seeing them in pit number four. I
19 did not immediately remember seeing them in pit number one but
20 again to the best of my knowledge I did see them in pit
21 number one, not densely, but there were other things in there
22 to my recollection, you know, it is bouldery for one thing
23 and in places it is my recollection, it's not dense.

24 Q But we are in agreement then that there were salt
25 cedars but you are not sure as to the density, am I correct

1 in that conclusion?

2 A. No, sir, I'm not sure of their density at all.

3 Q. Another thing when you were looking at that figure
4 one, the map, it shows the gravel pits and I presume that
5 shows the surface configuration and elevations there?

6 A. That's correct.

7 Q. And I assume that the top of it is north, is that
8 correct?

9 A. To my knowledge that is also correct.

10 Q. As you move away from the southern edge of the pits
11 then and check the different elevations shown there, there is
12 one that runs right to the south part of the pits or near
13 there of thirty-four seventy-five. Then we move on to another
14 dark one and you've got thirty-four fifty.

15 A. Yes, sir.

16 Q. And we are going further south and off to the
17 right a little bit and you've got thirty-four twenty-nine and
18 then you've got one real thick one there that is thirty-four
19 twenty-five and so -- we are going south and when we get down
20 to where I guess it says roadside park and all that we are
21 near thirty-four hundred or thirty-three ninety-one. Does
22 that indicate a slope of less elevations from the gravel pits
23 going south?

24 A. Yes, the surface is sloping towards the south and
25 the thirty-four hundred would be an elevation below the bottom

1 of the pits.

2 Q Would that indicate that the Triassic formation that
3 you say has low permeability follows that slope and to what
4 degree if it goes south?

5 A On a regional basis it does but again in the area of
6 these pits there is a depression and that's the only reason
7 that I proposed that we can use these pits is because of that
8 depression. By and large I think that the Triassic reflects
9 somewhat this dip, I don't know how closely.

10 Q Then there is a downward slope going south of the
11 Triassic too?

12 A Well, I think I said the Triassic should slope
13 downward to the south also.

14 Q I had one other question. If you are going to
15 place thousands of barrels of this salt water in these pits
16 over here and then you have an indication in the monitor well
17 that there is a leak, I don't think you explained to the
18 Commission what remedial action you are going to take other
19 than this emergency pit over here. What are you going to do to
20 prevent this leak and once you have a leak, you have a leak, all
21 you are doing there by the monitor well is determining that
22 you have a leak.

23 A The monitor well, like you say, is to determine a
24 leak. If a leak is ever found a French drain down dip, down
25 slope from that leak would be immediately constructed. It

1 involves about an eighteen inch wide trench dug down into the
2 Triassic, a layer of gravel put on that surface, a four inch PVC
3 casing laid on top of the gravel, more gravel put up on top of the
4 PVC to bring it well up above the top of the Triassic and
5 that drain then discharges into a wet well. The wet well
6 in turn takes the water back into a pit. During the
7 operation of the French drain, during the construction of the
8 French drain, I should say, the leak itself, the configuration
9 of the leak should be able to be determined and at that time
10 remedial measures can be taken similar to the ones I have
11 proposed for retention type structures.

12 Q Suppose you have a manifestation of several leaks
13 in several of the monitor wells on the south side of these
14 pits and you intend to take remedial action and you take into
15 consideration that you have this downward slope on the surface
16 of this Triassic as you said to the south, what remedial action
17 could you take if several of the monitor wells on the south
18 side of this leak, you aren't going to trench up the whole south
19 side of the valley, are you?

20 A If we had leaks all the way along the south side?

21 Q Yes.

22 A Well, again --

23 Q Taking into consideration that you have this slope,
24 general regional slope going towards the south?

25 A If I saw a leak all the way along the south side of

sid morrison reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 the pits which in my mind is inconceivable, then the French drain
2 initially would be constructed all the way across that zone.

3 Q But by that time you don't know how far it will have
4 leaked?

5 A Yes, we will because the monitor wells pick it up
6 right away and in the first period of time I think two years
7 if I remember my words, the monitor wells will be inspected on
8 a fairly closely spaced, so, yes, you hit it the minute it hits
9 one of those monitor wells and you dig your French drain and
10 you have captured it right there.

11 Q To the depth of the monitor well. The monitor well
12 will only show what has happened to the depth that it has been
13 drilled?

14 A The monitor well will show if there is going to be
15 a leak in the Triassic, in the whole system, it is going to
16 be along that inner face and that's what your monitor well is
17 going to determine. Our permeability tests show that that clay
18 is well within what the Texas Water Quality Board, for instance,
19 uses as a guideline to call the bottom of a pit impermeable.

20 MR. LUCERO: I don't have anything further.

21 MR. RAMEY: Mr. Stamets.

22

23 CROSS EXAMINATION

24 BY MR. STAMETS:

25 Q Mr. Reed, I presume you are aware that the Commission

1 is responsible for protecting fresh water?

2 A. Yes, sir.

3 Q. From the potentially harmful effects of oil field
4 brine?

5 A. Yes, sir.

6 Q. Now, in examining such an application as this is, is
7 it unreasonable for a body so charged to look at such an
8 application in a worst case basis or to consider the
9 inconceivable?

10 A. No, I think it is legitimate to look at the worst
11 cases.

12 Q. In this particular case would it be unreasonable to
13 require that at least some of the monitor wells be drilled, say
14 ten or twenty-five feet below the base of the pits?

15 A. I would not be opposed to that recommendation.

16 Q. Perhaps you don't know the answer to this question
17 but maybe the original witness would.

18 Is all of the water which is going to go into these
19 pits going to originate in New Mexico or would some of it
20 come across the line from Texas?

21 A. I cannot answer that question.

22 MR. RICHARDS: Mr. Wallach.

23 MR. WALLACH: As far as we know it is all going to
24 come out of New Mexico.

25 MR. RICHARDS: This witness wasn't sworn, would you

1 like to swear him, Mr. Ramey?

2 (THEREUPON, a discussion was held
3 off the record.)

4 MR. STAMETS: That's all of the questions.

5 MR. RICHARDS: May I make a response for the applicant?

6 They haven't solicited nor have they been solicited by any
7 customers because, as you have noted, the uniqueness of the
8 situation, they have contracted with no one to accept materials.
9 I assume you are considering since they won't let us -- they
10 want to steal our Ogallala in Texas anyway we shouldn't let
11 them bring it back brack and I don't think that -- if that's
12 a requirement or a recommendation they will abide by it.
13 Obviously brine being produced in western Andrews County as
14 well as central and southern Lea County fall into this
15 category.

16

17 CROSS EXAMINATION

18 BY MR. RAMEY:

19 Q Mr. Reed, along Mr. Stamets line of questioning,
20 would it be possible, let's just suppose for a minute that the
21 water did seep up from the bottom of the pit and maybe hit a
22 silty zone in the Triassic maybe ten feet below in twenty years
23 or something, would it be possible then that that water could
24 migrate to the south or on the regional slope down this less
25 permeable silty zone and then perhaps intersect another

1 channel of the Triassic and be at the base of the Ogallala?

2 A. Well, yes, if this permeable clay in the bottom of
3 the pit was penetrated and it got into a silty zone it would
4 naturally migrate down that silty zone, down dip, and that
5 down dip is to my knowledge towards the south.

6 Secondly, like you point out, that silty zone
7 would again have to be breached for it to discharge back
8 into the Ogallala.

9 Q. But this is a remote possibility and --

10 A. That's an extremely remote possibility and I just
11 cannot myself conceive of it happening.

12 Q. But it would --

13 A. But that's the mechanics of what would occur, yes.

14 Q. It could be a basis for requiring deeper monitor
15 wells?

16 A. Well, as I said, I would not be opposed to a few of
17 these and I stress the word "few" because I've got a number
18 of monitor wells located here but a few of them to be drilled
19 down to say a little below the level of the ponds for two
20 reasons, to watch this very thing, but perhaps as important as
21 anything, to see what the lithology is down there.

22 MR. RAMEY: Thank you. Any more questions of the
23 witness? He may be excused.

24 (THEREUPON, the witness was excused.)

25 MR. RICHARDS: The applicant is at rest.

1 MR. RAMEY: Do you tender those exhibits?

2 MR. RICHARDS: I move the introduction of Exhibit A
3 to the application for all purposes.

4 MR. RAMEY: Exhibit A is the booklet, the yellow
5 booklet?

6 MR. RICHARDS: Yes, sir.

7 (THEREUPON, Exhibit A was admitted into
8 evidence.)

9 MR. RAMEY: Do you have anything further, Mr. Richards?

10 MR. RICHARDS: No, that is all of the exhibits and
11 the applicant is at rest.

12 MR. RAMEY: Mr. Houston, would you like to take over?

13 MR. SIMS: I would like to call Mr. Sims.

14
15 R. D. SIMS

16 called as a witness, having been first duly sworn, was examined
17 and testified as follows:

18
19 DIRECT EXAMINATION

20 BY MR. HOUSTON:

21 Q State your name and address, please?

22 A R. D. Sims, Eunice, New Mexico.

23 Q And how long have you lived in Eunice, Mr. Sims?

24 A I've lived there sixty-one years, around Eunice,

25 I never lived right in town.

1 Q Do you have a homestead near Eunice?

2 A Yes, sir.

3 Q How far from Eunice, Mr. Sims?

4 A About seven miles.

5 Q And how far is it from the gravel pits that are the
6 subject matter of this hearing?

7 A Probably straight across six or seven miles.

8 Q So you have lived all of your life in that general
9 area?

10 A Yes, sir.

11 Q Are you personally acquainted with these gravel pits?

12 A Well, I've been to them several times.

13 Q Have you observed anything about them that you think
14 would be of material -- are you opposed to this application,
15 first of all?

16 A Yes, sir.

17 Q Can you state in your own words generally why you
18 are opposed to this application?

19 A Well, the Redbed varies, for one reason, and another
20 reason there are fresh water ponds that are there with willows
21 and salt cedar growing out of there, they don't grow in
22 brackish water.

23 Q You feel that there is fresh water standing in
24 these gravel pits, that they are in a fresh water bearing
25 formation?

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 A Yes, sir, I feel that it seeps in through the gravel.

2 Q Now, you heard the testimony that one of those pits,
3 the one to the west, was rainwater runoff from the rain two
4 years ago?

5 A Well, in my mind I wouldn't think so.

6 Q Was there water there prior to those rains two years
7 ago?

8 A Yes, there was water there for several years.

9 Q Do you know that of your own personal knowledge?

10 A Yes, sir.

11 Q Is that in periods of drought, we have had periods of
12 drought, haven't we?

13 A Yes, quite a few.

14 Q Was that water there then?

15 A Yes, sir.

16 Q Now, you heard the testimony of Mr. Reed, did you
17 not?

18 A Yes, sir.

19 Q You heard him testify that the Triassic Redbeds do
20 not transmit water and it varies in thickness from six hundred
21 feet to a thousand feet. Have you drilled wells in that area?

22 A Yes, sir.

23 Q Are those Redbeds that thick?

24 A At different depths, they will run from shallow to
25 deep and you run sometimes through a Redbed where it's not over

1 twenty feet through it.

2 Q And then you go into other formations?

3 A Yes, sir. A lot of times you will hit water right
4 on that Redbed and sometimes you will go on down two or three
5 hundred feet and hit water in the Redbed at different depths.

6 Q Now, you heard Mr. Reed testify about his qualifica-
7 tions?

8 A Yes, sir, I heard that.

9 Q That he has worked on the astronaut programs and
10 everything else?

11 A That's not like experience.

12 Q You are just a rancher down there?

13 A Yes, sir.

14 Q You don't belong to any societies or have any
15 geological degrees, do you?

16 A No.

17 Q Do you know what you testified to to be a fact
18 regardless of his theories?

19 A Yes, sir.

20 Q His theories are not true?

21 A No, sir.

22 Q You heard him say that the top of the Triassic
23 represents the base of the fresh water?

24 A Not always.

25 Q And you just got through saying that sometimes right

1 under the Triassic Redbeds you find good fresh water?

2 A. Yes, sir.

3 MR. RICHARDS: I'm going to object to this witness
4 until I can take him on voir dire as to his scientific qualifica-
5 tions as a geologist and this Commission reserve rulings until
6 I have had a chance to cross examine him on his qualifications
7 as to the admissibility of his testimony.

8 MR. HOUSTON: If it please the Commission, I'm not
9 asking him about his opinion, I'm asking him about facts. He
10 is testifying as to what he personally has done and has observed.

11 MR. RICHARDS: If it please the Commission, what he
12 is and what he is not, Triassic Redbed is a scientific fact.

13 MR. HOUSTON: If I may proceed until the Commission
14 can make its ruling based on --

15 MR. RAMEY: Please proceed, Mr. Houston.

16 Q. (Mr. Houston continuing.) Have you observed in the
17 area that there are varying formations there in these pits?

18 A. Well, I wouldn't say they are in the pits but I
19 imagine they are because they are all around it.

20 Q. And that's been your opinion from your personal
21 experience?

22 A. Yes, sir.

23 Q. Now, are you the head of the South Lea County Fee
24 Land Association?

25 A. Yes, I'm President of it.

1 Q And do most of the fee land owners in that region
2 meet together to discuss common problems?

3 A Yes, sir.

4 Q Did you have a meeting of the fee land owners within
5 the last few weeks concerning this application?

6 A We had two.

7 Q Did they instruct you to come here to protest this
8 application?

9 MR. RICHARDS: Object, hearsay. Objection hearsay.

10 MR. HOUSTON: I didn't ask them what they said. I
11 asked them --

12 MR. RICHARDS: May it please the Commission, Mr.
13 Houston, let me finish my objection. The best evidence of what
14 they did is a resolution or document from the body over the
15 seal of the secretary of the body. Anything less is not
16 evidence of what the corporate body did and I object to this
17 witness attempting to testify. There is no evidence of
18 authority, your honor.

19 MR. HOUSTON: I can clarify that, I think, if you
20 will let me.

21 MR. RAMEY: All right, clarify it.

22 Q (Mr. Houston continuing.) Mr. Sims, your organization
23 is not a corporation, is it?

24 A No, sir.

25 Q It is an association of people who own land in that

1 region, isn't that true?

2 A. Yes, sir.

3 Q. And as such you have no corporate charter, corporate
4 seal or anything else?

5 A. No.

6 Q. And you are not representing that you do have a
7 corporation?

8 A. No.

9 MR. RICHARDS: Then I'm going to further object. If
10 they have no standing as an organization and no bylaws, it is
11 not an organization for which he can speak or testify and his
12 testimony stands on that alone and, again, depriving me of the
13 right of cross examining this amorphous group of people who
14 may have met together, if they have any bylaws they will set
15 out the rights of the president and/or authority of the president
16 and we have no evidence of that.

17 MR. RAMEY: Could you bring this out on cross
18 examination, Mr. Richards?

19 MR. RICHARDS: I will, sir, I object to the testimony
20 at this point, it is just not admissible.

21 MR. RAMEY: We will admit the testimony and consider
22 it for what it's worth.

23 Q. (Mr. Houston continuing.) Mr. Sims, in connection
24 with your drilling water wells in that region over many years,
25 have you encountered this Redbed clay?

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 A. Yes, sir.

2 Q. All right, in that Redbed clay, have you found it to
3 be a solid, that is, not permeable but with no gravel or
4 imperfections in it or what have you found in that?

5 A. Well, sir, you will find different types of clay in
6 it and and you will find gravel streaks and sand in it. It
7 won't all be the same.

8 Q. Have you drilled wells and found that they are
9 generally good or have you had sporadic results six miles
10 away from these gravel pits, for example, where you live and
11 in the area?

12 A. Well, we've got Redbed wells in the area I live in.

13 Q. Do you have good wells that are drilled to the same
14 depth very nearby?

15 A. Yes, sir.

16 Q. How do you account for that?

17 A. We haven't figured it out yet.

18 Q. In other words, there is a water pay that may be
19 very close and you may miss it in one well but hit it in
20 another one?

21 A. That's right. The well that Stevens has right north
22 there, they drilled twelve to fifteen feet from that well and
23 didn't get any water at all and they've got a good vein of
24 water where the well is. It's right to the north of those
25 gravel pits.

1 Q How far to the north would you say?

2 A Probably three-quarters of a mile.

3 Q Now, you heard testimony about that pit to the
4 north that Mr. Wallach dug, that has water standing in it, fresh
5 water and cattails?

6 A Yes, sir.

7 Q How far is it from the pits, do you know?

8 A You mean the well?

9 Q Well, I'm talking about -- you said the Stevens well
10 was three-quarters of a mile. I understood that that cattail
11 pit was three-quarters of a mile from the pits that we are
12 talking about here.

13 A Well, I don't think it's that far. It could be, but
14 I don't think it is.

15 Q Do you have an opinion of how far it is?

16 A No, sir, I don't. I haven't been up there to that
17 north pit.

18 Q Are you acquainted with the old Baker springs?

19 A Yes, sir.

20 Q Do you remember that as being a good water well or
21 what is it?

22 A Well, it's just like these up here, it's a seep. It
23 makes more in wet weather than it does in dry weather but it
24 always watered the cattle that are on that place there before
25 it went dry.

1 Q Has it gone dry since these gravel pits have been
2 dug?

3 A Yes, sir.

4 Q Do you have anything else to add that I haven't
5 brought out?

6 A I don't believe so.

7 MR. HOUSTON: I believe that's all.

8 MR. RAMEY: Are there any questions of the witness?
9 Mr. Richards?

10
11 CROSS EXAMINATION

12 BY MR. RICHARDS:

13 Q Is the South Lea County Land Owners Association a
14 corporation organized not for profit or a non-profit organiza-
15 tion, chartered by the New Mexico State Corporation Commission?

16 A I don't think so.

17 Q Does it have any bylaws?

18 A Yes, sir.

19 Q Does it provide for a secretary recording official
20 actions of the association?

21 A Yes, sir.

22 Q Do you have with you any official document by the
23 custodian of the records of the corporation, who I assume is
24 the secretary, of any action or activity by the association
25 regarding this hearing today?

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 A. I didn't bring them.

2 Q. Do any, in fact, exist?

3 A. Yes, sir.

4 MR. RICHARDS: I move to exclude that portion of
5 the testimony where he purports to speak for anyone but
6 himself as not being the best evidence of the action of the
7 association or the president, Mr. Chairman.

8 (THEREUPON, a discussion was held
9 off the record.

10 MR. RAMEY: We are going to overrule your objection,
11 Mr. Richards. Do you have anymore questions of Mr. Sims?

12 MR. RICHARDS: Yes, sir.

13 MR. RAMEY: You may proceed.

14 Q. (Mr. Richards continuing.) I did understand,
15 Mr. Sims, you told this Commission that you had no training
16 in geology or hydrology?

17 A. No, sir.

18 Q. Now, you say in drilling water wells down there
19 you have struck some red material, is that right?

20 A. Right.

21 Q. And below that red material you got some water?

22 A. Yes, sir, we did.

23 Q. Have you ever heard of red Ogallala?

24 A. I don't know Ogallala or whatever it is.

25 Q. You don't know then what the red material really was,

1 do you, Mr. Sims?

2 A. Yes, I know what red clay is.

3 Q. Do you know what red Ogallala is?

4 A. I suppose it's a red clay.

5 Q. The red Ogallala that you struck then could well be
6 the red clay that you are talking about, is that right?

7 A. It's red clay, yes.

8 Q. You don't know, do you, when you can't tell this
9 Commission that as a matter of fact that the red Ogallala which
10 you struck in drilling water wells is the same as the Triassic
11 Redbed which Mr. Reed was testifying about?

12 A. It's all the same thing.

13 Q. Tell me, what training and experience are you basing
14 this knowledge on, Mr. Sims?

15 A. Experience.

16 Q. Just experience?

17 A. Yes, sir.

18 Q. And you are a geologist by experience, is that
19 right?

20 A. I didn't say that.

21 Q. Okay, sir. You did tell the Commission that the
22 water is spotty in this area?

23 A. Yes, it sure is.

24 Q. Did you hear Mr. Reed's testimony about the nature
25 of the Ogallala water as it relates to the topographic map,

1 figure one behind you?

2 A. I heard Mr. Reed's testimony, yes, sir.

3 Q. Do you understand that that is generally true in
4 your experience in the area that the Ogallala fingers out and
5 then begins to develop to the north and east of this area?

6 A. I didn't say that.

7 Q. Well, isn't that correct?

8 A. I don't know what your term of Ogallala is but that
9 Redbed, it varies in that part of the country --

10 Q. But, Mr. Sims, my question was --

11 MR. HOUSTON: If it please the Commission, I would
12 like you to instruct counsel to permit the witness to answer
13 his question and not interrupt him. He has a right to
14 answer the question.

15 MR. RICHARDS: I would be glad to have him answer
16 the question if he can answer the question. Go ahead, Mr. Sims.

17 A. I can answer it in my cowboy fashion but I don't
18 know it in an educated way but we do have the Redbed and it
19 varies in depth and sometimes it will come up to the top of
20 the ground and other times it will be deeper and sometimes you
21 will go through it and it will be shallow in places and deep
22 in places and a lot of the time you will hit water under it
23 and a lot of the time you won't.

24 Q. (Mr. Richards continuing.) Now, that is whatever this
25 red is, whether it is red Ogallala or Triassic Redbeds, is

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 that right?

2 A. Yes, sir.

3 Q. Okay, just tell the Commission if the water, the
4 surface water, gets stronger and more prevalent as you go in
5 this direction from the pits, if you know generally?

6 A. It will get stronger west and south but it is weaker
7 east and southeast but the water travels to the southeast mostly,
8 it travels to the southeast in that part of the country.

9 Q. Now, where in relation to these pits are you?

10 A. Southwest.

11 Q. Southwest, across the so-called Monument Draw?

12 A. Part of my place is in the Draw. I am in the Draw
13 and on the west side of the Draw.

14 Q. Do you have any interest in as an investment or as
15 an operator of a facility for the disposal of oil field brine?

16 A. I don't have any interest in it. There is a
17 disposal well on my place but I don't have no interest in
18 it.

19 Q. Who owns that disposal well?

20 A. Agua.

21 Q. Do you receive any benefits for the operation of
22 this well?

23 A. I receive a lease on the surface.

24 Q. You don't personally own an interest in any disposal
25 facility?

1 A. No, sir, no way.

2 Q. Are you in partnership with any members of your
3 family in the ranching business?

4 A. Yes, sir.

5 Q. Are you in partnership with Pat Sims?

6 A. No.

7 MR. RICHARDS: Nothing further.

8 MR. RAMEY: Mr. Sims, did all of the members of your
9 association support your coming up here or was it a split vote?

10 MR. SIMS: I think there were two votes against it,
11 two that didn't vote, I'll put it that way.

12 MR. RAMEY: Thank you. Mr. Stamets.

13

14 CROSS EXAMINATION

15 BY MR. STAMETS:

16 Q. Mr. Sims, have you drilled any wells near these
17 pits?

18 A. I haven't but my uncle had a ranch just across the
19 line that runs right up to this and I worked for him a lot and
20 he drilled a lot of wells over in there. I don't know how
21 many he did drill but he got very few with water. Ed Tinzal
22 owns the ranch now. They've got the land that the old Baker
23 Springs is on.

24 Q. Did you actually participate in the drilling of any
25 of these wells?

1 A. I was with him on several wells, yes, sir.
2 Q. How close to the pits?
3 A. Well, I imagine a mile is the closest well.
4 Q. A mile southwest?
5 A. South and east.
6 Q. A mile to the south and east?
7 A. Yes, sir.
8 Q. How deep was that well?
9 A. Well, they drilled them all different depths to try
10 to get water.

11 Q. Well, this one particular well to the south and
12 east, do you recall specifically?

13 A. Well, they just drilled to the Redbed on it and I
14 think to the best of my knowledge, it has been several years,
15 and to the best of my knowledge it was around sixty feet.

16 Q. So you haven't drilled any wells deeply into the
17 Redbeds in the immediate vicinity?

18 A. Not right in the immediate vicinity, no.

19 MR. STAMETS: Okay, thank you.

20 MR. RAMEY: Mr. Houston?

21 MR. HOUSTON: I have no further questions.

22 MR. RAMEY: Any other questions of the witness?

23 MR. CLEMENTS: I've got one.

24 MR. RAMEY: Mr. Clements.

25 MR. CLEMENTS: Are there any precautions that you feel

1 like would make this usable, do you have any precautions
2 that you find acceptable on this sort of thing?

3 MR. SIMS: What, to store water in there?

4 MR. CLEMENTS: Right.

5 MR. SIMS: I don't think it's a perfect seal in that
6 formation because on my knowledge and experience the clay is not
7 all, you know, there will be cracks and things in it and I don't
8 think they would find one of them with the wells that they've
9 got around here. I think you would have to have a solid trench
10 around it and then another thing, as heavy as those pits have
11 been shot at times they could have holes going down into some
12 of these little veins that go through that Redbed where there
13 is gravel and sand and different kinds of formations.

14 MR. HOUSTON: Let me ask you in that connection, have
15 you heard the shots?

16 MR. SIMS: Yes, sir, they shook the windows?

17 MR. HOUSTON: Six miles away? You felt the ground
18 vibrate six miles from there?

19 MR. SIMS: Yes, sir.

20 MR. RAMEY: Are there any other questions of the
21 witness? Mr. Lucero?

22

23 CROSS EXAMINATION

24 BY MR. LUCERO:

25 Q You mentioned that Baker Springs had gone dry?

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 A. Yes, sir.

2 Q. How far is this natural spring from water?

3 A. When these gravel pits first got started they started
4 down where they call this Baker Springs and they dug down into
5 this water. This Baker Springs started, Shorty Berry was the
6 first man who started a gravel pit over in that area.

7 Q. Well, how far is this Baker Springs from the present
8 gravel pits?

9 A. It's probably half a mile or three-quarters maybe,
10 in that vicinity.

11 Q. When did it dry up, if you can recall?

12 A. Well, it has been dried up for five or six years,
13 four or five years, or somewhere in that neighborhood. They
14 haven't used it, they finally piped water from the ranch over
15 to the springs, it's on this side of the line.

16 MR. HOUSTON: Was there a big watering just north
17 of this back years ago that produced a lot of water?

18 A. It was northeast of these pits.

19 MR. HOUSTON: Whereabouts was it?

20 A. Well, it's about a mile east of the stateline.

21 MR. HOUSTON: In Texas?

22 A. Yes, sir.

23 MR. HOUSTON: What is the name of that watering?

24 A. They called it the Scratch water, it was the old
25 Scratch headquarters.

1 MR. HOUSTON: How big a well was it?

2 A. It had a four-inch pump in it and it would throw a
3 stream of water almost full with a windmill and it watered
4 several hundred cattle and now it is plumb dry. It went dry
5 about four years ago. The cattle that used to water there, it
6 was the only water for about twelve miles at one time.

7 MR. RAMEY: Mr. Richards, do you have a question?

8 MR. RICHARDS: Let me ask just two, please, Mr.
9 Chairman.

10
11 REXCROSS EXAMINATION

12 BY MR. RICHARDS:

13 Q. Mr. Sims, you are aware that the Ogallala is
14 declining, the water levels are declining due to pumping aren't
15 you?

16 A. All of the water is declining.

17 Q. Due to pumping?

18 A. I don't know that it's due to pumping.

19 Q. When do you recall that your windows were shaken?

20 A. They shook several times from these shots. I haven't
21 gotten any in the last year or two but back before then there
22 was --

23 Q. Twenty years ago?

24 A. Oh, no, back three or four years back.

25 Q. You are sure they weren't sonic booms?

1 cut through?

2 A. Well, I never did help drill any of the deep wells.

3 Q. I see, so you don't have any knowledge then of the
4 most of that that has ever been penetrated?

5 A. No, sir.

6 MR. ULVOG: Thank you.

7 MR. RAMEY: Any other questions?

8 MR. HOUSTON: No, sir.

9 MR. RAMEY: The witness may be excused. You may
10 call your next witness.

11 MR. HOUSTON: Mr. Fred Boyd.

12

13 FRED BOYD

14 called as a witness, having been first duly sworn, was examined
15 and testified as follows:

16

17 DIRECT EXAMINATION

18 BY MR. HOUSTON:

19 A. Fred Boyd, Box 822, Eunice, New Mexico.

20 Q. What is your occupation, Mr. Boyd?

21 A. Oh, I have a place out there and raise cows and I
22 work for McCasland, drive trucks for him.

23 Q. Drive water trucks?

24 A. Yes, sir.

25 Q. You haul salt water and brine from wells as well as

1 fresh water and brine water?

2 A. Yes, I do and I own a percentage in the brine water
3 wells.

4 Q. In the disposal wells?

5 A. Yes.

6 Q. Where is your place in relation to the gravel pits
7 that are the subject matter here?

8 A. Well, two miles off to the west, right down in the
9 Monument Draw and then four miles to the south, about a mile
10 north of R. D.'s house.

11 Q. How long has your family owned those properties?

12 A. They homesteaded there.

13 Q. So you are a homestead family in that area?

14 A. Yes.

15 Q. Are you acquainted with the gravel pits?

16 A. Yes, I have worked out there with them.

17 Q. When did you work out there?

18 A. I worked for Paul and Bob's daddy out there.

19 Q. You worked there before they got to be grown, is
20 that right?

21 A. Yes, that's right.

22 Q. What kind of work did you do?

23 A. Anything there was to do from running the plant to
24 doing dynamiting to hammering rocks with a sledge hammer so
25 they would go in the crusher or drive trucks or anything that

1 there was to do.

2 Q You heard Mr. Sims' testimony that large shots of
3 explosives were set off?

4 A Yes, sir.

5 Q Did you set off some of the dynamite when you worked
6 there?

7 A Yes.

8 Q What is the largest shot you ever set off in these
9 gravel pits?

10 A The largest shot I ever shot was six tons at one
11 time.

12 Q In these pits?

13 A Uh-huh, and that was at the east side of what I
14 think they are calling Pit Number One, I don't know, if pit
15 number one is the first one south of the office, when they
16 started expanding it back, back to the east, that's when I
17 shot that one shot, of course, I shot all around that country
18 over there for them but that's the biggest one I shot.

19 Q What were the other shots?

20 A On down to one to two sticks.

21 Q Were there any as much as a ton?

22 A No, I doubt if any of them went up to as much as
23 a ton at one time but that one was at six tons I know because
24 I had to wait several hours after I got the holes dug for the
25 truck to come and bring them and we dumped them right off the

1 truck and into the holes.

2 Q. Now, were you there when the pits were dug into
3 fresh water?

4 A. I was.

5 Q. Describe that for the Commission?

6 A. When it was dug down to them, of course -- of course,
7 they can't produce any pit, you don't load the screens with
8 anything that is wet. You dig down to it and when it gets too
9 wet you quit and then the next morning the water would be
10 seeped up enough, you know, that you could get a drink or
11 something like that.

12 Q. Was it drinking water, drinking water quality?

13 A. Yes, I've carried water home from there to cook beans
14 in, it's good soft drinking water.

15 Q. Okay.

16 A. I took the water home to cook beans in.

17 Q. You heard Mr. Wallach testify that his father planted
18 bass there prior to his retirement in '62?

19 A. Yes.

20 Q. Did you ever fish out there?

21 A. I never did but I've looked in and seen the fish and
22 I've watched other people fishing but I never fished.

23 Q. Commissioner Lucero asked a question about the green
24 in some of the colored slides that were shown here today, about
25 what vegetation was growing in those pictures. What vegetation

1 grows in those pits?

2 MR. RICHARDS: Pardon me, I want to object to the
3 form of the question, Mr. Chairman, Commissioner Lucero was
4 describing an area outside of the pits and without relation
5 then he later asked about something that is not even shown in
6 the photograph, was there salt cedars in the pits. I think
7 it's a duplicitous question.

8 MR. LUCERO: Excuse me and I'll explain my second
9 question. There was some green in one of those pits over
10 there that I asked about. The first one was as to the general
11 area and then the second one was to some green that appeared
12 in them.

13 Q. (Mr. Houston continuing.) What is the vegetation
14 in the general area?

15 A. In the pits or outside of the pits?

16 Q. Outside the pits?

17 A. Well, mesquite and I think there is some sagebrush
18 and grass.

19 Q. All right, what's the vegetation in the pit?

20 A. The vegetation in the pit, now, the long, steeper
21 one over to the left, the second one, the long deeper one,
22 there are salt cedars growing up to a certain point and right
23 down to that point it has -- I mean, growing down to a certain
24 point and inside that water up to a certain point is cattails.

25 Q. Now, this is not the north pit, what has been called

1 the cattail pit?

2 A. No, this is south of the office, this big, long one
3 here and in years back I helped personally set a water pump
4 down in that to pump some water to the thing?

5 Q. How long ago?

6 A. Oh, I would say in the early fifties.

7 Q. In the early 1950's?

8 A. Yes, and there wasn't enough water there, you know,
9 to really supply anything at all but we would run the water
10 pump from time to time to, you know, pump water in the pit
11 to wash the gravel with but it wasn't a big water supply at
12 all.

13 Q. Do you have an opinion as to whether or not these
14 pits are suitable for salt water disposal?

15 A. Well, I'm not here to defend my interest in mine
16 because we truck our own water and I feel that they would get
17 very little business from us whatsoever, if it does I got a
18 living made, I never had it, but in my own mind I doubt it is
19 and, you know, I don't have anything to base it on whatsoever
20 except to say that the water does come to a certain level and
21 that the cattails grow up to a certain level and the salt
22 cedars grow down to a certain level and that indicates to me
23 that there is a definite water level there.

24 Q. There is live water in those pits is what you're
25 saying?

1 A. Yes, I think so.

2 Q. Do you have anything else you would like to add that
3 I haven't asked you about?

4 A. Well, just like he was saying there awhile ago, all
5 of the pits that I worked in which I quit in 1957 and all of
6 the pits that we dug, you know, that the Redbeds channeled off
7 to the west towards Monument Draw, just like he was showing
8 awhile ago, anything that we worked in up there and, of course,
9 the whole business on it is up on the hill, you know, and off
10 to the west is off the hill and off to the south and the west
11 is off the hill which would indicate that there would be
12 a drainage towards Monument Draw and in an old pit that they
13 had down towards -- by their other water stations down in
14 Monument Draw, he produced it awhile but they couldn't sell
15 the sand out of it because it wasn't suitable to the people.
16 There is a sand strata about six foot in the ground which varies
17 and my daddy dug many holes into it to plant fruit trees through
18 a soft caliche that's there and he dug it down into that sand
19 strata which, you know, for the trees to root and if the water
20 ever got to that then it is definite that it would run.

21 Q. If this brine water ever got to this sand strata it
22 would contaminate your --

23 A. It would follow the Redbed on bottom, you know, and
24 it doesn't just go down to our house it goes up north too
25 because I've hauled lots of it out of caliche pits on Eubank's

1 place up further in the draw.

2 Q Are you familiar with Baker Spring?

3 A Yes, I've been there a few times. It has been just
4 years and years and years since I have been there, but I have
5 been there a few times.

6 Q Do you know anything about when it went dry, what
7 Mr. Sims was testifying about?

8 A I didn't know it went dry until I heard some of
9 them talking because I haven't been in there since Monroe
10 Baker died. Whenever he was there I would occasionally visit
11 him and I have been up there two or three different times to
12 his place.

13 MR. HOUSTON: That's all the questions I have.

14 MR. RAMEY: Any questions of the witness?

15 MR. RICHARDS: Please, Mr. Chairman.

16

17 CROSS EXAMINATION

18 BY MR. RICHARDS:

19 Q This fruit tree planting is miles away from this,
20 isn't it?

21 A You're right, possibly straight through it's at least
22 five or six miles that way.

23 Q You don't have any idea what the Redbed configuration
24 is between the two areas, do you?

25 A The only thing I know is that the further away it

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 gets the deeper it gets, I mean, down into the Draw there it
2 gets deeper.

3 Q. You say you saw your daddy dig through some soft
4 caliche and found sand under it?

5 A. That's right.

6 Q. You're not trying to tell this Commission that soft
7 caliche and Triassic Redbeds are the same thing, are you?

8 A. No, I'm just trying to say if the water gets to that
9 string of sand which I know is as close as two miles to it
10 then it is going to travel in all of the wells that are drilled
11 and not cased, you know, in that country, it will just trickle
12 right off into them.

13 Q. You say you own a disposal well?

14 A. I own a half interest.

15 Q. Where is it?

16 A. Twelve miles northwest of Eunice, straight west of
17 Eunice.

18 Q. Do you pump it under pressure?

19 A. It all goes on gravity.

20 Q. Do you have any test holes around it?

21 A. I don't have any test holes around it.

22 Q. Do you ever check down there to see what shape
23 that casing is in?

24 A. I sure do.

25 Q. How?

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 A. I have a continuous check on it.

2 Q. Well, good, tell me how?

3 A. The casing is set and full of treated water and we
4 have gauges on the top of it to meet the State requirements.

5 Q. Good, but you don't have any test holes around it to
6 see if it is leaking out of the Redbed, do you?

7 A. I sure don't.

8 Q. How deep is that well?

9 A. We do know that it is traveling down in the oil pay.
10 It's thirty-eight hundred.

11 Q. Good. When did you set off six tons out there?

12 A. About '55.

13 Q. All right.

14 A. I quit out there in '57, it was just awhile before
15 that.

16 MR. RICHARDS: I believe that's all.

17 MR. RAMEY: Any other questions of the witness? Mr.
18 Stamets?

19

20 CROSS EXAMINATION

21 BY MR. STAMETS:

22 Q. Mr. Boyd, Mr. Reed testified that the gravel pits are
23 kind of in a bowl-shaped area in the Redbeds and that this bowl
24 although it's not complete would contain some water. Do you
25 suppose that is why that water was in there when they were

1 mining this gravel out, that it collected in there over a
2 period of time and when you mined the gravel out you just got
3 down to the water that was sitting there on top of the Redbeds,
4 kind of like dipping sand out of a bathtub, take out the
5 bottom inch?

6 A. You're right but the only thing that I see against
7 that is that the standing water in the pit they are talking
8 about putting the water in, if it's the one I'm thinking about,
9 it holds its own level until the trees grow to it and the
10 cattails grow up out of it, you know.

11 Q. There are a number of pits down there and the one --
12 are you thinking of the pit that is closest to the little
13 black-topped road?

14 A. That's right.

15 Q. That's not what they are calling their pit number one,
16 if I understand it right. That pit number one is that long
17 pit east of this deep pit.

18 A. The one I'm speaking of is the first one south of
19 the office beside the black-topped road.

20 MR. STAMETS: That's all the questions I have.

21 MR. RAMEY: Any other questions of the witness? He
22 may be excused.

23 (THEREUPON, the witness was excused.)

24 MR. HOUSTON: Tom Linebery.

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

TOM LINEBERY

called as a witness, having been first duly sworn, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. HOUSTON:

Q Your name is Tom Linebery and you live twelve miles west of Kermit?

A That's right.

Q Do you have a ranch known as the Speed Ranch which is in the vicinity of Mr. Sims' and Mr. Boyd's property?

A Mr. Sims and Mr. Boyd join me on my extreme west.

Q How close does your property lie to these gravel pits?

A Oh, five or six miles. I have several miles of Monument Draw that goes through my ranch.

Q Monument Draw runs through your Speed Ranch that joins Mr. Sims?

A Yes.

Q Does Monument Draw run through your ranch headquarters down by Wink?

A Right.

Q It's the same draw --

A The same draw.

Q That these gravel pits lie on the east side of?

A East side of.

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 Q You have heard the testimony of all of the witnesses
2 here today, haven't you?

3 A Yes, sir.

4 Q Have you inspected those gravel pits?

5 A Less than a week ago.

6 Q On more than one occasion?

7 A I have been there before.

8 Q And did you go there during the past week, did you
9 go there on two occasions?

10 A One.

11 Q On one occasion?

12 A Right.

13 Q All right, what did you observe?

14 A I saw four pits with water in them that I considered
15 fresh water, it was clear water. It was obvious it wasn't
16 rainwater, it wasn't stagnant. One pit was a little murky,
17 three of them was clear as a crystal. I would have been glad
18 to have a drink of it but if I could have reached it. All of
19 the pits had some salt cedars. One or two of them, two of
20 them I believe, had a willow tree or two growing in it and
21 cattails and it was obvious that the water level in all of the
22 pits was constant, so that indicated there was a steady feed
23 into those pits to me.

24 Q Now, you know the great, big pit that they refer to
25 as their pit number one?

1 A. The big, flat-bottomed one we had out there with
2 the wagon drill in it?

3 Q. Yes.

4 A. Yes.

5 Q. All right, there was debris where there was not
6 activity in various points there?

7 A. Yes.

8 Q. Your testimony is that there are salt cedars in all
9 of the pits and on the edges of the pits and around the debris,
10 is that true?

11 A. No just salt cedars where the water was. I didn't
12 see salt cedars growing up there in what they call the spoils.

13 Q. But that did indicate to you that there is water there?

14 A. I saw the water.

15 Q. Did you observe the red clays in profusion or in
16 limited amounts?

17 A. Well, I was looking for red clay but frankly I saw
18 very little in the banks of those pits that I considered red
19 clay. I saw a sign of some red clay in one of the pits, the
20 big pit. It didn't look like it was good quality clay but it
21 had a pinkish color. I assume maybe there was some clay there
22 but you look straight up and down the banks and I didn't see
23 anything that I would call clay or Redbed or Triassic or
24 whatever you want to call it because I couldn't see how that
25 could be clay part way up the bank and had mined sand and gravel

1 out of it right down to the bottom. I didn't think it quit
2 altogether right there on the edge.

3 Q Now, were those pits generally irregular in the
4 bottoms or are they flat bottoms in general?

5 A One pit had a fairly flat bottom but take it as a
6 whole they were as irregular as you could get anything.

7 Q Now, you heard me ask Mr. Reed about the pit that
8 has the water standing in it that was excavated by Mr. Wallach,
9 Senior and he found water in it or found water but it was
10 just a seepy water. You heard me ask if he observed a well
11 there. He said that he did not recall one. Did you hear me
12 ask him that?

13 A Yes.

14 Q Is there a well there?

15 A Yeah, we got out and looked at it and it's cased with
16 it looked like ten-inch casing, eight or ten. It was an open
17 well, the casing was sticking up above ground level, I
18 guess, and there was an old pump jack there, the base of a
19 pump jack, it looked like it had had a pump jack on it. We
20 looked down this well, we could see the water down there. The
21 well was probably as close to that pit that had the water in
22 it as from me to the end of the table but the water level in
23 this cased well was lower than the level in the pit right
24 by it.

25 Q There is no runoff from rainwater in that pit, is there?

1 A. There is no runoff in that pit and no runoff in
2 that well.

3 Q. And both of them had water in them, fresh water,
4 but at different levels?

5 A. Yes.

6 Q. Did you observe cattails in some of those ponds did
7 you say?

8 A. Yes.

9 Q. Weeping willow trees?

10 A. Weeping willow and salt cedar only where there was
11 what I considered live water did I see such.

12 Q. Now then, have you drilled wells in that area and
13 observed other people drilling wells?

14 A. I drilled a lot of wells just to the southeast of
15 there which would be the east side of Monument Draw and we
16 have used all of that country east of there through the Texas
17 side through the years to run cattle on. I never drilled any
18 water well directly east of these pits but I have probably
19 drilled more deep wells deep into the Redbed than anybody
20 down there.

21 Q. All right, the question was asked awhile ago, how
22 deep the Redbed is or how thick the section is, have you
23 drilled through the Redbed anywhere?

24 A. I never got through the Redbed but I have drilled and
25 got water in the Redbed at about three hundred, three fifty or

1 four fifty and seven fifty.

2 Q In the Redbed?

3 A In the Redbed and when you get this water it is a
4 very thin vein of water, they are weak wells, they just
5 barely water cattle and when you go through that little vein
6 you go right back in the Redbed. I never did get completely
7 through the Redbed so I can't tell you -- the deepest well I
8 ever drilled was around eight hundred feet and I was still in
9 the Redbed so I don't know where it is.

10 Q You heard Mr. Reed testify that the top of the
11 Triassic Redbed represents the base of fresh water?

12 A I heard that but it is sure not true when you get
13 east of Monument Draw. That Redbed over there too is very
14 fractured. You will drill good solid Redbed awhile and then
15 you go into a strip of yellow sand or light colored sand, it
16 looks like a silt. You quit in the evening and maybe you got
17 two hundred feet of hole and you come back the next morning
18 and you haven't got but a seventy-five feet hole. It's very
19 fractured, I guess, porous. It will cave in on you awful bad.
20 I have had to get a well there say two, two fifty and had to
21 case it before I could get any deeper on account of the cave-in
22 problem. It indicates to me that that Redbed is very fractured.
23 I know it is fractured with different formations of sand and
24 silt and occasionally you see a speck of gravel.

25 Q I gather then that you would disagree with Mr. Reed's

1 conclusion that if water escapes it will not leak through the
2 Triassic Redbed?

3 A. If it escaped it could go a lot of places over
4 there from my experience in drilling.

5 Q. Even when you don't make a well does it usually have
6 a seep in it?

7 A. Well, drilling over there in that Redbed there is
8 no such thing as you might say a dry hole. You may not get
9 enough water to pay you to put up a windmill but I never drilled
10 a dry hole. You will get maybe from one to three seeps in it
11 but if you don't get enough to make a windmill it's still not
12 dry but you can't make a water well out of it but every well
13 will yield a little water out of something.

14 Q. Do you have anything else you would like to add? Do
15 you have an opinion as to the feasibility or the desirability
16 of these pits being salt water disposal?

17 A. Well, looking at the formation on the spot and the
18 location and knowing that any drainage from there mainly is
19 to Monument Draw which is the biggest supply of fresh water in
20 that whole area down there, if you put it there and the
21 water got away I think we would have pollution all up and down
22 Monument Draw and referring to this as Ogallala I think this is
23 completely wrong, Ogallala doesn't crop out on the top of the
24 ground anywhere down there that I know of and when you get in
25 Monument Draw, Monument Draw probably has the most porous fill

1 in it of anything in that country. It has lots of shallow
2 water in it but most of the shallow water there carries quick-
3 sand but in Monument Draw you can almost take a high-powered
4 air hose and blow you a well down to that first water. There
5 is nothing solid in the Monument Draw watershed that is on the
6 west side and the immediate bottom to stop anything and
7 if you go down to that first water which is a lot of time
8 quicksand, if you will case it along until you hit a strip of
9 Redbed, set your casings and case that upper water off, quick-
10 sand water off, you can go through about twenty feet of Redbed
11 and get real good water that doesn't have quicksand in it, a
12 bigger supply of water than your first shallow water.

13 When you are talking about this being up there in
14 Ogallala, I think you are wrong. Ogallala in all that country
15 is two fifty to deeper.

16 Q. All right, do you have any salt water disposal wells
17 on your ranches?

18 A. In Winkler County, Texas.

19 Q. Do you have more than one?

20 A. One.

21 Q. Do you have any in New Mexico?

22 A. No. My salt water disposal well is about fifty miles
23 from this one.

24 Q. Do you feel that the present use of deep wells to
25 dispose of salt water is a desirable method of disposing of it?

sid morrison reporting service

General Court Reporting Service

825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 A. At least it is the best we know about today and in
2 my opinion I would rather than use a pit as dangerous as this
3 I would rather go back to the old surface pits that you
4 closed several years ago because after all most of them were in
5 clay which is the same Redbed they are talking about. I think
6 really they are less dangerous than what you are talking about
7 here.

8 MR. HOUSTON: That's all I have.

9 MR. RAMEY: Any questions, Mr. Richards?

10

11

CROSS EXAMINATION

12 BY MR. RICHARDS:

13 Q. I'm fascinated by that last statement, Mr. Linebery.
14 Are you suggesting that the caliche-type disposal pits that were
15 in use until the Rule 3221 went into effect are the same, are
16 Redbed Triassic clay?

17 A. No.

18 Q. Oh.

19 A. I do know that in most instances those pits were dug
20 in Redbed. Now, in certain areas they were dug in caliche
21 which I am well aware of because I had probably several hundred
22 of them on me at one time and I was instrumental in getting
23 them closed, at least I meant to be, maybe I wasn't.

24 Q. Now, do you want to go back to the system that you
25 were against before? Which do you want, Mr. Linebery?

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 A. Well, the way we are doing it, putting it into deep
2 wells and on depleted oil zones I think is the best deal and
3 most of them are doing it.

4 Q. Tell this Commission, sir, how -- number one, do
5 you have any formal training in geology?

6 A. I believe you could answer your own question. No,
7 I don't.

8 Q. Thank you. I get to ask them, Mr. Linebery, I don't
9 have to answer them, sir.

10 Tell the Commission in your own words how this water,
11 and give them the facts upon which you based your conclusion or
12 gave your opinion, that any salt water disposed of in the pits
13 covered by this application is going to escape from property
14 owned by the two Wallach brothers and their sister?

15 A. Well, I base my opinion mostly on I just didn't see
16 any kind of Redbed outcroppings that I heard testimony about
17 here today.

18 Q. That's fine. Now, did you hear Mr. Reed describe
19 this as a swale or a draw?

20 A. Yes.

21 Q. Okay, has it been your experience as a rancher that
22 draws are perfectly vertical sided or do they have more of a
23 bowed effect?

24 A. Well, I never saw a swale that didn't have an outlet
25 so this one drains to someplace.

1 Q Now, Mr. Linebery, the question is, are they
2 vertical walled or are they bowed? Do they have sloping walls
3 or do the walls go straight up and down? What has been your
4 experience to make you an expert, I don't know that?

5 Mr. Linebery, I'm sorry, this Commission under its
6 rules permitted you to give an opinion as to whether there was
7 any Triassic clay material in the side walls of these pits and
8 you inspected and didn't --

9 A I can still give you an opinion that I did not see
10 that kind of Triassic material there.

11 Q Okay. Do the walls in a normal draw go straight up
12 and down or do they bow?

13 A They've usually got a little bit of bevel to them
14 but occasionally you will see one straight up and down.

15 Q Let me show you this. If as Mr. Reed testified the
16 walls slope in in this draw and you can't see the wall beyond
17 the edge of the base of it, how do you know whether there is
18 any Redbed behind that material?

19 A Well, sir, since I didn't see any here and I didn't
20 see the Redbed here and I didn't really think I saw any here
21 I begin to wonder if there is any here or here.

22 Q But you will agree with me, sir, that the pit rim,
23 if the Redbed slopes and the pit rim has material deposited
24 upon it down at the bottom that you have Ogallala material,
25 just stuff up here and you wouldn't be able to see that slope?

1 A. If you could prove to me that it slopes then I might
2 take a new look at it.

3 Q. What would it take to prove to you that it slopes,
4 Mr. Linebery, since you are giving us your opinion?

5 A. Not on the ground out there, we would just have to
6 dig down there to expose it.

7 Q. Do you suppose that drilling over a hundred holes out
8 there to find it and charting it on a map was a satisfactory
9 way to locate it?

10 A. Well, I tell you what I saw out there on the ground.

11 Q. Did you dig any holes in it?

12 A. No, I didn't.

13 Q. Did you hear Mr. Reed testify that he did, sir?

14 A. I heard him say he dug holes, yes, sir.

15 Q. You don't believe what he said he found in his holes?

16 A. I'm not ready to buy it a hundred percent, no.

17 Q. Why is he wrong about what his holes showed, Mr.

18 Linebery?

19 A. Well, I'm not buying it that they all showed Redbeds.

20 MR. RICHARDS: I'll pass the witness.

21 MR. RAMEY: In other words, if you weren't there and
22 saw it you wouldn't believe it?

23 MR. LINEBERY: I just know what I saw on top of the
24 ground and I've got reservations, yes.

25 MR. RAMEY: Any questions of the witness? Mr. Stamets?

CROSS EXAMINATION1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. STAMETS:

Q. You mentioned a well, I guess it's there on the grounds of the gravel pit. Now, where is that located? As you drive in you come in on a black-top road and this passes the first pit there that's quite deep and has quite a bit of water in it, it's got a pump and then just on north of that pit is the office and a lot of machinery. Now, where is it located with respect to --

A. If you would place your map back up here I could locate it for you.

(THEREUPON, a discussion was held off the record.)

Q. (Mr. Stamets continuing.) Now, Mr. Linebery, over there on the left-hand side there is kind of a circle.

A. You are talking about a different kind of a map than I thought I had it spotted on.

Q. This is good enough to locate it on if you could. If I remember rightly, the pit that was deep, that has the water in it and has the pump is the one right here and then the office and everything is just up here to the north. Now, with those two points would you locate about where that well might be?

A. Well, this map doesn't look right. They had one awhile ago that showed that pit up here, I think, and I'd like to see

1 it.

2 (THEREUPON, a discussion was held off
3 the record.)

4 A. This was the pit here and it was probably all of
5 twenty or twenty-five feet straight down to the water in that
6 pit and just right there, ten or eleven feet, not over thirteen
7 feet from the edge of that pit was the cased water well.

8 MR. STAMETS: Mr. Wallach, where is your office at
9 your gravel pit in that location while we are on this?

10 MR. WALLACH: It's back --

11 MR. STAMETS: Could you point it out?

12 MR. WALLACH: Well, it's approximately in the same
13 spot you -- this particular pit is not on the map that you
14 are looking at, this pit that he is talking about.

15 MR. RICHARDS: Bob, he asked you where your office
16 was.

17 MR. WALLACH: All right, the office is right down in
18 this area right here.

19 MR. STAMETS: It is a considerable distance then
20 from the pit and the well that Mr. Linebery went out to see.

21 Q. (Mr. Stamets continuing.) Okay, now, you talked
22 about water in four of these pits, now, are these the pits
23 that are right there at the office or are these pits off?

24 A. I'm talking about this pit up here that we just
25 talked about where the well is. Over by the office is another

1 and there were two others.

2 Q. Were the other two right there by the office as well?

3 A. No, and I'll tell you frankly I have been looking at
4 those maps trying to spot them.

5 Q. So of the pits right there in the vicinity of the
6 office, where they are going to put their salt water, only one
7 of those pits contained water at that time?

8 A. Yeah.

9 MR. STAMETS: That's all the questions I have.

10 MR. RAMEY: Any other questions of the witness. He
11 may be excused.

12 (THEREUPON, the witness was excused.)

13 MR. RAMEY: Do you have anything further, Mr. Houston?

14 MR. HOUSTON: That's all.

15 MR. RAMEY: Any statements?

16 MR. RICHARDS: May I have some rebuttal testimony,
17 about five minutes worth, sir?

18 MR. RAMEY: Yes, sir.

19 MR. RICHARDS: Thank you. Mr. Reed.

20 (THEREUPON, Mr. Reed was recalled.)

21

22 REDIRECT EXAMINATION OF MR. REED

23 BY MR. RICHARDS:

24 Q. You heard ranchers Sims, Boyd and Linebery testify
25 about the Triassic Redbed having water below it and being near

1 the surface and inches to a few feet thick. Do you know what
2 they are describing as the Triassic Redbed and what is it as
3 a scientific fact?

4 A. It sounds very much to me like red zones that you
5 find in the Ogallala, generally well above the Triassic
6 Redbed. I have drilled a number of Ogallala wells and found
7 red, silty, clay zones in the Ogallala, underlain by Ogallala
8 gravel and then in turn underlain by Triassic Redbeds.

9 Q. What is the material that underlies the Triassic
10 Redbeds?

11 A. Under the Triassic are Permian age, quite a bit older
12 formations, again in the upper part red siltstones and clays
13 and down into the limestone and dolomites.

14 Q. To your knowledge, based on your experience, did the
15 red Triassic, red deposit, ever overlay the Ogallala sands?

16 A. No, sir.

17 Q. Can you say that without fear of contradiction?

18 A. Yes, sir.

19 Q. You heard some of these gentlemen testify as to the
20 kinds of water they found in Monument Draw and that it wasn't
21 Ogallala water. You heard them describe that you could almost
22 air drill to it. In your experience, and based upon your
23 training, what do you consider that water to be when you locate
24 it in that manner?

25 A. Well, the ground water in the Eunice area, Monument

1 Draw, is Ogallala water.

2 Q Is there any dispute among hydrologists about that
3 fact?

4 A Not to my knowledge.

5 Q There is obviously some dispute between hydrologists
6 and ranchers about that fact?

7 A Yes, sir.

8 Q Can you site this Commission to any evidence of
9 any sort, whether it be written or otherwise, where a hydrolo-
10 gist has said or a geologist has said that the water in the
11 Monument Draw in the Eunice area is not Ogallala water?

12 A Not to my knowledge.

13 MR. RICHARDS: That's all.

14
15 CROSS EXAMINATION

16 BY MR. HOUSTON:

17 Q Mr. Reed, how many wells have you drilled within
18 six miles of these pits?

19 A Aside from the test holes that I have drilled, I
20 have drilled no other wells in this immediate area.

21 Q How close have you drilled a water well to these
22 pits?

23 A I have drilled them in western Texas. The closest
24 one, an Ogallala well that I drilled, is probably a hundred
25 miles, seventy-five, perhaps, miles to the southeast.

1 Q. How close have you drilled a well to the west of --
2 a water well to the west of these pits. You said you drilled
3 them in West Texas, I wonder how close to the west now in
4 New Mexico you have drilled these pits.

5 A. I have not drilled any Ogallala wells in this portion
6 of New Mexico. The closest ones that I have watched the
7 drilling on are like I say, about probably seventy-five to a
8 hundred miles to the southeast that are again Ogallala wells
9 underlain by Triassic.

10 Q. How deep did you drill down at the pits? What's
11 the deepest well that you drilled at the pits?

12 A. I normally just drilled a few feet into the Triassic
13 on all of these holes, a few feet less than fifteen or something
14 like that.

15 Q. You used that wagon drill that's out there, I suppose?

16 A. For some of those I did, yes.

17 Q. What other equipment did you use?

18 A. For the core holes in the pits themselves I used a
19 Mayhew truck mounted core rig.

20 Q. How deep did you go in those?

21 A. The deepest one I went in the pits themselves, my
22 recollection is fifteen to eighteen feet.

23 Q. Now, did I understand you to say that you know that
24 you recognize a Triassic Redbed by what underlies it?

25 A. No, sir.

1 Q How do you recognize a Triassic Redbed?

2 A I recognize a Triassic Redbed by having seen it in
3 an outcrop in areas. I recognize the Triassic Redbed by its
4 red clay nature. It is a heavy, red, dense, almost totally
5 silt and sand free clay with a few siltstone stringers, thin
6 siltstone stringers.

7 Q You heard Mr. Linebery dispute what your analysis of
8 the clay was in the bottom of these pits, didn't you?

9 A Yes, I did.

10 Q And you heard him dispute the quality of that clay
11 from his personal observations?

12 A Yes, sir.

13 Q Now, since the discussion about this cased water well
14 you still don't remember seeing it?

15 A The cased water well?

16 Q Yes.

17 A Is this the one that is supposedly up by the cattails?

18 Q Yes.

19 A I have not seen that, no, sir.

20 MR. HOUSTON: I believe that's all.

21 MR. STAMETS: I have a question or two.

22 MR. RAMEY: Mr. Stamets.

23 CROSS EXAMINATION

24 BY MR. STAMETS:

25 Q Mr. Reed, have you read Groundwater Report Number Six,

1 Geology and Groundwater Conditions of Southern Lea County by
2 Nicholson and Levich, I guess?

3 A. Oh, at one time I think I did but it has been awhile.

4 Q. Would you remember that in this publication there is
5 a section called, Aquifers in Rocks of Triassic Age?

6 A. Yes.

7 Q. And would you recall that it does mention water wells
8 which are completed in the Triassic in southern Lea County?

9 A. There are, as I said in my previous testimony, some
10 Triassic water and again the Triassic water that does occur
11 generally occurs in these silty to sandy zones and again
12 generally in the uppermost portions, to my knowledge.

13 MR. STAMETS: Perhaps the Commission should take
14 administrative note of this report and of that section of
15 the report.

16 I don't have any other questions.

17 MR. RAMEY: Mr. Lucero.

18

19 CROSS EXAMINATION

20 BY MR. LUCERO:

21 Q. Now, you conducted this study and presented certain
22 findings for the purpose of disposing of salt water in certain
23 gravel pits and you have concluded that this Triassic will hold
24 the water with the monitor wells and all that. Have you
25 conducted any other similar studies within, say, ten miles of

1 this area?

2 A. No, not in this immediate area I have not.

3 Q. Have you conducted any similar studies in southern
4 Lea County?

5 A. I have not personally, no.

6 Q. How many studies of this nature have you conducted?

7 A. I have looked at the feasibility of salt water
8 disposal and one salt playa lake in Ward County, Texas. I have
9 investigated the possibility of disposing of waste water from
10 an ammonia plant in the Panhandle which I found totally
11 unacceptable in that particular case. That's all I can
12 remember off the top of my head in the last few years or so.

13 Q. Any with respect to the existing gravel pits with this
14 Triassic formation as in this case?

15 A. No, I have not looked at this particular type of
16 case.

17 Q. So this would be your first one?

18 A. Yes, sir.

19 MR. LUCERO: I have no other questions.

20 MR. RAMEY: Any other questions?

21 MR. RICHARDS: No, not of this witness.

22 MR. RAMEY: The witness may be excused.

23 (THEREUPON, the witness was excused.)

24 (THEREUPON, Mr. Wallach was recalled.)

25

REDIRECT EXAMINATION OF MR. WALLACH

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

BY MR. RICHARDS:

Q Let me ask you how many gravel pits there are in Lea County?

A I'm aware of only two at this time.

Q Thank you. To clear up for the Commission what the situation is on the pond or the dig-out or the pit that was dug a half to three-quarters of a mile north-northeast of your office facility, when it was done, what it was for and if there was a cased well out there.

A Well, like I said before, that is where my dad tried to develop water at that time.

Q Let me ask you, were you successful?

A Not to the extent where we had enough to operate the plant.

Q And how many years ago was that?

A That was probably in 1954 or '55.

Q Thank you.

A Now, the well, the casing is right next to the sheer bluff where we dug and we put that strictly in there to pump the water out. There is no pump in the well and there hasn't been a pump in the well for the last -- the pump that is in there wasn't even used for the last eight or ten years.

Q Was it to pump the water out of the pit or the well beside the pit?

sid morrison reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 A Well, it was to pump the water out of the pit to the
2 plant and this is what I said about the drilling rig was the
3 last one to use that pit and we tried to furnish some water
4 to them and we didn't get enough and they had to run another
5 line to our plant to pick it up out of the pits there, out of
6 our settling pit where we put the water in from our gravel and
7 they used water from that to drill their well with at that
8 time.

9 MR. RICHARDS: I'll pass the witness.

10 MR. RAMEY: Any questions? Mr. Lucero?

11

12 CROSS EXAMINATION

13 BY MR. LUCERO:

14 Q I'm just curious about that well. You said that
15 you didn't get enough water to operate the plant, how much
16 water would the plant use if the well would have furnished
17 it?

18 A Well, I mean this was just for a supplement. It
19 uses a lot of water but we have what we call settling tanks
20 there and we recirculate this water. We get all of our water
21 from the two wells in the Monument Draw and they pump very
22 little water and we supplement with city water. We get most
23 of our water from the City of Eunice and the City of Eunice
24 does not have any wells around Eunice. They get all of their
25 water from the Ogallala formation in Hobbs. It is piped

1 twenty-two miles into the City of Eunice is where they get
2 their water and we purchase water from the City of Eunice to
3 furnish our plant with.

4 Q. Was fresh water secured from this well?

5 A. There was not enough to run the plant.

6 Q. I understand that.

7 A. There is water in it now, Commissioner, you know,
8 like we say there are cattails in there, there is a little
9 seepage on the bottom of that thing. This is the furthestest
10 north in that pit area.

11 MR. LUCERO: That's all.

12 MR. RAMEY: Any further questions of the witness?
13 He may be excused.

14 (THEREUPON, the witness was excused.)

15 MR. RICHARDS: The applicant is at rest.

16 MR. RAMEY: Do you have anything further to add,
17 Mr. Richards?

18 MR. RICHARDS: By way of testimony?

19 MR. RAMEY: Or statements?

20 MR. RICHARDS: Mr. Chairman, I would ask that the
21 Commission take judicial notice of its own trip to the site as
22 to whether or not there is a presence of springs or the filling
23 of water in those pits. I'm aware that the Commission made an
24 on-site inspection and I ask them to take administrative
25 notice of their own observations there.

1 MR. LUCERO: I would like to correct the record.
2 This is one Commissioner who did not make an on-site inspection.

3 MR. RICHARDS: I'm sorry, I understood that this was
4 going to be a full dress show and --

5 MR. RAMEY: The Director of the Commission and
6 several staff members made the inspection.

7 MR. RICHARDS: I'm sorry, I understood that all
8 three of the Commissioners were going. May I ask the Director
9 to take administrative notice then and share his findings.

10 I think this is, you know, a novel situation, don't
11 make any bones about it. I don't think this Commission has
12 ever had a more detailed and open engineered study of a
13 disposal system as an exception to Rule 3221. I think you have
14 heard the testimony of Mr. Reed. He came in and told you that
15 to do it, to put the necessary safeguards on it, things he
16 would recommend be done.

17 I will not attempt to comment upon the difference
18 in the weight that this Commission should give to the evidence
19 of a well-trained hydrologist with an extensive geological
20 background who Sandia respects enough to hire to do their
21 probably most critical underground hydrological testing that
22 has ever been done in this world and especially in New Mexico
23 near Carlsbad and the ranchers -- I won't even comment on that.
24 They didn't bring any witnesses, they brought cowboy opinions.
25 I think they are welcome to their opinions and this Commission

1 is welcome to give it some weight but you honestly need and as a
2 matter of scientific and fact deserve. I respect these men
3 and like them and maybe the Commissioner asked the right
4 question of Mr. Linebery. If you didn't see it and feel it
5 and touch it and look at it and do it yourself it just didn't
6 happen.

7 I think this will work. These people are in an
8 unique position. Commissioner Lucero doesn't have any gravel
9 pits to compare this one with, it's the physical situation.
10 They have the ability to deepen these pits within the area that
11 is described and covered in the report, to level, to bank with
12 material that is on testing, not on anybody's opinion, this is
13 the test at Southwestern. This is beyond the standard set by
14 the Texas Water Quality Board for this sort of thing, it has
15 got more free board and it can contain it totally within that
16 area. I believe it will work and they are in an unique
17 position, they not only have the area but have the equipment to
18 do the dressing up that will make it work. I consider it to
19 be far superior to the typical playa disposal that we have
20 some around Lea County. There has never been the kind of test
21 done that's done here in a limited and controlled environment.
22 If there is ever another gravel pit, a Triassic trough type
23 application comes, I think this will set the standard of
24 excellence for the review and for the engineering that needs to
25 be done. They will do whatever reasonable restrictions this

sid morrison reporting service

General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212

1 Commission wants to put on it and if the restrictions this
2 Commission want to put on it are economically impossible to
3 meet then they obviously won't do it at all. I think this may
4 be a construction permit approach and they get a certification
5 of completion according to your requirements and bring it back.

6 That's all I have to say.

7 MR. RAMEY: Mr. Houston.

8 MR. HOUSTON: Mr. Chairman, with due deference to
9 Mr. Reed's scientific qualifications, I think that the
10 experience that these ranchers have brought here to the
11 Commission concerning the formations that they drill into in
12 their water wells is of genuine merit and should be weighed
13 carefully because regardless of what might be written in the
14 text about the nature of this Triassic Redbed, I think that in
15 drilling these wells we know what exists down there in that
16 region.

17 I think Mr. Sims' testimony concerning gravel pockets
18 and sands and other stratas there are without a doubt there.
19 The presence of water is undisputed, the presence of live
20 water.

21 Mr. Richards says that this is a far more desirable
22 method of the disposal of salt water than ponds. We are not
23 here to argue that. I don't think that there is any doubt
24 about it that the disposal of water in depleted oil producing
25 zones is far superior to any surface disposal. We have ample

1 wells in that region that have been depleted to dispose of in.
2 Mr. Linebery's comment that he would rather go back to the
3 small, individual surface pits rather than this gravel pit
4 didn't mean that he wanted to abandon the Commission's present
5 use of disposal wells, rather he was emphasizing the fact that
6 he considered this a great danger to our water supply and I
7 think all of the ranchers feel that way and frankly I think all
8 of the citizens of the area would feel that way if they were
9 apprised of this.

10 I think Mr. Linebery's on-the-site inspection and
11 observation of the base of the bed of the pits is probably
12 more accurate than Mr. Reed's evaluation on it. I'll admit
13 that I've never drilled a well but I went on the site with
14 Mr. Linebery and I did not observe what Mr. Reed testified to
15 here today.

16 MR. RICHARDS: May it please the Commission, if
17 Mr. Houston would like to testify we might as well have the
18 opportunity to cross examine because he is testifying, not closing

19 MR. HOUSTON: The Commission Director went there and
20 observed it and I trust formed an opinion as to what he saw.

21 Lots of times we get all wrapped up in scientific
22 opinions but as was asked of Mr. Reed, this is his first time
23 to attempt something like this and although I'm willing to give
24 him the benefit of his statement that he thinks that it will
25 work, we certainly don't have any assurance that it will work

1 and I think we are entitled to look at the worst as far as our
2 water supply is concerned to safeguard it and one way of
3 safeguarding it is by the use of disposal wells. There are
4 numerous ones operating in the area and the water is being
5 disposed of and others could be opened up if necessary.

6 I don't think this is a reasonable use for these
7 pits, especially in the location right on the eastern edge of
8 Monument Draw.

9 MR. RAMEY: Thank you, Mr. Houston.

10 MR. RICHARDS: May I rebut? I ask the Commission to
11 take administrative notice of the problems, if any, they are
12 having with subsurface disposal in the Eunice, New Mexico area
13 by disposal wells.

14 MR. RAMEY: Thank you, Mr. Richards. I don't believe
15 you have to remind the Commission of that, they are aware of
16 the problems.

17 MR. RICHARDS: Well, this is in relation to
18 Mr. Houston's statement in this case.

19 MR. RAMEY: Thank you, Mr. Richards, we will take
20 administrative notice of the waterflow problems in the Eunice
21 area.

22 Anything further?

23 MR. RICHARDS: I thank you for your patience.


24 MR. RAMEY: The Commission will take the case under
25 advisement and the hearing is adjourned.

(THEREUPON, the hearing was adjourned.)

REPORTER'S CERTIFICATE

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I, SIDNEY F. MORRISH, a Certified Shorthand Reporter,
do hereby certify that the foregoing and attached Transcript
of Hearing before the New Mexico Oil Conservation Commission
was reported by me, and the same is a true and correct record
of the said proceedings to the best of my knowledge, skill and
ability.



Sidney F. Morrish, C.S.R.

sid morrish reporting service
General Court Reporting Service
825 Calle Mejia, No. 122, Santa Fe, New Mexico 87501
Phone (505) 982-9212