

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

APPLICATION OF KNOX INDUSTRIES       )  
INC. FOR SPECIAL RULES, LEA AND       ) CASE NO. 10280  
ROOSEVELT COUNTIES, NEW MEXICO.     )  
-----)

REPORTER'S TRANSCRIPT OF PROCEEDINGS  
EXAMINER HEARING

BEFORE:     DAVID R. CATANACH, Hearing Examiner  
                  September 19, 1991  
                  8:50 a.m.  
                  Santa Fe, New Mexico

This matter came for hearing before the Oil Conservation Division on September 19, 1991, at 8:50 a.m. at the State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Linda Bumkens, CCR, Certified Court Reporter No. 3008, in and for the County of Bernalillo, State of New Mexico.

FOR: OIL CONSERVATION  
DIVISION

BY: LINDA BUMKENS CCR  
Certified Court Reporter  
CCR NO. 3008

## I N D E X

September 19, 1991  
 Examiner Hearing  
 CASE NO. 10280

APPEARANCES 2

## WITNESSES

Albert L. Stanford

Direct Examination by Mr. Pearce 3

Examination by Mr. Catanach 14

Direct Examination by Mr. Stovall 19

RECESS 20

REPORTERS CERTIFICATE 21

## E X H I B I T S

Knox Industries Inc  
 Exhibits 1 through 10 13

## A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.  
 General counsel  
 Oil Conservation Commission  
 310 Old Santa Fe Trail  
 Santa Fe, New Mexico  
 87501

FOR KNOX INDUSTRIES INC.: MONTGOMERY & ANDREWS  
 BY: MR. WILLIAM P. PEARCE, ESQ.  
 325 Paseo De Peralta  
 Santa Fe, New Mexico  
 87504-2307

1 Q. All right, sir. Let's direct your  
2 attention, please, to Exhibit Number 2. Could you  
3 highlight that exhibit for us, please?

4 A. Okay. This is a combination isopach  
5 structure map Drawn on top of the Lower Abo  
6 porosity. You will note that the structure map  
7 indicates this is on a monocline. The contour  
8 interval in this is 25 feet, and the production  
9 boundaries here are going to be determined by  
10 strategically -- that is, where the Sands get shaley  
11 and tightens up around the edge.

12 The isopach map, the different colors of  
13 the pink or orange, whatever it is, in the middle  
14 shows more than 15 feet. Now, the Knox Industries  
15 Number 2 well there has 16 feet of pay in it above  
16 ten percent porosity. Now, these -- this  
17 information was calculated from old logs.

18 The wells that you see on here are mostly  
19 old wells that have been previously drilled, and  
20 most of them have been plugged out, and the logs  
21 that were available at that time, you know, 25 maybe  
22 30 years ago, there was not a lot of modern log  
23 interpretation to be done, but still, you know, we  
24 were able to determine the ten percent porosity  
25 cutoff, and this map was prepared in October 1990 by

1 Gordon Knox.

2 I have looked over a lot of his data,  
3 checked the logs, and checked the porosity  
4 calculations, and I do agree with this  
5 interpretation.

6 Q. All right, sir. With regard to the log,  
7 let's look, please, at what we've marked as Exhibit  
8 Number 3 to this proceeding, and could you describe  
9 that exhibit for us?

10 A. Yes. That shows the portion of the logs  
11 from the Federal -- or as it's called -- the Purvis  
12 Oil Corporation Federal 3C Number 2. This is the  
13 well that we're talking about there in Section 3,  
14 and it shows the zone of interest being the Abo  
15 porosity interval there between 8934 and 8960.

16 Q. All right, sir. Any other information on  
17 Exhibit 3 that should be highlighted?

18 A. 8950, I'm sorry. No, I don't think so.

19 Q. All right, sir. Let's look at Exhibit  
20 Number 4, please?

21 A. Okay. Exhibit Number 4 is a very simple  
22 cross section. Just a three-well cross-section from  
23 south to south, and its location is north on the  
24 Exhibit 2, which was the structure map, the  
25 cross-section.

1 Q. Okay. Let's get this located. The A A'  
2 line is the line running south to north shown on  
3 Exhibit Number 2, beginning at a well in the  
4 southwest quarter of Section 3; is that correct?

5 A. That's correct.

6 Q. Okay. Go ahead, I'm sorry.

7 A. Okay. This just shows the correlative Abo  
8 interval there. The two wells to the north, which  
9 are the two wells on the right on the cross-section,  
10 are producing wells. The well to the south is an  
11 old well that was drilled. I don't really know  
12 when -- 1969, but it just shows the correlative  
13 Lower Abo porosity interval.

14 Q. Okay. All right, sir. Anything else on 4?

15 A. No.

16 Q. All right, sir. Let's look, please, at  
17 Number 5. And could you describe what's represented  
18 on that exhibit?

19 A. Okay. Exhibit Number 5 is the reserve  
20 determination that I made based on two separate  
21 calculations. The first way is by volumetric  
22 calculations, and this is just a normal industry  
23 accepted method of calculating reserves. I've used  
24 80-acre drainage, 15 feet of net pay, 14 percent  
25 porosity with the water saturation of 25 percent,

1 and then a recovery factor of 15 percent, which is  
2 normally used for reservoirs produced -- or wells  
3 completed in this type reservoir, and I have  
4 calculated recoverable oil at 122,000 barrels.

5           Then I have determined reserves by another  
6 method. In the early life of this well they did  
7 take bottomhole pressures. They had an initial  
8 bottomhole pressure which was taken -- oh, I think  
9 in October or November of 1990, which was 1600  
10 pounds, then in February of 1991 the pressure was  
11 determined to be 1545 pounds, which gives us 55  
12 pounds of reservoir drawdown, and then the oil  
13 produced in that interval time was 6619 barrels, and  
14 that gives us 120.345 barrels per psi of draw down.

15           Then if we can produce this reservoir down  
16 to a bottomhole pressure of 500 pounds, that gives  
17 us remaining reserves as of 2-14-91 of 125,760  
18 barrels. Then when you add back in cumulative to  
19 that date, you get ultimate reserves of 132,379, and  
20 I wish to point out that these two reserve  
21 determination are very close.

22           Q.    Okay. And based on those two calculations  
23 which arrived at very close answers, is it your  
24 professional opinion that at least for the 3C  
25 Number 2 well, something in the vicinity of 120 to

1 130,000 barrels of recoverable oil should be present  
2 on an 80-acre tract in that location?

3 A. That is correct.

4 Q. All right, sir. Let's look at Exhibit  
5 Number 6, and could you describe that exhibit for  
6 us, please?

7 A. Exhibit Number 6 is a production curve  
8 prepared on the Federal 3C Number 2 with a projected  
9 line on that that would allow it to produce the  
10 130,000 barrels of oil ultimate that it is expected  
11 to produce. This has been done to show that this is  
12 a reasonable projection that calculated reserves  
13 will be recoverable in a reasonable method when you  
14 look at it on a production plot and forecast.

15 Q. All right, sir. Having derived what we  
16 believe are reasonable reserves for 80-acre tracts,  
17 I'd ask you to direct your attention to Exhibit  
18 Number 7, and could you describe that for us,  
19 please?

20 A. Yes. Here I have compared the economics of  
21 developing this well on 80-acre spacing as compared  
22 to 40-acre spacing. I have used -- well, for the  
23 80-acre case, which is Number 1, the recoverable  
24 reserves are 130,000 barrels of oil. The drilling  
25 cost of \$510,000, and this comes down to a net

1 profit of \$964,000 which gives you a profit to  
2 investment ratio of 1.89.

3           Now, you know, this is just barely  
4 acceptable economics in this day and time for being  
5 able to drill wells. If we look at it on 40-acre  
6 spacing using half the reserves, and in reality you  
7 might recover one or two percent, more than half if  
8 you drill them on 40-acre spacing, but I've used  
9 65,000 barrels of reserve and a drilling cost of  
10 500,000. That's the difference in the drilling cost  
11 just recognizing that you can drill a well a little  
12 bit cheaper, you have shorter flow lines, probably  
13 are going to serve more wells; things of this  
14 nature.

15           The economics there indicates a net profit  
16 of only \$162,000. This gives a profit to investment  
17 ratio of 4.32, which is not by any measure  
18 acceptable economics for investments in the oil and  
19 gas business at this time.

20       Q. All right. Mr. Stanford, after conducting  
21 the study that you have been describing to us, have  
22 you formed a professional opinion that it is  
23 necessary for the Milnesand Abo Pool to be spaced on  
24 80-acres in order to insure the economic and  
25 economic development and operation of that pool?



1 A. Yes, I have.

2 Q. All right, sir. Let's look, please, at  
3 Exhibit Number 8. Could you describe that for us?

4 A. Exhibit Number 8 is a letter which has been  
5 agreed and accepted to by Petroleum Production  
6 Management Incorporated, which owns the acreage just  
7 to the north in Section 34, and they agree that  
8 80-acre spacing will allow this field to be drained  
9 properly.

10 Q. And looking back at Exhibit Number 1,  
11 Petroleum Production is the company that operates  
12 the other two currently operating wells in the  
13 Milnesand Abo Pool?

14 A. Yes, that's correct.

15 Q. All right, sir. Let's look, please, at  
16 Exhibit Number 9?

17 A. Okay. That's a letter from Knox Industries  
18 BTA where the other people that have acreage in this  
19 area agreeing to the same thing, and they, once  
20 again, agree that 80-acre spacing will properly  
21 drain this pool.

22 Q. All right. Mr. Stanford, is it your  
23 opinion that development and operation of the  
24 Milnesand Abo Pool on 80-acre spacing is in the best  
25 interest of conservation of the natural resource and

1 protection of the correlative rights of interest  
2 owners in that pool?

3 A. Yes, it is.

4 Q. All right.

5 MR. PEARCE: Mr. Examiner, in addition to the  
6 9 exhibits that we've discussed so far, there is an  
7 Exhibit Number 10, which is an affidavit prepared in  
8 my office which has attached to it notice letters to  
9 interest owners within a mile of the Milnesand Abo  
10 Pool boundary pursuant to the provisions of Rule  
11 1207. Those letters were sent by regular mail  
12 rather than certified return receipt, and so we  
13 don't have return receipts to make a part of the  
14 record.

15 Q. (By Mr. Pearce) Mr. Stanford, were  
16 Exhibits 1 through 9 prepared by you, or reviewed by  
17 you, to such an extent that you can attest to their  
18 accuracy?

19 A. Yes, they were.

20 MR. PEARCE: Mr. Examiner, at this time I  
21 would move the admission of Exhibits 1 through 10,  
22 and I have no further questions for the witness.

23 EXAMINER CATANACH: Exhibits 1 through 10 will  
24 be admitted as evidence.

25 (Knox Industries Exhibits 1

1 through 10 were admitted as evidence.)

2 EXAMINATION

3 BY EXAMINER CATANACH:

4 Q. Mr. Stanford, are Knox and Petroleum  
5 Production Management -- they're the only two  
6 current operators in the pool?

7 A. Yes, that's correct.

8 Q. BTA has acreage within the pool?

9 A. Yes. Some of that -- some of that acreage  
10 up in Section 33 -- See the west half of 33 up to  
11 the north? That is owned by BTA.

12 Q. Okay. Do you know when this pool was first  
13 discovered?

14 A. Yes. It was first discovered by the  
15 drilling of the Petroleum Production Management Well  
16 693. Number 3 well, I believe it's called. I do  
17 not know the exact date, but it was approximately --  
18 it was in 1990. I've got the production figures on  
19 the well here somewhere. It's a relatively new  
20 pool.

21 Q. Okay.

22 A. About a year-and-half old I think.

23 Q. Now, have there only been three wells  
24 drilled in the pool, or have there been some wells  
25 drilled and plugged?

1       A.     No.   That's the only three wells that have  
2 been drilled in the pool.   As a matter of fact,  
3 re-entries were attempted by both PPI and -- well,  
4 it wasn't Knox Industries at the time, it was Purvis  
5 Oil Company who was the operator, but it was a  
6 Federal 3C Number 2.   They attempted re-entry on the  
7 old holes on both of those wells, but the casing had  
8 been shot off and they were unable to get back in  
9 their casing and complete, so they drilled new holes  
10 in both those cases, and the well up to the  
11 northeast -- there was a new well that was drilled  
12 also.

13       Q.     Okay.   Have you done any reserve  
14 calculations on any of the other two wells in the  
15 pool?

16       A.     No, not really.   I do know that the  
17 number -- the well just to the north of the Federal  
18 3C, it's a slightly better well production wise,  
19 which you would not think it should be looking at  
20 the isopach map, but we have done some studies of  
21 the completion procedures and the treating  
22 procedures and we have found out that Purvis did not  
23 open up about two or three feet of pay.

24               If you look on the log there you will  
25 notice down below --

1 MR. PEARCE: I'm sorry. Referring to  
2 Exhibit 3?

3 THE WITNESS: Yes.

4 MR. PEARCE: Okay. Go ahead.

5 A. See, there's another little section down  
6 below the red-colored section there which, you know,  
7 I haven't colored it in, but it sure looks like it  
8 ought to be net pay, and now we are evaluating the  
9 opening of this and going back in and re-acidizing  
10 the well, so, my opinion is that the Federal 3C well  
11 will be -- is good or better than the well to the  
12 north, so, you know, they're going to recover  
13 probably similar amounts of oil log at the net pay  
14 that's available and the drainage, and so forth.

15 Q. On your Exhibit Number 6, the line on your  
16 curve seems to change dramatically in the -- well,  
17 it starts to flatten out instead of going down the  
18 way it initially starts.

19 A. Well, you know, this is a typical  
20 hyperbolic-type curve which most wells that are  
21 drilled in reservoirs that have no water drive, you  
22 know, that's typically how they will perform. You  
23 have a steeper decline which flattens out, and then  
24 I used, I believe, an 8 percent decline, you know.  
25 After it rounds the curve and starts going straight,

1 that is an 8 percent decline.

2 Q. You haven't actually seen that production  
3 decline flatten out?

4 A. Not flatten out, no, because -- see, we're  
5 still up at the point where it's coming down, but,  
6 you know, that's a normal extrapolation to, but I  
7 did not prepare this curve to estimate reserves  
8 from. I prepared this curve to see if the reserves  
9 that were estimated by two other ways looked  
10 reasonable, and they do look reasonable.

11 Q. Is Knox just asking for 80-acre spacing  
12 plus -- do you know the typical well location  
13 requirements associated with 80-acre spacing?

14 A. No, I'm not familiar with the tested ones.  
15 However, they are requesting standup 80s, or would  
16 like to have the standup 80s.

17 Q. Now generally the Division doesn't limit  
18 the orientation of the spacing units.

19 A. Yes, sir, I'm aware of that.

20 Q. Why are they asking for that?

21 A. I can't answer that, sir. They just  
22 instructed me to come try to get standup 80s. I  
23 told them that they -- if they didn't restrict that  
24 they would have the option of doing it either way.  
25 That's all I can say, sir.

1 MR. PEARCE: It's my understanding,  
2 Mr. Examiner, that the three wells currently in  
3 operation in that pool are on standup 80-acre  
4 tracts, and they believe that it will lead to more  
5 orderly future development of the field if it  
6 expands for that provision to continue.

7 Q. (By Mr. Pearce) Getting back to the well  
8 location requirements, the Division generally  
9 requires a well to be located within 150 feet of the  
10 center of either quarter section. I assume that's  
11 fine with Knox?

12 A. Yes, that will be fine.

13 Q. Also, generally when we establish pool  
14 rules they're for a temporary period of 18 months to  
15 two years at the end of which the applicant is  
16 required to come back in and show us some additional  
17 evidence. Is Knox prepared to do that?

18 A. Yes.

19 Q. Okay.

20 A. We will like -- I mean, if you have a  
21 latitude between 18 months to two years, we would  
22 like to request two years if possible to give us a  
23 little bit more time to properly evaluate the field.

24 Q. And notification was given to all operators  
25 or owners of acreage in the pool and within one-half

1 mile of the pool boundaries?

2 A. Within a mile, yes.

3 Q. Oh, within a mile. Sorry.

4 MR. STOVALL: Just working interest; is that  
5 correct, Mr. Pearce?

6 MR. PEARCE: Well, as a matter of fact,  
7 Mr. Stovall, you may recognize that this case has  
8 been continued for some amount of time. It was  
9 caused by title searches. We didn't feel secure  
10 with just working interest owners.

11 MR. STOVALL: So this includes the royalty  
12 interest as well?

13 A. Yes, it does. And it cost a great deal  
14 more money and took a great deal more time.

15 MR. STOVALL: I wish I had known that a week  
16 ago. I just have one question on the orientation of  
17 the spacing unit.

18 DIRECT EXAMINATION

19 BY MR. STOVALL:

20 Q. I mean, is that -- it's not based upon  
21 necessarily any geological fact other than the fact  
22 that they think orderly development; is that  
23 correct?

24 A. Not that I'm aware of.

25 Q. I'd express a legal opinion on that, but I



1 prefer to leave that in the hands of the operators  
2 than to the Division, so I have to consider that.

3 EXAMINER CATANACH: Just one more question.

4 Q. (BY Mr. Catanach) Are you aware if  
5 Petroleum Production Management has enough acreage  
6 to currently dedicate 80 acres to each of their  
7 wells?

8 A. Yes.

9 Q. They do?

10 A. Well, you know, I don't know that. I'm not  
11 a land man. I've not researched the records, but,  
12 you know, I have been told that they have the  
13 leases. Theirs are all of the leases in the south  
14 half of Section 34, which would give them that  
15 necessary acreage.

16 EXAMINER CATANACH: Okay. That's all I have.  
17 The witness may be excused. There being nothing  
18 further in this case, Case 10280 will be taken under  
19 advisement.

20 MR. PEARCE: Thank you, Mr. Examiner.

21 (The foregoing case was concluded at the  
22 approximate hour of 9:00 a.m.)

23 I do hereby certify that the foregoing is  
24 a complete record of the proceedings in  
the Examiner hearing of Case No. 10280,  
25 heard by me on September 19 19 91.

David R. Catanach, Examiner  
Oil Conservation Division

1 STATE OF NEW MEXICO       )  
                                  ) ss.  
2 COUNTY OF BERNALILLO     )

3 REPORTER'S CERTIFICATE

4 BE IT KNOWN that the foregoing transcript of  
5 the proceedings were taken by me, that I was then  
6 and there a Certified Shorthand Reporter and Notary  
7 Public in and for the County of Bernalillo, State  
8 of New Mexico, and by virtue thereof, authorized to  
9 administer an oath; that the witness before  
10 testifying was duly sworn to testify to the  
11 whole truth and nothing but the truth; that the  
12 questions propounded by counsel and the answers of  
13 the witness thereto were taken down by me, and that  
14 the foregoing pages of typewritten matter contain a  
15 true and accurate transcript as requested by counsel  
16 of the proceedings and testimony had and adduced  
17 upon the taking of said deposition, all to the best  
18 of my skill and ability.

19 I FURTHER CERTIFY that I am not related to  
20 nor employed by any of the parties hereto, and have  
21 no interest in the outcome hereof.

22 DATED at Bernalillo, New Mexico, this day  
23 November 11, 1991.

24 My commission expires  
25 April 24, 1994

LINDA BUMKENS  
CCR No. 3008  
Notary Public