

STATE OF NEW MEXICO
OIL CONSERVATION COMMISSION

IN THE MATTER OF:)
THE HEARING CALLED BY THE)
OIL CONSERVATION COMMISSION)
TO CONSIDER:)

Case No. 10290

APPLICATION OF AVON ENERGY)
CORPORATION FOR AMENDMENT OF)
DIVISION ORDER NOS. R-3185, R-3185-A)
AND R-3528 TO EXPAND THE VERTICAL)
LIMITS AND TO ESTABLISH AN INJECTION)
PRESSURE LIMITATION FOR THE)
TURNER "B" LEASE WATERFLOOD PROJECT,)
EDDY COUNTY, NEW MEXICO.)

REPORTER'S TRANSCRIPT OF PROCEEDINGS

DIVISION HEARING

BEFORE: DAVID R. CATANACH, Examiner

August 8, 1991
8:41 a.m.
Santa Fe, New Mexico

This matter came on for hearing before the Oil
Conservation Division on August 8, 1991, at 8:41 a.m.
at the conference room, State Land Office Building, 310 Old
Santa Fe Trail, Santa Fe, New Mexico, before Susan G.
Ptacek, Certified Court Reporter for the State of New
Mexico.

FOR: OIL CONSERVATION
DIVISION

BY: SUSAN G. PTACEK
Certified Court Reporter
CSR No. 124

1	I N D E X	
2	August 8, 1991	
3	Commissioner Hearing	
4	Case No. 10290	
5		PAGE
6	APPEARANCES	3
7	AVON WITNESSES:	
8	PERRY HUGHES	
9	Direct Examination by Mr. Kellahin	6
10	Examination by Mr. Catanach	37
11	REPORTER'S CERTIFICATE	48
12	* * *	
13	E X H I B I T S	
14		ADMTD
15	AVON EXHIBIT	
16	1	37
17	2	37
18	3	37
19	4	37
20	5	37
21	6	37
22	7	37
23	8	37
24	9	37
25	10	37
26	11	37
27	12	37
28	13	37
29	14	37
30	15	37

A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.
General Counsel
Oil Conservation Commission
State Land Office Building
310 Old Santa Fe Trail
Santa Fe, New Mexico 87501

FOR AVON ENERGY KELLAHIN, KELLAHIN & AUBREY
CORPORATION: Attorneys at Law
BY: W. THOMAS KELLAHIN, ESQ.
117 N. Guadalupe
Santa Fe, New Mexico 87501

* * *

1 MR. CATANACH: At this time we will call Case 10290.

2 MR. STOVALL: Application of Avon Energy Corporation
3 for amendment of Division Order Nos. R-3185, R-3185-A and
4 R-3528 to expand the vertical limits and to establish an
5 injection pressure limitation for the Turner "B" Lease
6 Waterflood Project, Eddy County, New Mexico.

7 MR. CATANACH: Appearances in this case?

8 MR. RICHARDSON: Mr. Examiner, I'm Tom Kellahin of the
9 Santa Fe law firm of Kellahin, Kellahin & Aubrey, appearing
10 on behalf of the applicant; and I have one witness to be
11 sworn.

12 MR. CATANACH: Any other appearances? Will the
13 witness please stand and be sworn in?

14 MR. KELLAHIN: Mr. Examiner, our prehearing statements
15 indicate that Mr. Roy Williamson would have been our
16 engineering witness. He had a family problem he had to
17 attend to, and he left last night. I would like to
18 substitute Mr. Perry Hughes as my expert witness.
19 Mr. Hughes is a petroleum engineer. He's been intimately
20 involved with this project for Avon Energy Corporation, and
21 with your permission I would like to substitute him at this
22 time.

23 MR. CATANACH: Absolutely.

24 MR. RICHARDSON: In addition, let me hand you,
25 Mr. Examiner, the copy of the application that we filed in

1 this case, because I think it might provide a quick
2 reference to refresh your recollection of what Avon is
3 seeking to accomplish. This is part of an old waterflood
4 project that dealt with the Turner "B" lease. The Turner
5 "B" lease has been divided into two areas that we're going
6 to talk about. The original project area was approved in
7 '67 by the Oil Conservation Division for flooding into the
8 Grayburg and San Andres formations without a surface
9 pressure limitation. It predates the underground injection
10 control regulations.

11 There was -- and I can give you a copy of that
12 now -- the original order that approved the flood is our
13 3185. Attached to that order is an amendment or a
14 correction of the unorthodox well locations. Thereafter in
15 '68 there was an expansion of this Turner "B" lease flood
16 to what we've characterized as the expansion area. The
17 expansion area deals with the flooding of the Premier
18 member of the Grayburg, and it does so without a pressure
19 limitation. That expansion order is set forth as 3528, and
20 I've provided you with a copy of that order.

21 What Avon is seeking to accomplish, with the
22 division's approval, are two basic things: One is to
23 increase the vertical area exposed to water flooding, so
24 that in the expansion area it is not solely limited to the
25 Premier, but that it now also includes the entire Grayburg

1 and San Andres formations of the -- the Grayburg Jackson
2 pool. In addition, we want approval to inject water into
3 the injection wells at a surface pressure limitation of 450
4 pounds above the separate pressure. As additional items,
5 we would like to have an administrative procedure by which
6 we can ask for several things; one administrative approval
7 for the drilling at standard and unorthodox locations of
8 the additional injection wells, plus a procedure
9 administratively to increase the injection pressure if that
10 becomes necessary over and above the current request.

11 Mr. Hughes is intimately familiar with the
12 Socorro project in Keel-West, which is just to the north of
13 this project, in which the division has previously approved
14 a prior application for Socorro in which they have a
15 similar 450-pound over the step rate rakeover pressure, and
16 would like to demonstrate to you the engineering reasons
17 that support his ultimate conclusion about the
18 appropriateness of applying a step rate increase pressure
19 limitation of 450 pounds to this project.

20 With those preliminary statements then, I would
21 like to go ahead and introduce Mr. Hughes and his
22 testimony.

23 PERRY HUGHES,
24 the Witness herein, having been first duly sworn, was
25 examined and testified as follows:

EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Hughes, for the record, would you please state your name and occupation?

A. My name is Perry Hughes. My address is 707 Shell Avenue, Midland, Texas. I'm an engineering consultant, and I've worked with this project area for little over three years.

Q. On prior occasions have you testified before the division?

A. No, sir, I have not.

Q. Would you summarize for the examiner your education?

A. I'm a graduate of West Virginia University, petroleum engineering, 1965; 26 years of petroleum engineering experience.

Q. Summarize more specifically your engineering experience with regards to the Avon project, as well as your familiarity with the Socorro project in the Grayburg and San Andres waterfloods.

A. Socorro, and what has become part of their property operated by Avon, acquired these properties about three years ago from Hondo Oil and Gas, and I have worked very closely with the operations, the drilling and production and reservoir engineering of these properties

1 continuously in that time frame.

2 Q. As part of your engineering work have you
3 specifically made a study of the pressures that you're
4 going to require and need in order to make this waterflood
5 project and the Turner "B" lease a successful project?

6 A. Yes, sir, I have. We -- when Socorro acquired
7 the properties, and the Keel-West flood was instituted, it
8 became very obvious that significantly high injection
9 pressures would be required to move -- to put water into
10 the formations and to move oil through the formations,
11 because of the very type nature of the Grayburg and San
12 Andres horizons.

13 We studied in detail the Keel-West area and
14 subsequently the Turner "B" areas and have determined that
15 they're very similar. They're the same -- under the same
16 geologic conditions, and we've also studied -- I've also
17 studied other floods in the area, dating from the middle
18 '60s, and have determined that high injection pressures
19 were required in those floods, and those floods were
20 successful and there has been no evidence of any migration
21 of injected fluids out of the objective horizons, being the
22 Grayburg and San Andres intervals.

23 Q. As a petroleum engineer have you been able to
24 develop what, in your opinion, is sufficient data and
25 information upon which to formulate conclusions and

1 opinions concerning the appropriate level of injection
2 pressures for these injection wells?

3 A. Yes, I have; and we have looked at -- we have
4 conducted step-rates for Socorro, and that was part of our
5 application and subsequent order in June of last year,
6 which indicated high parting pressures. We have conducted
7 similar studies and have determined that higher pressures
8 are required. We have conducted step rates in the area of
9 interest here on the Turner "B" and will present that
10 evidence to you, and it is apparent to Avon and to me that
11 the higher injection pressures will be required to recover
12 significant quantities of the oil that remains in the
13 reservoir.

14 Q. In addition, have you, Mr. Hughes, under your
15 direction and supervision caused the Commission Form C-108
16 to be completed, prepared and filed with the division?

17 A. Yes, sir, I have.

18 MR. KELLAHIN: At this time, Mr. Examiner, we tender
19 Mr. Hughes as an expert petroleum engineer.

20 MR. CATANACH: He is so qualified.

21 Q. (By Mr. Kellahin) Mr. Hughes, let me ask you to
22 direct your attention to what we've marked as Avon Exhibit
23 No. 1. On that locator map, if you will, to refresh the
24 examiner's recollection, identify for us, first of at all,
25 the Turner "B" waterflood project area.

1 A. That is in the lower right-hand portion shown as
2 -- primarily in Section 29, 17, 31.

3 Q. And there is a white label that directs your
4 attention to that area?

5 A. Yes, sir.

6 Q. When we look for the Socorro Keel-West
7 waterflood, how do we find that?

8 A. Immediately to the north.

9 Q. How is that identified?

10 A. As "Socorro Petroleum Keel-West Phase 1
11 Waterflood."

12 Q. You have also shown two other areas that you
13 outlined in a green outline. What's that purpose?

14 A. In the middle of the map is an area operated by
15 Devon Engineering, which is one of the -- which an
16 application was made in 1989 to provide for, and an order
17 issued to provide for injection at 450 pounds above
18 step-rate gradients, and in the lower left-hand corner is
19 an Anadarko Ballard Unit, which Anadarko made application
20 for and received order in 1988 to inject at 450 pounds
21 above parting pressure.

22 Q. Let's turn now to Exhibit No. 2. Identify for
23 me Exhibit No. 2.

24 A. Exhibit No. 2 is a lease map, which zeros in on
25 the Socorro and Avon acreage, the Socorro acreage being in

1 the top half of the map, and the Avon acreage being down in
2 Sections 20, 29 and 30. We also identify a line of cross
3 section running north to south, which will show the
4 relationship of the Grayburg and San Andres intervals
5 across that section.

6 In the Avon acreage, which is identified as
7 "Avon Energy Turner "B" Waterflood Expansion," we identify
8 the 12 wells, which are injection wells which are a part of
9 this application for expansion vertically and for the 450
10 pounds above parting pressure.

11 Q. How have you identified the -- is it 12
12 injection wells in the expansion area?

13 A. They are identified by -- the 12 wells are
14 identified by the six-sided forms on the map.

15 Q. What is the current limitation on pressure for
16 those six injection wells?

17 A. The current limitation for the injection wells
18 is two-tenths of a psi per foot.

19 Q. On the expansion injection wells in the Premier
20 member, is there any pressure limitation on those wells?

21 A. There is no pressure limitation under the 1968
22 order, no pressure limitation at all, only in the Premier
23 member.

24 Q. Identify for us the area within the Turner "B"
25 lease for which you seek approval to expand the waterflood

1 to include not only the Premier member, but the entire
2 Grayburg/San Andres interval?

3 A. Is that interval -- that area including all of
4 Section 29, the bottom quarter of Section 20, and the
5 southeast quarter of Section 30, T 17 South, 31 East.

6 Q. Let's use this display, Mr. Hughes, to also
7 identify for the examiner those injection wells that have
8 been used as test wells upon which you have taken the new
9 step-rate test information.

10 A. Step-rate tests have been run in three wells in
11 -- each of those being in Section 29. Those are in -- are
12 numbers 47, 50, and 61. 47 is located in the northwest of
13 the northeast quarter. 50 is in the northwest of the
14 northwest quarter, and 61 is the northwest of the southeast
15 quarter of that section.

16 Q. Did you obtain the division district approval
17 for the selection and use for those three wells as the test
18 wells by which you took the step rate test information?

19 A. Yes, we did.

20 Q. When we look at the line of cross section going
21 from the Keel-West waterflood down through -- in a
22 north-south direction through the Turner "B" explanation
23 area, there is a line of cross section. What is the
24 purpose of making that cross section, Mr. Hughes?

25 A. What I wanted to portray by the cross section,

1 which we will show in Exhibit 4, is that the Grayburg and
2 San Andres intervals are the same going from north to
3 south. There is only a slight expansion or thickening of
4 the Grayburg as we move from north to south.

5 Q. Let's use Exhibit No. 2 as a reference map, and
6 have you turn now to the type log that's marked as Exhibit
7 No. 3. Identify for us, using the type log, the interval
8 that you're seeking to have approval to waterflood in this
9 expansion area.

10 A. The type log is one of the -- is a log of one of
11 the 22 new wells drilled by Avon in -- in this case it's
12 number 97 in Section 20, indicating -- showing the entire
13 Grayburg interval with local designations of productive
14 horizons being the Loco Hills, Metex, Square Lake and
15 Premier; and the San Andres interval productive horizons
16 being the Vacuum, the Lovington and the Jackson.

17 Considerable San Andres interval extends below
18 the bottom of this log, something on the order of a
19 thousand feet, but it is not indicated to be productive in
20 any area of the subject area.

21 Q. When we look at the top of the Grayburg, how do
22 we find that on the type log?

23 A. It's designated and it occurs in this well at
24 about a measured depth of 2760 feet.

25 Q. So the label that says "Grayburg" indicates the

1 top of the Grayburg?

2 A. That is correct.

3 Q. When we look at the expansion area and the wells
4 -- producing wells in the expansion area, identify for us
5 the general area in the Grayburg and San Andres in which
6 those wells have been perforated.

7 A. Most of the wells, the productive and the
8 proposed injection wells, have productive intervals in all
9 of the indicated horizons in the Grayburg, being the Loco
10 Hills, Metex, Square Lake and Premier; and in the San
11 Andres, being the Vacuum, Lovington and Jackson. It
12 appears that wherever porosity is developed, we have oil
13 saturation in place.

14 Q. Let's turn to the cross section now, Mr. Hughes,
15 Exhibit No. 4. Using this cross section, Mr. Hughes,
16 please give us the factual information upon which you base
17 your conclusion that the Turner "B" Expansion Area is
18 geologically similar to the Keel-West waterflood area.

19 A. This cross section shows three wells; and if we
20 refer to Exhibit 2 as to their location, left to right is
21 north to south. We have each of -- on these logs is a --
22 is a porosity -- gamma ray porosity log. We show the top
23 of the Grayburg and the top of the San Andres in each well,
24 and we can see porosity development in -- the porosity
25 development in the Grayburg and in the San Andres

1 intervals.

2 We go from -- and as I mentioned before, as we
3 go from north to south we have an expansion of the Grayburg
4 section, and that is due to coming off of the major
5 geologic feature that runs east and west from -- from the
6 Artesia area toward the Vacuum area in Lea County.

7 Q. Are both the Keel-West project and the Turner
8 "B" Expansion project in the Grayburg-Jackson pool?

9 A. Yes, they are.

10 Q. When we look at the expansion area, do you have
11 an opinion as to whether or not it is geologically suitable
12 to flood not only the Premier member but the entire
13 Grayburg-San Andres productive intervals?

14 A. It appears to me that the Grayburg and San
15 Andres intervals will be extremely amenable to water
16 flooding. We know that in the expansion area the Premier
17 flood was successful. We know that in the areas, as set
18 out in the 1967 order, which includes the Turner "B" in the
19 southern part of Section 17 and northern part of Section
20 20, that that flood which was conducted into all members of
21 the Grayburg and San Andres was successful.

22 Q. In your opinion, are there additional oil
23 reserves to be recovered if the interval being flooded is
24 expanded to include not only the Premier, but the other
25 members of the Grayburg-San Andres?

1 A. Yes, sir. It's my opinion that significant
2 quantities of oil will be recovered under waterflood
3 operations.

4 Q. Let's turn now to the issue of the pressure
5 limitation. Describe for us what your opinion is
6 concerning the appropriate level to start water injection
7 in the expanded area in terms of the pressure limitation at
8 the surface. What's your ultimate conclusion?

9 A. Based on the work that I have done, it appears
10 that pressures significantly higher than the two-tenths of
11 a psi per foot gradient will be required. Studying old
12 injection records from the Sinclair and Arco floods that
13 were conducted in the '60s and '70s, we find out that
14 significantly higher pressures were required.

15 There were no pressure limitations at the time
16 those floods were conducted, instituted and conducted, and
17 that we see that significantly higher pressures are
18 required in the order of 1600- to 2,000-pound surface
19 injection pressure.

20 Q. As a general rule of thumb, if we apply the .2
21 psi per foot of depth limitation and calculate that surface
22 pressure, what would it generally be in the expansion area?

23 A. We're looking at a maximum allowable pressure in
24 the range of 600 to 650 pounds, and our testing that we
25 have been able to conduct on the wells in Section 29 --

1 those being 47, 50 and 61 -- have indicated that at the
2 two-tenths of a psi per foot gradient, that little or no
3 water could be injected at that pressure -- at those
4 pressures.

5 Q. When you conduct the step rate test, what is the
6 surface pressure range in a general range for the level of
7 pressure using the step rate by itself?

8 A. Step-rates indicated a parting pressure of
9 little over 1200 pounds. 1200 -- we have an exhibit that
10 sets these out, but it's a little over 1200 pounds on
11 average of the three.

12 Q. You have requested a surface pressure limitation
13 of 450 pounds above the parting pressure shown on the step
14 rate test.

15 A. That's correct. We're asking for 1650 pounds
16 surface injection pressure maximum.

17 Q. That is an initial starting pressure then for a
18 surface limitation for this waterflood project?

19 A. That's correct. It's possible that -- and I
20 think you alluded to this in your introductory statements
21 -- that we may need to come back at some point in time in
22 the future. We would like to have the opportunity to
23 handle that administratively if possible. There's question
24 in my mind as to whether the 1650 pounds will be adequate
25 over the life of the project.

1 Q. What is the basis for your conclusion that you
2 need a starting pressure of 450 pounds above the parting
3 pressure?

4 A. Based on my studies of old floods, the Premier
5 flood that was conducted, the Grayburg-Jackson --
6 Grayburg-San Andres floods in Sections 17, 18, 19 and 20,
7 as shown on Exhibit 2, and my studies of the Socorro -- the
8 ongoing Socorro Phase 1 Keel-West flood, and the Sinclair
9 Arco flood that was conducted the west half of the Socorro
10 acreage to the north.

11 Q. Let's take a moment and talk about Socorro's
12 Keel-West. That is a project that's previously approved at
13 the pressure rates you're proposing for Turner "B". Has
14 that approval of those pressures been a positive?

15 A. Yes. Socorro, upon obtaining the order in June
16 of 1990, started injecting at the allowed pressure of 450
17 pounds above the step rate. The average step-rate in the
18 Keel-West Field Phase 1 Waterflood was 1711 pounds;
19 therefore the average allowed injection pressure in that
20 area is 2150 plus psi. Response has been seen. Socorro
21 perhaps has not pursued this flood as diligently as they
22 might. They have not yet converted some of the old
23 producing wells to injection, and have indeed instead
24 focused their attention and their available monies down
25 into the Socorro-Avon project down in the Turner "B" area.

1 Q. When we look at the Keel-West, at a current
2 state of development under that order, have there been any
3 operational problems for that operator?

4 A. What Socorro has seen is high injection
5 pressures, which we anticipated. A decreasing volume --
6 injection volume on a per-well basis. We feel that this is
7 probably caused by plugging of the formations in the near
8 wellbore area by solids, which are injected into the --
9 with the injected fluids. The injected fluids in both
10 cases are primarily produced water with some make-up fresh
11 water. And it appears that plugging is occurring and
12 Socorro is currently investigating how to -- what
13 procedures are required to reduce the injection pressures
14 or to better manage their flood through proper injection
15 volumes.

16 Q. Are you aware of any problems in the Keel-West
17 area that would cause you concerns about recommending to
18 the examiner that he approve the Turner "B" expansion?

19 A. There have been no indications of problems,
20 mechanical or the migration of fluids, in the Socorro area
21 at all.

22 Q. Have you made an investigation, Mr. Hughes, to
23 determine whether or not the fractures propagated by use of
24 a surface pressure limitation of 450 pounds above the
25 parting pressure would cause those fractures to be

1 propagated outside the limits of the pool?

2 A. We have done -- Socorro and Avon used frac
3 height log predictions as to surface pressures that would
4 be required to propagate a frac upward into or out of the
5 Grayburg. We have run after-frac prism logs, in which the
6 frac material was tagged with radioactive material, and
7 have run many after-frac logs, which are designated as
8 prism logs or gamma control logs. There has been no
9 indication that the fracs have extended more than a few
10 feet above the uppermost perforated interval, and in no
11 case out of the Grayburg interval.

12 Q. Let's turn to that data now, Mr. Hughes. Let me
13 turn your attention to what is marked as Exhibit No. 5.
14 Identify and describe for us what you have summarized on
15 the cover page for Exhibit 5.

16 A. Avon, as part of their 22-well infill
17 development program, ran frac hite or frac migration logs
18 on two wells; those being Turner "B" 85 and Turner "B" 84.
19 Those are located in the northeastern part of Section 29.
20 These logs are --

21 Q. Let me ask you this: Is the use of 85 and 84,
22 in your opinion, typical of what you would see if other
23 wells had been used in the expansion area?

24 A. The logs, the open hole logs, and the
25 performance of these wells, 84 and 85, would appear to be

1 typical of all of the area under this expansion
2 application.

3 Q. What does this show?

4 A. Frac hite, frac migration logs are calculations
5 using open hole logs and in particular full- or long-wave
6 sonic logs, and the calculation the rock mechanics which
7 are required to fracture a particular interval in a
8 wellbore. It's an electric log measurement, and then the
9 calculation is done utilizing in this case Schlumberg J and
10 Atlas computer programs; and they determine a frac gradient
11 at any point in the wellbore, and in this case we examined
12 the frac gradient at the point of the highest perforation
13 in each well, and then calculated what that gradient would
14 mean as a surface injection pressure.

15 In this case we find that in these two wells
16 surface injection pressure of about 2175 psi would be
17 required to frac above the uppermost perforation. In the
18 case of 85, it's 20 feet, and in the case of 84 it's 75
19 feet. Both of these intervals are -- remain well within
20 the Grayburg interval. The logs are attached which show
21 the computer process interpretation as done by Schlumberg J
22 and Atlas.

23 Q. A requested maximum injection pressure at the
24 surface for this project area would be below the surface
25 pressure calculated for 85 and 84?

1 A. More than 500 pounds below.

2 Q. All right. Let's turn now to Exhibit No. 6,
3 Mr. Hughes. Identify that for us.

4 A. Exhibit No. 6 is a summary of frac treatments,
5 which have been conducted on the Turner "B" lease. There
6 are 29 treatments summarized, and what is of interest --
7 most interest on this summary is the column, the far column
8 to the right, which is the initial shut-in pressure after
9 frac.

10 The initial shut-in pressure and frac is an
11 indication of the parting pressure of the formation, and
12 the average of all of these treatments indicate a pressure
13 in the range of 21 to 2200 psi, which is in good agreement
14 with that calculated by the frac hite log as shown in
15 Exhibit 5.

16 Q. What is the significance of the data on Exhibit
17 No. 6 in your study?

18 A. The initial shut-in pressures, the ISIPs, as
19 being an indication of parting pressure, show that the
20 parting pressures are well in excess of the requested 1650
21 psi that is being requested in this application.

22 Q. Let's turn now to Exhibit No. 7. This is
23 captioned "After Frac Logs." What does this show?

24 A. Avon tagged with radioactive materials,
25 radioactive isotopes, the material in 28 wells. After-frac

1 logs have been run on 18 wells. These after-frac logs are
2 run after -- at some point after the frac is being
3 completed and during the early part of the radioactive
4 half-life of the isotope introduced, and these logs show
5 where the frac material went. The center of the log shows
6 the wellbore, the perforation, and where the frac material
7 went when it was introduced through the perforations.

8 Q. Let's take one of these as an example to
9 illustrate for the examiner your conclusion, and simply
10 pick one for us.

11 A. I think that one shown at the top log is on
12 Turner "B" No. 86, one of the 22 infill wells that has been
13 drilled. We see that that well was fracked in the Loco
14 Hills interval the top of the Grayburg. We marked on here
15 the top of the Grayburg and the top of San Andres, and even
16 though the top perforations in the well, which is rather
17 anomalous, normally the wells have not been productive
18 immediately under the Grayburg; but we see that the frac
19 material has not migrated above the top of the Grayburg in
20 this well.

21 Q. Do you find that to be true in all the wells
22 that you have examined that have been subject to the
23 after-frac logging and the tagging of this radioactive
24 material?

25 A. My analysis of after-frac logs has indicated

1 that in no cases of the 18 wells that have been logged thus
2 far has there any indication that frac material has
3 extended above or even to the top the Grayburg interval.

4 Q. How does this support your conclusion that the
5 requested level of pressure limitation is one that can be
6 safely approved?

7 A. There is no indication that injection at 1650
8 pounds would cause migration of fluids out of the
9 application interval, the Grayburg-San Andres.

10 Q. Let's turn now to the step rate results. I
11 think that's marked as Exhibit No. 8. There are three
12 wells that are shown on Exhibit 8, and the information is
13 tabulated for Well 47, 50 and 61?

14 A. These three wells, Turner "B" 47, 50 and 61, all
15 located in Section 29, as described previously, were
16 originally producing wells that were converted to injection
17 in 1968 as a part of the Turner "B" Premier Flood
18 expansion.

19 These wells have had injected volumes ranging
20 from 1.8 to 2 million barrels of injected water per well.
21 These wells were -- were chosen after consultation with the
22 division and with the district office in Artesia.
23 Perforations in these wells, in addition to the existing
24 perforations in the Premier, were added in the Vacuum; the
25 additional perforations in the Premier, the Square Lake,

1 the Metex and the Loco Hills. All of the new perforations
2 were broken down with acid only. The new intervals, the
3 new perforations, have not been fracked.

4 The wells were completed on a test basis, with
5 the approval of the district and the division, for 30- to
6 45-day test. The wells were completed with a single string
7 of tubing with the packer set above all of the
8 perforations, and step-rate tests were conducted after
9 approximately two weeks of injection into the wells.

10 The parting pressure indicated by the step-rates
11 averaged 1208 psi, ranging from 1075 to 1300 psi, and the
12 parting pressure plus the 450 psi requested would give an
13 average of 1658 psi as the requested pressure.

14 Q. Do you have a basis upon which to conclude that
15 these would be representative step-rate tests, if
16 additional step-rate tests were taken in the expansion
17 area?

18 A. It's my opinion that these step-rate tests will
19 probably be low. The parting pressure will probably be low
20 when -- because the part of the exposed interval is the
21 Premier. This is what's injected into for 20-plus years,
22 and was fracked initially and probably -- well, an
23 injection has occurred for the 20 years in the Premier in
24 flood life at pressures above the indicated parting
25 pressures.

1 It's my opinion the parting pressure on the new
2 zones, the new perforations, will probably be higher than
3 what is indicated by these parting pressures; and hence,
4 our request to be able to come back to the division in the
5 future based on new tests to obtain higher permitted
6 pressures.

7 Q. Do you think that these three wells are
8 characteristic and represent typical examples of the step
9 rate tests, if conducted on other wells in the expansion
10 area, that have previously been completed and produced out
11 of the Premier, would show similar results?

12 A. I think these are representative of what we see
13 on all 12 of the wells.

14 Q. Let's talk for a moment about the fact that
15 we've already produced out the Premier. If we inject --
16 explore the total interval, now, including the other zones
17 in addition to the Premier at this higher injection
18 pressure, do you have any concerns, as an engineer, that
19 the increased pressure would propagate, if fractured; that
20 the Premier would take that out of the pooling?

21 A. No, I have no concern that pressures as
22 requested will cause any propagation of fractures in any
23 horizon that will result in fractures out of the
24 Grayburg-San Andres.

25 Q. Let's turn now, Mr. Hughes, to Exhibit No. 9.

1 What have you summarized on this display?

2 A. Exhibit No. 9 provides current information,
3 ongoing injection in the Socorro Avon acreage. Number 1
4 indicates the Russell Turner, Turner "B" area, and we're
5 speaking now of the Turner "B" area to the north or in
6 Section 17 in the north half of 20, and the Russell Turner
7 being in Sections 18 and 19. There are five wells which
8 are currently being injected into, and the May averages for
9 those wells are 535 barrels of water per day at an average
10 injection pressure of 1744 psi.

11 Item number two indicates what is occurring in
12 the Socorro Keel-West Phase 1 area; that for May 1991 for
13 13 injection wells indicate an average barrels per day per
14 well of injection of 163, and an average injection pressure
15 of 2,024 psi.

16 Q. How have you utilized this information to
17 support your conclusion about the reasonableness of the
18 pressure request?

19 A. Studying these wells and these waterflood areas,
20 we have seen no evidence that the pressures and volumes
21 that are indicated have caused any problems in terms of
22 migration of injected fluids or reservoir fluids out of the
23 injected intervals of the Grayburg and San Andres.

24 Q. Have you also studied, Mr. Hughes, whether or
25 not there is incremental oil that can be recovered by

1 utilizing these injection wells for waterflood operation
2 that cannot otherwise be recovered?

3 A. I have done some work in conjunction with Roy
4 Williamson of William Petroleum Consultants, and those
5 studies have indicated that -- as shown on Exhibit No. 10,
6 that an incremental 2.3 million barrels of oil can be
7 recovered under waterflood operations. These barrels would
8 not be recovered if a waterflood -- a successful waterflood
9 was not conducted.

10 Exhibit 10 is the profile of gross oil --
11 projected gross oil production in barrels per year. This
12 was prepared by Roy Williamson of Williamson Petroleum
13 Consultants.

14 Q. What assumption is made in this calculation
15 concerning the surface pressure limitation?

16 A. It is assumed that a surface pressure limitation
17 of 1650 psi, surface injection pressure, will allow the --
18 the proper flooding of the interval; that 1650 psi will be
19 sufficient to conduct the flood. It's assumed that -- it's
20 believed that the two-tenths of a psi for a further 650
21 pounds approximately would not allow for the injection of
22 water; and therefore, these reserves would be unrecovered.

23 I will note that the total, as shown, the years,
24 is 2.657 million barrels. That was -- that was calculated
25 based on 22 completed patterns. The application area is 19

1 completed, and, hence, the number of 2.295 million barrels
2 are applicable to this application.

3 Q. You have indicated that your project cannot be
4 successful if you're required to maintain the .2 gradient.
5 What is the impact on the project if you're only allowed to
6 inject at the parting pressure?

7 A. We have monitored closely the injection into the
8 three wells that we ran the step rates on, Nos. 47, 50 and
9 61. Exhibits 11, 12 and 13 are plots of the daily
10 injection pressure and volume for each of these wells.

11 What we can see is that in the case of the first
12 well, No. 47, that a surface injection pressure of 1400
13 pounds is occurring at this point, and this is after a
14 total injection of only 13,000 barrels of water. In the
15 case of Well No. 50, 16,000 barrels have been injected and
16 our surface injection pressure is a thousand pounds; and in
17 the case of 61, 19,000 barrels of water have been injected,
18 and surface injection pressure is about 750.

19 The conclusion to be drawn from this is with
20 very little cumulative water injected, the surface
21 pressures are already approaching and, in fact, have
22 exceeded the indicated parting pressures as found by the
23 step rates.

24 Q. Avon has undertaken in this area an infill
25 drilling program for the project?

1 A. That's correct. Avon has drilled 22 infill
2 development wells, has conducted remedial workover
3 operations on several of the old producers in the
4 Turner "B" expansion area, and has cleaned out all of the
5 old injectors in the expansion area; in fact, the 12 wells
6 that are the subject of this application. Those wells and
7 particularly the old injection wells were found to have a
8 lot of solid material build-up in the wellbore, indicating
9 the formation -- either the introduction of solid materials
10 that would plug the formations, or the formation of solids
11 due to the injection of unclean water.

12 Q. Your development on an infill leads you to what
13 spacing pattern?

14 A. The infill development has resulted in 20-acre
15 spacing.

16 Q. Have you plotted or tabulated the production
17 from the project?

18 A. Exhibit 14 provides the production profile,
19 average barrels of oil per day, per month, and indicates
20 from the middle of 1990 until April of '91 a significant
21 increase in oil production from less than a hundred barrels
22 of oil per day to approximately 1900 barrels of oil per
23 day. Since that time -- and this I would interpret to be
24 the primary production in the vicinity of the new 22
25 wellbores. Since that time we've seen a decline in

1 production down to about 1100 barrels of oil per day. I
2 would interpret this to be the depletion of the reservoir
3 pressure, indicating that we have a tight formation and
4 that we need to be injecting water for pressure maintenance
5 and for water flooding operations.

6 Q. I direct your attention now to Exhibit No. 15,
7 Mr. Hughes. This is the division form C-108, and this has
8 been prepared and compiled under your direction and
9 supervision?

10 A. That is correct.

11 Q. Let me ask you some summary questions about the
12 C-108. Within the half mile area of review, have you
13 tabulated all the wellbore information for not the only
14 plugged and abandoned wells, but the producing wells that
15 penetrate through the Grayburg-Jackson pool?

16 A. I have examined the records on 82 -- on each of
17 the 82 wells within the subject area, within the cloud
18 area. There is a map attached which indicates the area of
19 study. 16 of the wells in the area have been plugged and
20 abandoned, and a sketch indicating how the wells were
21 plugged is attached. There is attached to this Exhibit 15
22 all of the requested data in the -- as required by the
23 C-108.

24 Q. I don't propose to cover all that with you this
25 morning. Let's hit the high points. Have you satisfied

1 yourself that you have a complete and accurate tabulation
2 then of the wellbore data within the area of review?

3 A. Yes, I feel I do.

4 Q. Have you reviewed that information with OCD
5 district office to identify problem wells for which
6 remedial action will be required?

7 A. Yes. I reviewed it with district and division
8 personnel and certain suggestions and requirements were
9 made, and Avon has completed part of the work that's
10 required in terms -- and this was primarily work to bring
11 the top of cement further above the top of the uppermost
12 perforation.

13 Q. Let's identify either the problem wells or the
14 problem areas, and then have you describe what remedial
15 action you have undertaken.

16 A. The problem wells, as identified in our
17 discussions with the district and the division, were
18 located in Section 29, and they are wells No. 68, 71, 55,
19 and 60. Remedial cementing operations have been completed
20 to the satisfaction of the district in 71. I believe that
21 the work on 68 is in progress and nearing completion to the
22 satisfaction of the district, and work will be conducted on
23 55 and 60 in the near future.

24 Q. Specifically what is required for each of those
25 four wells to make them adequate for approval?

1 A. Perforations are at or near the existing top of
2 the cement as determined by cement bond log or temperature
3 survey, and then cement is pumped into the formations,
4 squeezed into the angular space and is circulated up the
5 hole to achieve the required 500-foot of coverage above the
6 uppermost perforation. The cement is then drilled out and
7 the wellbore returned to either production or prepared for
8 injection.

9 Q. Those four wells represent the only problem
10 wells within the identified area of review?

11 A. There is Well No. 56 in Section 30 that will
12 require, when operations are conducted on it -- it's one of
13 the wells that has not been worked on yet. As a part of
14 cleaning out that well, the district has requested that a
15 CBL be run on it -- the cement bond log -- and the top of
16 cement determined. If additional remedial work or
17 additional cement is required, then that will be done at
18 that time.

19 Q. Any others?

20 A. I believe that completes the requirement, as I
21 understand it, from the district and division.

22 Q. Summarize for us what you anticipate to be the
23 source of the water used for the waterflood project?

24 A. All of the produced water will be cleaned and
25 injected and makeup water, which will be fresh water

1 obtained from Ogallala source, approximately 10 miles to
2 the northeast of the -- of the subject lease will be
3 utilized. This is the same water, fresh water supply, that
4 is being used by Socorro in the Keel-West area.

5 Compatibility tests have been run with the produced waters
6 and fresh water in varying ratios, both for the Keel-West
7 produced water and the Turner "B" are produced water. No
8 problems are indicated as to the compatibility of the
9 mixing of those waters in either lease.

10 Q. Do you have a schematic showing the injection
11 wells and their configuration for the project area?

12 A. I have attached the proposed perforations for
13 six of the 12 wells in the expansion area. Avon is
14 currently preparing proposed perforations for the other
15 six.

16 The configuration, the mechanical configuration,
17 of the completion will be initially tubing and packer set
18 above all of the perforations. I would anticipate that
19 because of the production -- the injection history into the
20 Turner "B" Premier interval that some sort of a mechanical
21 separation will be required to conduct a proper flood of
22 the other productive horizons. This will be done
23 mechanically, either utilizing multiple strings of tubing
24 or -- and packers or utilizing a single string of tubing
25 with multiple packers and flow injection regulators to

1 govern the volume of water to be put into each selected
2 interval for injection.

3 Q. Have you made a search for sources of fresh
4 water in the area?

5 A. Socorro has the rights -- owns the rights to
6 17,000 barrels a day of fresh water from the Ogallala in
7 the area as mentioned to the northwest -- to the northeast;
8 excuse me. As a part of the agreement between Avon and
9 Socorro, Avon will be provided sufficient water to properly
10 conduct the flood, using the fresh water as makeup and
11 injecting the produced water.

12 Q. Do you have an approximate depth of the deepest
13 producing fresh water in this vicinity?

14 A. Our studies, which were conducted for the
15 Socorro application in May of 1990, indicated that there is
16 no fresh water in the area of the Socorro-Avon acreage.

17 Q. Let's identify the offsetting operators to your
18 project, and let's return to Exhibit No. 2, if we might.
19 We provided notification of this hearing to Texaco, Inc.
20 Show us where the Texaco properties are.

21 A. Texaco properties are located in Sections 28 and
22 21 to the east of Avon acreage.

23 Q. You provided notification to Marbob Energy
24 Corporation. Where are their properties?

25 A. They're located in Section 30, in the west half

1 the of northwest quarter.

2 Q. The HEYCO acreage, where is this property?

3 A. HEYCO and Yates acreage is in Sections 31 and
4 32, south of the subject acreage.

5 Q. Notification was sent to Jack Plemons.

6 A. In the east half of the northwest quarter of
7 Section 30.

8 Q. And then notification to Yates Petroleum.

9 A. In Section 32.

10 Q. And finally Socorro Petroleum.

11 A. In Sections 20, 19, 17, 18 and part of Section
12 30.

13 Q. Additional notification was sent to the
14 Commissioner of Public Lands and the Bureau of Land
15 Management concerning the surface. Would notification to
16 those two agencies cover all the surface use for injection
17 well locations?

18 A. Yes, sir.

19 Q. Did you receive any objection from any of those
20 individuals or companies to your project?

21 A. I have seen no correspondence from any of the
22 notified parties.

23 Q. In your opinion, Mr. Hughes, is approval of your
24 application on behalf of Avon necessary in order to recover
25 oil that would not otherwise be recovered?

1 A. Yes, it is.

2 Q. And can it be done without the violation of
3 correlative rights of any of the offsetting operators or
4 interest owners?

5 A. Yes, it can.

6 MR. KELLAHIN: That concludes my examination of
7 Mr. Hughes. We move the introduction of his Exhibits 1
8 through 15.

9 MR. CATANACH: Exhibits 1 through 15 will be admitted
10 as evidence.

11 (Avon Exhibits 1 through 15
12 were admitted in evidence.)

13 MR. KELLAHIN: If I may sometime later today, I will
14 provide you with our certificate of mailing of notice to
15 these people. We have the green cards back, and I simply
16 neglected to bring the certificate this morning.

17 FURTHER EXAMINATION

18 BY MR. CATANACH:

19 Q. Mr. Hughes, I'm looking at Exhibit No. 2, and
20 you show -- well, let me ask you this: What is your
21 understanding of the extent of the Turner "B" project,
22 which -- had all the formations been authorized to inject
23 into?

24 A. It includes the north three-quarters of Section
25 20, and the south quarter -- the south -- south quarter of

1 Section 17 and the northwest of the southwest of 17. That
2 is the Turner "B" lease that was part of the original order
3 in 1967.

4 Q. So the north half of Section 20.

5 A. The north three-quarters of Section 20.

6 Q. North three-quarters of Section 20. The --

7 A. The south quarter of 17 running - the quarter
8 running --

9 Q. The south half of the south half?

10 A. Yes, sir. And the northwest quarter of the
11 southwest of 17.

12 Q. But you now show that to be included in the
13 Russell Turner project; is that correct?

14 A. That is correct. It was a part of the original
15 order in February of '67, along with Section 18, excepting
16 the east half of the northeast, and Section 19, north half
17 of 19. That was the original order that was set forward in
18 February of '67.

19 And then the expansion of the order in October
20 of '68 resulted in the Premier only flood, the south half
21 of the south half of 20, all of 29, the southeast quarter
22 of Section 30.

23 Q. So basically we've got one large waterflood,
24 that Russell Turner and then you've got the expansion area?

25 A. That's correct.

1 Q. Are the -- will the Russell Turner and the
2 expansion area be operated as one project or two separate
3 projects?

4 A. Avon in their agreement with Socorro has the
5 rights, and it's my understanding we will exercise the
6 rights to drill to earn the rest of the area that we just
7 described, the rest of the Russell Turner flood area. The
8 mechanism within the agreement between the two entities is
9 on a drill-to-earn basis. You drill an infill well and you
10 basically earn the area around that that would complete
11 that pattern. Avon has indicated that they intend to
12 exercise their option to drill to earn and to earn the
13 entire area of the Socorro acreage, which is in 17, 18, 19,
14 20 and 30.

15 So it will be operated as a single flood, but
16 that will occur gradually over the next two or three years,
17 according to the agreement between the parties.

18 Q. So you will acquire additional acreage as you
19 drill new wells?

20 A. That's correct.

21 Q. That's going to play hell with the division
22 trying to keep the two projects separate.

23 The 12 wells in the expansion area, have those
24 wells already been approved for injection, all of those
25 wells?

1 A. Those wells were originally approved for
2 injection into the Premier only by the order of '68.

3 Q. But they were all permitted, all of them were
4 permitted to inject?

5 A. Yes.

6 Q. Well No. 56 in Section 30, do you propose that
7 be included in the expansion area at this time?

8 A. I would like to propose that -- that is in
9 acreage that has not been earned by Avon but is a part of
10 the 1968 Turner "B" expansion order.

11 MR. KELLAHIN: Let me make a comment. I'm perhaps not
12 correct, but I think the plat is slightly confusing. My
13 understanding of the prior order and injection well 56 is
14 that the southeast quarter of 30 is already in an approved
15 position, as far as the OCD is concerned. The map simply
16 reflects the Socorro-Avon relationship and should not be
17 misunderstood as the expansion area approved by the
18 division. You've already approved the southeast quarter of
19 30, and the 56 well is already approved as to the Premier.
20 So we think the outer boundaries of the expansion area are
21 going to remain the same.

22 THE WITNESS: Right.

23 Q. (By Mr. Catanach) But it's not Avon's acreage?

24 A. Not yet.

25 Q. Mr. Hughes, I was involved in the pre-hearing

1 discussions with Avon and the district office, and it was
2 my understanding that more than three step-rate tests were
3 going to be required to substantiate the data you
4 presented.

5 A. That is correct. It's my understanding that the
6 discussions that you were involved in requested that six of
7 the 12 wells have step rates. Two things have occurred
8 since that time. There has been a lot of discussion with
9 the district, and in fact the district had pretty strongly
10 requested that only one well be injected into and a step
11 rate, and Avon requested that at least three step rates be
12 conducted. In addition, mechanical problems and approval
13 of pipeline injection right of ways were not -- had not
14 been received. It was indicated by the BLM that new
15 archeological approvals would be required for the laying of
16 the injection lines, which was required before injection
17 could be conducted into any of the other nine wells. That
18 has been approved -- approval has been obtained in the last
19 10 days on -- two additional approval has been obtained in
20 the last 10 days for the pipeline rights of ways on two
21 additional wells, No. 64 and 54. It's my understanding
22 that Avon will conduct that work timely.

23 Q. Does Avon propose to conduct any more step-rate
24 tests?

25 A. Avon feels that step-rate tests that have been

1 conducted are representative. If the division feels that
2 additional step rates are required, Avon would certainly
3 conduct those.

4 Q. Now, did you say you were going to use downhole
5 regulators to control the rates or the flows into the
6 separate strata?

7 A. That is one of the considerations. It appears
8 that some separation will be required. The way that the
9 three test wells are completed now is with a single string
10 of tubing, packer set above all perforations. It's our
11 feeling that the injected fluid during the step rate --
12 most, if not all it, went into the Premier, which had
13 previously been injected into and previously been fracked
14 and the completion -- Avon is currently working on the
15 mechanical arrangement for the completions, but it will
16 either be done with multiple strings of tubing and packers
17 to isolate various intervals or with downhole flow
18 regulators.

19 I'm not aware that that decision has been made
20 yet. It will probably be -- that decision will be
21 predicated on injectivity profiles which -- to my
22 understanding, that Avon will be conducting in the near
23 term. This was another reason for having the test period
24 available on -- the 30- to 45-day test period available.

25 Q. Is Avon targeting a specific flow rate for each

1 of these wells or --

2 A. Flow rate or injection rate?

3 Q. Injection rate, sorry.

4 A. I have indicated in the C-108 a maximum
5 injection rate or volume per well of 500 barrels per day,
6 an average of 400 barrels per day; and this has been
7 determined utilizing some projected withdrawals such that
8 pattern withdrawals and injection can be matched, and
9 therefore, the flood properly managed. It may be that these
10 numbers will turn out to be either too high or too low; and
11 if so -- if Avon would need additional volume, they would
12 come to the division to request it.

13 Q. What is the formation directly overlying the
14 Grayburg in this area?

15 A. The Queen.

16 Q. The Queen.

17 A. The Queen series.

18 Q. What's the lithology of the Queen in this area?

19 A. The lithology of the entire section is dolomites
20 and hydrates. I think the Queen itself -- and I'm not very
21 familiar with it, but I think that it's probably a sand;
22 but it's quite some distance up the wellbore the main Queen
23 horizon, which is not productive in this area.

24 Q. You seem to be familiar with the Keel-West area
25 somewhat. They've been injecting at that high pressure for

1 approximately a year?

2 A. Yes, sir.

3 Q. Have they done any infill drilling during that
4 time?

5 A. There has been no infill drilling done to date.
6 It's my understanding that Socorro has an infill drilling
7 program proposed, and, in fact, have submitted applications
8 to drill on -- I think about six wells; operations have not
9 initiated yet.

10 Q. But they've seen no water of the zone in any of
11 the area?

12 A. There has been no indication of any mechanical
13 problem, any water out of zone.

14 Q. Mr. Hughes, did you actually run a frac hite log
15 on one of these wells in the expansion area?

16 A. Two.

17 Q. Into the wells?

18 A. Turner "B" No. 84 and Turner "B" No. 85.

19 Q. Was the frac hite log actually submitted to the
20 division or not, a copy of the frac hite log?

21 A. It is submitted here. I'm not aware it's been
22 submitted previously.

23 Q. It is here?

24 A. A copy of the frac hite log is attached to --

25 MR. KELLAHIN: I think it's 7.

1 A. Exhibit 5 has attached the Schlumberg J frac
2 hite log for No. 85. And the Atlas Wireline Service frac
3 migration log for No. 84.

4 Q. (By Mr. Catanach) Now, as I understand it,
5 you're asking 1650 pounds for all of the 12 wells?

6 A. That is correct.

7 Q. And you also requested an administrative
8 procedure so that can be raised?

9 A. That is correct.

10 Q. Based on what?

11 A. Based on step rates, based on other operating
12 information that becomes available as testing or injection
13 is conducted. We may see that as injection is initiated
14 that sufficient volumes of water are not being -- are not
15 able to inject sufficient volumes.

16 Q. The reserve calculations that have been
17 submitted as evidence, is that over the entire productive
18 interval, including all of the Grayburg and San Andres
19 formations?

20 A. Yes, sir.

21 Q. Mr. Hughes, were there any wells that were
22 targeted by the district -- any P&A'd wells that had to be
23 reentered or replugged?

24 A. There was a question on a well in Section 31,
25 the Stogner or Stagner No. 2. It was initially indicated

1 that that well was within the study area. Subsequent
2 information indicates that the well was misspotted on the
3 map, using the information at the district, and that the
4 well was outside -- is outside the half-mile area.

5 Q. You indicated that there is scarce fresh water
6 in this area, or what have you determined to be that?

7 A. The results of the study that was conducted for
8 Socorro for their application and subsequent order
9 indicated no fresh water in any of the sections within the
10 Socorro-Avon acreage, or any fresh water indicated in any
11 of the surrounding sections. I think that the closest
12 fresh water, as I remember the study, was in -- was about
13 five miles -- four or five miles to the east, and I'm not
14 sure what section. It seems to me like that was in Section
15 24. We can get and provide to you the results of that
16 study. I do not have it with me.

17 Q. Mr. Hughes, how do you determine after the --
18 after you've started doing this, injecting the 450 pounds
19 above frac pressure, how do you determine that you're not
20 going to lose any water -- or you're not losing any water
21 to any other formations, or that it's working that you want
22 it to?

23 A. Well, I suppose the most obvious indication that
24 it's working will be the response that's expected. I think
25 that if we had wells that -- that we had a question about,

1 maybe we weren't seeing the response, we would run
2 injectivity profiles or temperature surveys, which would
3 indicate if we have water being injected into and going out
4 of zone. Proper management of the waterflood will require
5 certainly that we run injectivity profiles, and from those
6 we can see where water is going. If we have a question,
7 I'm certain that we want to know the answer; because if the
8 water is not staying where we want it to, the flood is not
9 going to work.

10 MR. CATANACH: I believe that's all I have at this
11 time. You may be excused.

12 Mr. Kellahin, I would like to get a rough order
13 from you.

14 MR. KELLAHIN: Smooth rough or rough, rough?

15 MR. CATANACH: Smooth rough. Is there anything
16 further in this case?

17 MR. KELLAHIN: No, sir.

18 MR. CATANACH: There being nothing further, Case 10290
19 will be taken under advisement.

20 (Whereupon, the hearing was concluded at the
21 approximate hour of 10:07 a.m.)

22 * * *

23

24

25


1 STATE OF NEW MEXICO)
) ss.
 2 COUNTY OF SANTA FE)

3 REPORTER'S CERTIFICATE


4
 5 I, Susan G. Ptacek, a Certified Court Reporter and
 6 Notary Public, do HEREBY CERTIFY that I stenographically
 7 reported the proceedings before the Oil Conservation
 8 Division, and that the foregoing is a true, complete and
 9 accurate transcript of the proceedings of said hearing as
 10 appears from my stenographic notes so taken and transcribed
 11 under my personal supervision.

12 I FURTHER CERTIFY that I am not related to nor
 13 employed by any of the parties hereto, and have no interest
 14 in the outcome thereof.

15 DATED at Santa Fe, New Mexico, this 18th day of
 16 October, 1991.

17
 18 
 SUSAN G. PTACEK
 My Commission Expires: Certified Court Reporter
 19 December 10, 1993 Notary Public

20
 21 I do hereby certify that the foregoing is
 a complete record of the proceedings in
 the Examiner hearing of Case No. 10290
 22 heard by me on August 9 1991.

23 , Examiner
 24 Oil Conservation Division
 25