

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCE DEPARTMENT  
OIL CONSERVATION DIVISION

IN THE MATTER OF: )  
APPLICATION OF NEARBURG PRODUCING )  
COMPANY FOR AN UNORTHODOX GAS WELL ) CASE NO. 10297  
LOCATION, EDDY COUNTY, NEW MEXICO. )  
\_\_\_\_\_ )

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Examiner

May 2, 1991  
9:57 a.m.  
Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on May 2, 1991, at 9:57 a.m. at the Oil Conservation Conference Room, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Susan G. Ptacek, a Certified Court Reporter No. 124, State of New Mexico.

FOR: OIL CONSERVATION      BY: SUSAN G. PTACEK  
DIVISION                      Certified Court Reporter  
CCR No. 124

## I N D E X

May 2, 1991  
 Examiner Hearing  
 Case No. 10272

## PAGE

## APPEARANCES

3

## NEARBURG PRODUCING WITNESSES:

## MARK NEARBURG

Direct Examination by Mr. Carr

4

Examination by Examiner Stogner

9

Examination by Mr. Stovall

11

## JERRY ELGER

Direct Examination by Mr. Carr

12

Examination by Examiner Stogner

18

Examination by Mr. Stovall

24

## REPORTER'S CERTIFICATE

28

\* \* \*

## E X H I B I T S

## Admtd

## NEARBURG PRODUCING EXHIBIT

1

8

2

8

3

8

3A

8

4

17

5

17

6

8

## A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.  
General Counsel  
Oil Conservation Division  
State Land Office Building  
Santa Fe, New Mexico 87504

FOR NEARBURG CAMPBELL & BLACK, P.A.  
PRODUCTION COMPANY: Attorneys at Law  
BY: WILLIAM F. CARR, ESQ.  
110 N. Guadalupe  
Santa Fe, New Mexico 87501

\* \* \*

1 EXAMINER STOGNER: At this time we will call case  
2 10297.

3 MR. STOVALL: Application of Nearburg Producing  
4 Company for an unorthodox gas well location, Eddy County,  
5 New Mexico.

6 MR. CARR: May it please the examiner, my name is  
7 William F. Carr with the law firm of Campbell & Black, P.A.  
8 I represent Nearburg Producing Company, and I have two  
9 witnesses.

10 EXAMINER STOGNER: Are there any other appearances?  
11 Will both witnesses please stand to be sworn?

12 (Whereupon the witnesses were duly  
13 sworn.)

14 MARK NEARBURG,  
15 the Witness herein, having been first duly sworn by the  
16 Notary Public, was examined and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. CARR:

19 Q. Would you state your full name for the record,  
20 please?

21 A. Mark Nearburg.

22 Q. By whom are you employed?

23 A. Nearburg Producing Company.

24 Q. In what capacity?

25 A. Land manager.

1 Q. Mr. Nearburg, have you previously testified  
2 before this division and had your credentials as a  
3 petroleum landman accepted and made a matter of record?

4 A. Yes.

5 Q. Are you familiar with the application filed in  
6 this case?

7 A. Yes.

8 Q. Are you familiar with the subject proration unit  
9 and the proposed well?

10 A. Yes.

11 MR. CARR: Are the witness' qualifications acceptable?

12 EXAMINER STOGNER: Mr. Nearburg is so qualified.

13 Q. (By Mr. Carr) Mr. Nearburg, would you briefly  
14 state what you seek with this application?

15 A. Seek an unorthodox gas well location in Eddy  
16 County, New Mexico, located 2500 feet from the north line  
17 and 330 feet from the west line in Unit E of Section 15, 22  
18 South, 27 East to test the undesignated Carlsbad Strawn gas  
19 pool and the undesignated South Carlsbad Morrow gas pool  
20 dedicating the west half of Section 15 to a standard  
21 320-acre gas proration unit for both pools.

22 Q. What are the well location requirements for each  
23 of these pools?

24 A. 1980 feet from the end line and 660 from the  
25 sideline on 320-acre spacing unit.

1 Q. Would you refer to what has been marked for  
2 identification as Nearburg Exhibit No. 1. Identify that  
3 that and review it for Mr. Stogner.

4 A. It's a land plat showing the proration unit in  
5 yellow and the location of the test well in an orange  
6 arrow.

7 Q. You will be dedicating the --

8 A. West half.

9 Q. -- west half of 15. What is the status of the  
10 east half of Section 16?

11 A. That east half is owned by Kerr-McGee, Texaco  
12 and Hallwood Energy Company, and the state has made demand  
13 on those companies to develop the east half of Section 16  
14 on the state leases. Hallwood Energy owns approximately 84  
15 percent of the interest in the east half of Section 16, and  
16 they have agreed to a working interest unit under an  
17 operating agreement. They will be participating in our  
18 test well in the west half of Section 15. Kerr-McGee and  
19 Texaco have not responded to requests with a decision for a  
20 request to participate in our working interest unit.  
21 That's the current status.

22 Q. Will the development of the Morrow and Strawn  
23 formations in the west half of 15 enable you to obtain  
24 information that will then permit you to make an informed  
25 decision as to further development plans for the east half

1 of Section 16?

2 A. Yes, sir. Our geologic testimony will show why  
3 we're drilling the west half of 15 first to provide  
4 information to develop the east half of Section 16.

5 Q. Could you identify what has been marked as  
6 Nearburg Exhibit No. 2, please?

7 A. Survey plat showing the exact location and the  
8 west half proration unit prepared by John West.

9 Q. Now, let's go to Exhibit No. 3. Would you  
10 identify and review that?

11 A. Exhibit No. 3 is a letter from Nearburg to  
12 Kerr-McGee requesting a farmout on the east half of Section  
13 16 and a waiver of objection to our application today. And  
14 also a letter from Raynex Resources, Inc., who is working  
15 with us on this project, to Texaco USA also requesting a  
16 farmout and a waiver of objection to this hearing today.

17 Q. The only interest owners in Section 16 towards  
18 whom you are moving are Texaco, Kerr-McGee and Hallwood; is  
19 that correct?

20 A. Yes. I would say Kerr-McGee and Texaco because  
21 Hallwood has waived any objection to this hearing and  
22 they're participating in our drilling activity.

23 Q. Is a copy of that waiver from Hallwood what has  
24 been marked as Nearburg Exhibit 3A?

25 A. Yes.

1 Q. Mr. Nearburg, would you now go to the last  
2 exhibit in the exhibit packet and identify what's been  
3 marked as Nearburg Exhibit No. 6.

4 A. These are the certified notices given to  
5 Kerr-McGee and Texaco for this hearing.

6 Q. Is it the reason for the unorthodox location  
7 geological in nature?

8 A. Yes.

9 Q. We will call a geologist to explain the reason  
10 for this particular location?

11 A. Yes.

12 Q. Were Nearburg 1, 2, 3, 3A and 6 prepared by you  
13 or compiled under your direction?

14 A. Yes.

15 MR. CARR: At this time, Mr. Stogner, we would move  
16 the admission of Nearburg Exhibits 1, 2, 3, 3A and 6.

17 EXAMINER STOGNER: Exhibits 1, 2, 3, 3A and 6 will be  
18 admitted into evidence at this time.

19 (Nearburg Exhibits 1, 2, 3, 3A and 6  
20 were admitted in evidence.)

21 MR. CARR: That concludes my direct examination of  
22 Mr. Nearburg.

23 EXAMINER STOGNER: I have no questions of -- yes, I  
24 do.

25



## EXAMINATION

BY EXAMINER STOGNER:

Q. Section 16 is the state acreage; is that correct?

A. Yes, sir.

Q. All of it, all 640 acres?

A. Let me look. I do not believe that it is -- yes, I do. It has all state acreage. There are certain particular leases that I could reference from a letter from Mr. Prando to Kerr-McGee, Texaco and Hallwood referencing two particular leases that have been developed on the west half of Section 16 with a marginal Morrow well, and the state has requested development in the east half of Section 16 for drainage reasons.

Q. In Section 15, is that classified as fee, all of it, 640?

A. Yes, sir.

Q. Do you know, perhaps, what the land office's deadline is for the east half of section 16 to be developed?

A. From the correspondence I've seen there was no deadline. They just requested that action be initiated to develop the east half of Section 16. I've not seen anything with a deadline in it.

Q. Are you familiar with that process when the land

1 office requests action to be done on a lease or an area?

2 A. Not intimately, no.

3 EXAMINER STOGNER: I have no further questions of  
4 Mr. Nearburg at this time.

5 MR. STOVALL: Let me ask a couple.

6 EXAMINATION

7 BY MR. STOVALL:

8 Q. I assume -- what well has initiated the drainage  
9 demand letter from the state land office, do you know?  
10 Where is it? Not the name of the well but where is it?

11 A. It's the inner North Carlsbad State Com Well  
12 No. 1. The communitization on that was approved that --  
13 state communitization was approved August 13, 1980,  
14 affecting leases LG 6632, with Enron Corporation as the  
15 lessee of record, and L 6381, Kerr-McGee lessee of record.

16 Q. That's the west half of 16, did you say?

17 A. These leases also cover portions of the east  
18 half of 16. That letter was written September 28, 1990, by  
19 Floyd Prando.

20 Q. From the standpoint of royalty drainage  
21 protection, what is this well going -- you say it's a  
22 working interest unit with the west half of 15 and east  
23 half of 16; is that correct?

24 A. That's the current proposal to facilitate  
25 development of the east half of 16. Currently there is no

1 working interest unit covering the west half of 16.

2 Q. Just a communitization agreement?

3 A. Right.

4 Q. So you are forming a -- essentially a 640  
5 working interest unit?

6 A. It will be done under an operating agreement.  
7 It will cover the east half of 16, the west half of 15 and  
8 the north half of Section 21, all in 22 South, 27 East.

9 Q. If you drill this well, does that not further  
10 impact potential drainage of the state land royalty  
11 interest?

12 A. Yes, it does.

13 Q. What are the plans for protecting that acreage?

14 A. As you will see the geologic testimony, we feel  
15 it's much better to start in the west half of 15 due to the  
16 information we have. We have proposed to Kerr-McGee and  
17 Texaco that within one year of drilling our well in the  
18 west half of 15, we would move to the east half of 16.  
19 Frankly, the development in the east half of 16 is not my  
20 concern, since I do not own any interest in the east half  
21 of 16. That is Kerr-McGee, Texaco and Hallwood's problem,  
22 and Hallwood agreed to the working interest unit to obtain  
23 geologic information to develop the east half of 16 in a  
24 prudent manner.

25 Q. I understand that you're not obligated --

1 A. In other words --

2 Q. -- to do anything in 16, but you are, in fact,  
3 encroaching on 16, which would exacerbate any drainage  
4 situation in that?

5 A. That's true. If we drill a dry hole in the west  
6 half of 15, that would also affect our position on the east  
7 half of 16. I would think that once the well on the west  
8 half of 15 is completed and data is presented, at that time  
9 the -- Mr. Prando may make a deadline demand. But at this  
10 time he is not. I'm not familiar with how that process  
11 actually works.

12 Q. The BLM has got more rigid process, perhaps,  
13 than the state land, but that is not a matter in this case.

14 MR. STOVALL: I have no further questions.

15 EXAMINER STOGNER: I have no other questions of  
16 Mr. Nearburg at this time, but we may wish to recall him at  
17 a later time. Mr. Carr, you may continue.

18 MR. CARR: At this time I would call Jerry Elger.

19 JERRY ELGER,  
20 the Witness herein, having been first duly sworn, was  
21 examined and testified as follows:

22 DIRECT EXAMINATION

23 BY MR. CARR:

24 Q. Would you state your name for the record,  
25 please?

1 A. Jerry Elger.

2 Q. Mr. Elger, by whom are you employed?

3 A. By Nearburg Producing Company.

4 Q. Have you previously testified before this  
5 division?

6 A. Yes, I have.

7 Q. Were you qualified as an expert witness at that  
8 time?

9 A. Yes, I was.

10 Q. In what field of expertise were you qualified?

11 A. In geology.

12 Q. Are you familiar with the application filed in  
13 this case on behalf of Nearburg Producing Company?

14 A. Yes, I am.

15 Q. Have you performed a geological study of the  
16 area that is the subject of this application?

17 A. Yes, I have.

18 Q. Are you familiar with Nearburg's proposed well?

19 A. Yes, I am.

20 MR. CARR: Mr. Stogner, are Mr. Elger's qualifications  
21 acceptable?

22 EXAMINER STOGNER: Mr. Elger is so qualified.

23 Q. (By Mr. Carr) Have you prepared certain  
24 exhibits for presentation in this case?

25 A. Yes.

1 Q. Would you refer to what has been marked as  
2 Nearburg Exhibit No. 4, identify that exhibit and then  
3 review the information on this exhibit for the examiner.

4 A. This is an isopach map of the critical Strawn  
5 zone which is the -- as the legend refers to down in the  
6 lower left-hand corner, and all the producing wells in the  
7 vicinity of the prospect are color-coded, and I would point  
8 out that the Strawn formation is indicated by a blue shade  
9 of color, and the well in the north half of Section 21 has  
10 three different colors denoted, of which one is blue.

11 That well was a Strawn producer but was not --  
12 was not a commercial objective having produced less than  
13 half of a BCF of gas from the Strawn. And it's the only  
14 Strawn producer in the area outside of the wells down in  
15 the southeast part of Section 22 and then south half of 23  
16 and the blue wells to the southeast of the prospect area.

17 This map is an isopach map of the key clean  
18 carbonate buildup that's indicated on Exhibit 5, which is a  
19 two-well cross section of the Strawn, which includes wells  
20 both to the east of the proposed drill site and to the  
21 southwest, including the perforations in the Coquina  
22 Nichols which is the productive interval in the well in the  
23 north half of Section 21.

24 As you can see on the isopach map, the Coquina  
25 Nichols well has 186 feet of clean carbonate section of

1 which the porosity has been shaded red, and it represents  
2 the thickest Strawn section of any wells surrounding the  
3 proposed drill site.

4 Now, Nearburg in compiling this map, both well  
5 log information and one seismic line were utilized. The  
6 seismic line is not proprietary to Nearburg but was --  
7 which did have access and a geophysicist was allowed to  
8 work the data, and that line extended through this key  
9 well, which is the Coquina Nichols well in the north half  
10 of 21 and diagonally to the northeast across the  
11 proposed -- or just south of the proposed drill site in the  
12 east half of Section 15, extended on into Section 11.

13 Just to summarize what that seismic line showed  
14 was -- and it was very difficult to determine. The quality  
15 of the line was fairly poor. But there was evidence that a  
16 thickening in the Strawn was occurring in the northwest  
17 quarter of Section 15. The maximum thickness being very  
18 close to the proposed location. So the combination of well  
19 site -- the combination of well evidence and the  
20 geophysical line supports this interpretation that the  
21 Strawn is -- the isopach interval builds up to potentially  
22 over 200 feet in an area extending from near the Coquina  
23 Nichols well across the south -- or the east half of  
24 Section 16 and on into the northwest quarter of Section 15.

25 Q. Now, Mr. Elger, the primary objective in the

1 well is going to be the Strawn; is that correct?

2 A. That's correct.

3 Q. What you are hoping to hit here is one of these  
4 Strawn pods of a limited aerial extent; is that correct?

5 A. That's correct.

6 Q. Why couldn't you move the well to a standard  
7 location?

8 A. Well, the Strawn -- the nature of the Strawn out  
9 here which is carbonate buildups associated with a shelf  
10 margin that runs from the northwest -- or northeast to the  
11 southwest includes production in fields such as Lusk and  
12 Golden Lane and Big Eddy Strawn field and on down to the  
13 southwest of this area in the Frontier Hills is such that  
14 the carbonate builds up at a very -- in very localized  
15 areas and very rapid fashion. In other words, offset  
16 locations can build up from any where from 50 feet to 2 to  
17 300 feet or greater thicknesses in very short distances.  
18 For that reason, with the seismic evidence and the  
19 geological evidence suggested by this map, the proposed  
20 location has been put at an optimum -- has been located to  
21 optimize the probability of encountering a thick Strawn  
22 interval.

23 Q. If you move 330 feet to the east, do you have an  
24 opinion as to whether or not you would still be in the  
25 Strawn?



1           A.       There would be a probability that would be much  
2 thinner or noncommercial.

3           Q.       In your opinion, will developing this Strawn pod  
4 with the well located as proposed by Nearburg enable you to  
5 best produce the reserves that you are hoping are in the  
6 Strawn at this location?

7           A.       That's correct.

8           Q.       In this pod?

9           A.       Yes.

10          Q.       You are sharing the information with the  
11 offsetting operator to the west?

12          A.       Yes.

13          Q.       Do you have anything further to add to your  
14 testimony?

15          A.       No.

16          MR. CARR: At this time, Mr. Stogner, we would move  
17 admission of Nearburg Exhibits 4 and 5.

18          EXAMINER STOGNER: Exhibits 4 and a will be admitted  
19 into evidence.

20                               (Nearburg Exhibits 4 and 5 were  
21                               admitted in evidence.)

22          MR. CARR: One final question.

23          Q.       (By Mr. Carr) Mr. Elger, in your opinion, will  
24 approval of this application be in the best interest of  
25 conservation and prevention of waste and the protection of

1 correlative rights?

2 A. Yes.

3 MR. CARR: That's all I have, Mr. Stogner.

4 EXAMINATION

5 BY EXAMINER STOGNER:

6 Q. Mr. Elger, did you prepare Exhibit No. 4?

7 A. It was prepared under my supervision, both  
8 exhibits.

9 Q. Mr. Carr asked you if moving 330 feet to the  
10 east would affect this well, and you replied that it could  
11 possibly be thinner. Let me stretch this out a little bit.  
12 How about if you move about 400-foot to the north and east?  
13 We're looking at your map here, Exhibit 4. Why couldn't  
14 you move in that direction to a standard location?

15 A. Well, we're a little bit concerned both about  
16 the quality of the seismic data from which this  
17 interpretation was derived, and the fact that by moving  
18 that direction you would be moving in essence closer to the  
19 well in the south half of Section 10 which was obviously  
20 dry in the Strawn, having encountered only 87 feet of  
21 carbonate -- clean carbonate section with no apparent  
22 porosity.

23 If you refer back to Exhibit 5, you will see  
24 that the main porosity unit in the Strawn and the Coquina  
25 Nichols well is roughly from 10410 to 10490. It's roughly

1 a 90-foot porosity unit. That's probably where most of the  
2 reserves came from in that well, the half of BCF. You will  
3 see by the little dashed line at the top of that porosity  
4 unit that corresponding to the thickness, the increase of  
5 thickness of Strawn, we're hoping to and as a general rule  
6 you can also thicken that porosity unit.

7 And that's, of course, what we're trying to do;  
8 and we're using a little bit of -- we're a little bit  
9 hesitant to move either to the east towards -- the well up  
10 in the east half of Section 15 that was dry in the Strawn  
11 and also to the north to that well that was dry in the  
12 Strawn in the south half of 10. I mean that's the basic  
13 reason. We would be moving away from a key show well, is  
14 the Coquina Nichols well.

15 Q. That's the well in the north half of Section  
16 21 --

17 A. Yes.

18 Q. -- you are referring to? There is a well in the  
19 extreme southeast southeast quarter of Section 16 with no  
20 footage denoted. It's not denoted nor is there a --

21 A. That well is not deep enough.

22 Q. Okay. How does this pod in this area differ  
23 from the one down into the south and east of this area that  
24 you show in Sections 26, 23 and 27?

25 A. Well, they could be -- a lot of times the

1 geometry of these pods is not regular. It's not -- and the  
2 pods themselves, the better production comes out of the  
3 main carbonate masses themselves, and some of the wells  
4 that are fringe wells around -- that are of lesser  
5 thickness than the wells that are developed in the main  
6 part of the masses are really producing probably from  
7 carbonate detrital aprons that are shed off of the main  
8 carbonate pinnacles, if you want to call them that.

9           The well in Section 26, in the northwest quarter  
10 of 26, has an extreme thickness of carbonate. Probably  
11 penetrated one of the pinnacles rather than the carbonate  
12 aprons. Of course, you can see the relationship of that  
13 well to the other well drilled in Section 26, where 120  
14 feet of carbonate was encountered, clean carbonate section,  
15 and was probably not productive in the Strawn.

16           So it's -- the predictability of the porosity  
17 is -- the predictability of the pinnacles is -- porosity in  
18 the pinnacles is much greater than the predictability of  
19 the porosity in the carbon aprons surrounding them. We're  
20 hoping to at the proposed drill site in 15 encounter one of  
21 the main pinnacle masses.

22           Q.     When I look at the blue wells, showing Strawn  
23 production on there Exhibit No. 4, I show some here that  
24 have production and they're 75 feet in Section 33, and  
25 Section 17 I show a 56-foot.

1           A.     Here, again, most of those are producing just  
2 from just thin detrital sequences, you know, where you  
3 develop the 5 or 10 feet of porosity within that clean  
4 section that's indicated by the number by the well symbol.  
5 In most instances they're not really commercial to drill  
6 for. The main commercial production from the Strawn is  
7 again from the main pinnacle masses, such as that well in  
8 Section 26, northwest of 26, where I believe was an  
9 excellent well.

10          Q.     If this well was approved, you would essentially  
11 have two producing well pods at this time. How would the  
12 reservoir be affected with a third well drilled at a  
13 standard location in the west half of -- I mean the east  
14 half of Section 16? How would that affect the overall  
15 production and reservoir energy use of this particular pod,  
16 if it does indeed show to be as you have indicated on  
17 Exhibit 4?

18          A.     How would it affect the --

19          Q.     The producability of the reservoir?

20          A.     Producability of it?

21          Q.     Yes.

22          A.     I imagine -- it would probably be -- they  
23 probably would be in communication. I would think, based  
24 on the size of the interpretation of this mass, that both  
25 of those wells would share in -- be commercial Strawn

1 producers. We would hope they would be. Obviously, if the  
2 well in 15 is not clear commercial, you know, what we do in  
3 16 -- the information gained on 15 will be a great  
4 determining factor on what the development of the east half  
5 of 16.

6 Q. Wouldn't a well drilled at a standard location  
7 in the west half of 15 give you the same information?

8 A. Here, again, it's kind of a judgment based on  
9 both -- on the subsurface geology and the seismic  
10 interpretation as to where the maximum potential for  
11 encountering commercial reserves would be, and that's  
12 related to -- related to risk and we feel like the proposed  
13 location is less a risky location for the Strawn, for  
14 commercial reserves in the Strawn, than a standard location  
15 would be.

16 Q. Have you done any geology in the Morrow  
17 formation in this area? How a well at an unorthodox  
18 location would affect the drainage of the Morrow?

19 A. I have not.

20 Q. But you are asking for a Morrow nonstandard  
21 location; is that true?

22 A. Yes.

23 Q. Why didn't you do any geological look at that?

24 A. Well, because the Strawn is the main objective.  
25 The Morrow, the accuracy -- we're at least half a mile

1 distancewise in any direction to the closest Morrow  
2 penetration. I believe the well in the south half of 10  
3 has 87 feet. Most of the wells that you see numerical  
4 values for the Strawn are also Morrow penetrations. The  
5 well to the north -- in the southwest of 10 with 87 feet  
6 was dry in the Morrow also. The well in Section 22, west  
7 half of 22, the closest well to the south other than the  
8 Nichols well, was also dry in the Strawn. And the well in  
9 the east half of 15 was also dry -- I mean the Morrow, in  
10 the Morrow formation.

11           Therefore, we didn't feel it was -- of a great  
12 value. We didn't think we could make any great  
13 determination as to the value of the Morrow other than the  
14 serendipity or luck factor in encountering some gas-bearing  
15 sand within what section. The accuracy of the geology  
16 would be greatly diminished by the distance to all these  
17 other wellbores.

18           Q.     With that thinking, there are more Morrow wells  
19 than there are Strawn, so the accuracy in which you just  
20 alluded to in the Morrow also goes for the Strawn; is that  
21 correct?

22           A.     Other than the value of the seismic line, which  
23 was supplied here, the value of that seismic line of no  
24 value in determining the presence or absence of  
25 hydrocarbons in the Morrow. But it is in determining the

1 thickness value for the potential build up of the Strawn  
2 mass. Therefore, it had -- it had value for one section  
3 but not the other.

4 EXAMINER STOGNER: Are there any other questions of  
5 this witness?

6 MR. STOVALL: Yes.

7 EXAMINATION

8 BY MR. STOVALL:

9 Q. This isopach map is just your interpretation of  
10 some very limited data, is it not?

11 A. Well, again, it's a combination of  
12 interpretation of the seismic -- the seismic data and what  
13 was gleaned from the seismic line, the information gleaned  
14 from it.

15 Q. Is it possible that that pod could be oriented  
16 slightly differently or be different size or somewhat  
17 different shape?

18 A. There is definitely -- you know, it could have  
19 some variations to it, yes.

20 Q. Conceivably, say that thick section, the section  
21 within your 200-foot circle, could that possibly be wider  
22 or oriented a little more to the east or bring you -- in  
23 such a way to bring it further south?

24 A. I don't think it could be oriented anymore to  
25 the east. It could possibly be oriented in one direction



1 north or south.

2 Q. But if it were -- if it were, say, slightly wider  
3 or conceivably could come to the south, then south and east  
4 are a standard location? Is that -- if someone were to make  
5 a different -- if you were to make -- you or any other  
6 geologist to make a different interpretation is that --  
7 would that be reasonable?

8 A. They might interpret the data different.

9 Q. And would not coming further south get you a  
10 little bit closer to the good well in Section 21?

11 A. To the south?

12 Q. To the south, bringing the location south.

13 A. Based on seismic line I would say -- I would  
14 hesitate to move south anymore than what we already have.  
15 Again, these pods are developed -- the whole Strawn  
16 carbonate shelf -- shelf margin along which these carbonate  
17 mounds are developed is oriented northeast southwest strike,  
18 again from Lusk to Golden Lane and Big Eddy and down to  
19 Frontier Hills, and that's the direction of elongation of  
20 these pinnacles also. That's why a lot of the  
21 interpretation that you see before you is oriented to the  
22 northeast from that Coquina Nichols well.

23 Q. Was I correct in hearing you say the seismic was  
24 not one of the better seismic lines you have seen?

1           A.       It was not useful for picking the top of the  
2       Strawn. As you can see in the cross section, the top of the  
3       Strawn is indicated by a -- by a facies change from -- not a  
4       facies change, but a vertical change from shale into a clean  
5       carbonate section. That reflection surface was very  
6       difficult to pick. But there was -- you were able to see  
7       evidence that there was a sort of a drape, if you'd call it,  
8       as -- similar to what's displayed on the cross section  
9       between the Coquina Nichols and off to the northwest quarter  
10      of Section 15. That drape infers to be reflecting a thicker  
11      carbonate massive line unit down below the top of the  
12      Strawn, which is the major isopach -- or the isopach  
13      interval that's utilized to build this map.

14           Q.       You don't have that seismic with you?

15           A.       No.

16           MR. STOVALL: No further questions.

17           EXAMINER STOGNER: Are there any other questions of  
18      this witness?

19           MR. CARR: No questions.

20           EXAMINER STOGNER: He may be excused. Anything  
21      further?

22           MR. CARR: Nothing further, Mr. Stogner.

23           EXAMINER STOGNER: Anybody else have anything further  
24      in case 10297? If not, this case will be taken under

1 advisement.

2 (Whereupon, the hearing was concluded at the  
3 approximate hour of 10:30 a.m.)

4 \* \* \*

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1 STATE OF NEW MEXICO )  
 ) ss.  
 2 COUNTY OF SANTA FE )

3 REPORTER'S CERTIFICATE

4  
 5 I, Susan G. Ptacek, a Certified Court Reporter and  
 6 Notary Public, do HEREBY CERTIFY that I stenographically  
 7 reported the proceedings before the Oil Conservation  
 8 Division, and that the foregoing is a true, complete and  
 9 accurate transcript of the proceedings of said hearing as  
 10 appears from my stenographic notes so taken and transcribed  
 11 under my personal supervision.

12 I FURTHER CERTIFY that I am not related to nor employed  
 13 by any of the parties hereto, and have no interest in the  
 14 outcome thereof.

15 DATED at Santa Fe, New Mexico, this 7th day of June,  
 16 1991.

17

18

19

20

21


22

23


24

25

My Commission Expires:  
 December 10, 1993

  
 SUSAN G. PTACEK  
 Certified Court Reporter  
 Notary Public

I do hereby certify that the foregoing is  
 a complete record of the proceedings in  
 the Examiner hearing of Case No. 10292.  
 heard by me on 2 May 1991.

  
 Examiner  
 Oil Conservation Division