

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

APPLICATION OF MERIDIAN OIL )  
INC. FOR A HIGH ANGLE\HORIZONTAL )  
DIRECTONAL DRILLING ILOT PROJECT, )  
SPECIAL OPERATING RULES THEREFORE, ) CASE NO. 10325  
A NON-STANDARD OIL PRORATION UNIT, )  
AN UNORTHODOX WELL LOCATION, AND )  
A SPECIAL PROJECT ALLOWABLE, )  
SAN JUAN COUNTY, NEW MEXICO. )  
-----)

REPORTER'S TRANSCRIPT OF PROCEEDINGS  
EXAMINER HEARING  
BEFORE: MICHAEL E. STOGNER, Hearing Examiner  
June 13, 1991  
Santa Fe, New Mexico

This matter came for hearing before the Oil  
Conservation Division on June 13, 1991, at the Oil  
Conservation Division Conference Room, State Land office  
Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico,  
before Linda Bumkens, CCR, Certified Court Reporter No.  
3008, for the State of New Mexico.

FOR: OIL CONSERVATION DIVISION  
(ORIGINAL)

BY: LINDA BUMKENS CCR  
Certified Court Reporter  
CCR No. 3008

## INDEX

1		
2		
3	Examination by Mr. Kellahin	5
4	Witness: Charles Jones	
	By Mr. Stogner	19
5	By Mr. Stovall	20
	By Mr. Stogner	25
6	By Mr. Stovall	28
7	Examination by Mr. Kellahin	36
	Witness: Michael Dawson	
8	By Mr. Stogner	48
9	Examination by Mr. Kellahin	50
	Witness: Paul Allen	
10	By Mr. Stogner	53
	By Mr. Stovall	55
11	Examination by Mr. Kellahin	
12	Witness: Alan Alexander	56
	By Mr. Stovall	60
13	Examination by Mr. Stovall	62
14	Witness: Charles Jones	
	Examination by Mr Kelllahin	64
15	Statement by Bill Hawkins	66
16	Exhibits 2, 3, 4, admitted	19
17	Exhibits 5, 6, 7, 8 admitted	47

## APPEARANCES

FOR MERIDIAN OIL: KELLAHIN, KELLAHIN & AUBREY  
Attorneys at Law  
BY: MR. W. THOMAS KELLAHIN,  
ESQ.  
117 N. Guadalupe  
Santa Fe, New Mexico 87501

FOR AMOCO PRODUCTION  
COMPANY and TEXACO,  
INC.: CAMPBELL & BLACK, P.A.  
BY: MR. WILLIAM F. CARR, ESQ.  
110 N. Guadalupe  
Santa Fe, New Mexico 87501

ALSO PRESENT: MR. BILL HAWKINS

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.  
General Counsel  
Oil Conservation Division  
State Land Office Building  
Santa Fe, New Mexico 87504

1 MR. STOGNER: Come to order. Call case  
2 10325.

3 MR. STOVALL: Application of Meridian Oil,  
4 Inc., for a high angle/horizontal directional  
5 drilling pilot project, special operating rules  
6 therefore, a non-standard oil proration unit, an  
7 unorthodox well location, and a special project  
8 allowable, San Juan County, New Mexico.

9 MR. STOGNER: Call for appearances.

10 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin  
11 of the Santa Fe law firm of Kellahin, Kellahin &  
12 Aubrey appearing on behalf of the applicant, and I  
13 have four witnesses to be sworn.

14 MR. STOGNER: Are there any other  
15 appearances?

16 MR. CARR: May it please the Examiner, my name  
17 is William F. Carr with the law firm Campbell &  
18 Black of Santa Fe. I represent Amoco Production  
19 Company. I do not intend to call a witness.

20 MR. STOGNER: Are there any other  
21 appearances? Will the witnesses please stand to be  
22 sworn?

23 MR. KELLAHIN: Mr. Examiner, my first witness  
24 is Chuck Jones. Mr. Jones is a reservoir engineer.

25 EXAMINATION

1 BY MR. KELLAHIN:

2 Q. Mr. Jones, will you please state your name  
3 and occupation.

4 A. Charles A. Jones, and I'm a reservoir  
5 engineer for Meridian Oil Incorporated, Farmington,  
6 New Mexico.

7 Q. Mr. Jones, will you summarize your  
8 employment experience and your educational  
9 background for us?

10 A. I have a bachelor of science in petroleum  
11 engineering from Texas Tech University in Lubbock,  
12 Texas, in 1981. Upon graduation I worked for  
13 El Paso exploration and Meridian Oil for the last  
14 ten years in production engineering, reservoir  
15 engineering, and drilling in various states.

16 Q. Summarize for us your involvement as the  
17 reservoir engineer in this project for the drilling  
18 of a high angle well in the Huerfano unit.

19 A. I was part of the technical team that chose  
20 locations, designed well bores, and calculated  
21 economics for the Huerfano number 300 high-angle  
22 well.

23 MR. KELLAHIN: We tender Mr. Jones as an  
24 expert reservoir engineer.

25 MR. STOGNER: Mr. Jones is so qualified.

1 Q. (By Mr. Kellahin) Mr. Jones, let me have  
2 you turn to the exhibit booklet that we've put  
3 together and have you turn to tab six. It says  
4 "Exhibit 6," and if you'll fold out the display,  
5 help orient us to where we are in the basin when  
6 we're looking at this Huerfano unit. Where is this?

7 A. This is south of Bloomfield, approximately  
8 40 miles. It's close to the Angel Peak recreation  
9 area.

10 Q. The type of production being produced  
11 principally from this Huerfano unit is from what  
12 pool?

13 A. It is developed in three or four  
14 formations, but we are looking at the Gallup pool  
15 for this well.

16 Q. When we look at this display, identify for  
17 us where the particular section is in which you are  
18 seeking approval to drill the high-angle well.

19 A. This is section 31 of township 27 north  
20 range 10 west. It's identified by an orange dot in  
21 the southeast quarter.

22 Q. Give us a brief summary of how Meridian, as  
23 operator of the unit, has developed the Gallup in  
24 this particular unit.

25 A. The Gallup has been developed on a trend

1 from the northwest to the southeast to the east of  
2 this location, and it's in the thicker part of the  
3 Gallup interval.

4 Q. In relation to this northwest-southeast  
5 thickening in the Gallup, where does this particular  
6 location lie?

7 A. It lies on the edge of the productive  
8 interval.

9 Q. When we're looking at the Gallup within the  
10 unit, is it subject to any special rules and  
11 regulations administered by the oil conservation  
12 division?

13 A. Yes, sir. The Angel Peak, Gallup  
14 associated pool has rules that regulate the oil and  
15 gas production depending upon the classification of  
16 the well.

17 MR. KELLAHIN: Mr. Examiner, I show you for  
18 your information a copy of the associated oil and  
19 gas rules. We'll be dealing with the Angel Peak  
20 Gallup.

21 Q. (By Mr. Kellahin) In summary, Mr. Jones,  
22 tell us your proposed location with regards to the  
23 spacing rules for the associated pool rules in the  
24 Gallup for this well?

25 A. The proposed location of this well is

1 located in a -- inside the drilling windows for a  
2 320, a gas well location, a gas well drilling  
3 window, and it's within the 797 setback associated  
4 with that.

5 Q. Okay. Let's turn to the documentation  
6 behind Exhibit number 2. The first is simply a  
7 locator plat?

8 A. Yes, sir. It shows the location of the  
9 proposed well in section 31 as it relates to the  
10 Huerfano unit itself and Angel Peak Field.

11 Q. All right. When you characterized this as  
12 this "Angel Peak field," is that the Gallup  
13 production that you've discussed a while ago?

14 A. Yes, sir. The Angel Peak Gallup associated  
15 field.

16 Q. All right. And that pod, if you will, that  
17 is shaded in red represents the area where you have  
18 the wells of greatest productivity?

19 A. Yes, sir.

20 Q. Let's go now to C102 which follows that  
21 display. Your proposed starting point for the  
22 high-angle well is as shown on this display?

23 A. Yes, sir. It's 1060 feet from the east  
24 line and 1450 feet from the south line of section  
25 31.



1 Q. Do we have an approved surface location for  
2 utilizing this specific location for the well?

3 A. Yes, sir. It's been inspected by the  
4 field.

5 Q. This is going to be drilled pursuant to  
6 federal surface and drilling requirements?

7 A. Yes, sir.

8 Q. All right. If it's a gas well and  
9 associated gas pool, you propose to dedicate the  
10 south half to that well?

11 A. Yes, sir.

12 Q. Under the associated pool rules, what type  
13 of window will you have for offsetting this well  
14 from its outer boundaries of its spacing unit?  
15 What's your setback going to be?

16 A. We used 790 from all outside lines.

17 Q. Okay. Have you a recommendation for the  
18 examiner with regards to how to establish a project  
19 allowable to this well that is consistent with the  
20 rules for allowables in this associated oil and gas  
21 pool?

22 A. We would ask for a special allowable on  
23 this particular well that would be the actual  
24 deliverability of the well into the pipeline at the  
25 pipelines pressure, or two times the gas allowable

1 of the Angel Peak rules, or four times the allowable  
2 of the oil in the event that it's classified as an  
3 oil well.

4 Q. You've summarized that request as the first  
5 display following tab Exhibit 3?

6 A. Yes, sir.

7 Q. Let's take a moment and explain your  
8 request, Mr. Jones, by first of all, having you go  
9 back to the associated rules for the pool, and tell  
10 us what would be the maximum gas rate at which you  
11 could produce this well if it were a conventional  
12 vertical well in the pool with 320 acres dedicated  
13 to it.

14 A. The allowable for a gas well in this pool  
15 on the 320-acre spacing is based on a calculation of  
16 the top oil allowable. The top gas allowable would  
17 be 1,000,776 mcf per day.

18 Q. Take us through the calculation. It is  
19 predicated first upon the top oil rate on a daily  
20 basis?

21 A. Yes, sir.

22 Q. And what is that number?

23 A. 222 barrels of oil per day.

24 Q. And you multiply the oil rate times a  
25 gas/oil ratio?

1 A. Yes, sir.

2 Q. And that gets you the corresponding 1.7  
3 million mcf a day?

4 A. Also multiplied by ratio of the 320-acre  
5 gas spacing unit over the 80-acre oil.

6 Q. All right. So you have an acreage factor  
7 that you put into the allowable calculation?

8 A. Yes, sir.

9 Q. The end result of that calculation then  
10 gives you the 1.77 million mcf a day that you've  
11 shown on this display?

12 A. Yes, sir.

13 MR. STOGNER: Excuse me, Mr. Kellahin. Let's  
14 get the numbers right in the record. Are we talking  
15 about 1.7 million cubic feet a day or 1.7 mcf a day?

16 A. 1.7 million cubic feet per day.

17 MR. STOVALL: We've thrown mcf out here, and I  
18 think --

19 A. I've got an extra "M" in there. 1776 mcf  
20 per day.

21 Q. (By Mr. Kellahin) you've got 1.77 million  
22 cubic feet of gas?

23 A. Yes.

24 Q. All right. We had a hell of a well going,  
25 didn't we?

1 A. Yes.

2 Q. When we translate under the allowable  
3 calculation then, the formula to give you the top  
4 gas rate, that gas rate is shown on this display?

5 A. Yes.

6 Q. Show me how you have calculated a top oil  
7 allowable.

8 A. The top oil allowable is based on depth in  
9 the unit, and at the depth of the original well when  
10 the unit was established was, I believe, it was in  
11 the 6,000 foot range, and the corresponding  
12 allowable for that depth is 222 barrels of oil,  
13 which was the top allowable in the unit.

14 Q. Is it your expectation as a reservoir  
15 engineer that we're likely to see an oil well  
16 resulting from this effort, or a gas well?

17 A. We expect a gas well.

18 Q. The request for a special project allowable  
19 is shown on the right portion of the display?

20 A. Yes, sir.

21 Q. What is your reason as a reservoir engineer  
22 to want the additional allowable assigned to this  
23 well?

24 A. This being a test case, we would appreciate  
25 an exception to the allowable because we would not

1 want our test well to be penalized if it could  
2 produce more than the 1.7 million. We would allow  
3 -- we would request a cushion to be able to test  
4 the well in adequate fashion to ascertain the  
5 viability of its technology.

6 Q. All right. You've given me two answers.  
7 Let me separate them into two different questions.  
8 In terms of testing the well to derive information  
9 for you as a reservoir engineer to judge the success  
10 of this project, do you have a plan to test this at  
11 various rates of performance?

12 A. Yes, sir.

13 Q. If you test the well at its maximum  
14 potential deliverability, at least its potential  
15 that that deliverability may exceed its gas  
16 allowable under the rules?

17 A. Yes, sir.

18 Q. All right. What do you gain as a reservoir  
19 engineer if you have the flexibility, or the  
20 cushion, if you will, of having a bonus allowable by  
21 which then to produce this gas?

22 A. The flexibility will allow us to produce  
23 the well at a more official rate to lift liquids and  
24 gas, and also to evaluate the completion techniques  
25 of the well.

1 Q. How is that any different than what you  
2 might want to do with a vertical well?

3 A. We believe that the pattern of the well to  
4 go across multiple horizons at a high angle will  
5 allow us to penetrate more producing zones, and thus  
6 increase our produceability of a well.

7 Q. If you're allowable constrained on your  
8 ability to flow gas and thereby lift liquids on this  
9 long, lateral extension of this well bore, might it  
10 affect the performance of your well?

11 A. Yes, sir.

12 Q. And would that officially then preclude you  
13 from deriving the maximum amount of data by which to  
14 ultimately determine the optimum way to produce  
15 these kind of wells?

16 A. Yes, sir.

17 Q. Let's go to some of the economics which was  
18 your other answer to my question, and if you'll turn  
19 to the next portion of display after  
20 Exhibit Number 3. Give us a sense of what you're  
21 trying to depict here with these diagrams.

22 A. What we're trying to depict is that a  
23 vertical well in this margin of the field will cost  
24 \$500,000 to \$600,000, and will probably be  
25 marginally economic, if that. The high-angle well

1 will penetrate most of the drilling window in the  
2 320, and we hope to encounter fractures in the  
3 Niobraro zone.

4 Q. Okay.

5 A. And that cost is upwards of 1.5 to  
6 \$2,000,000 for these wells.

7 Q. When we're looking at this Gallup, you're  
8 specifically targeting in principally on the  
9 Niobrara portion?

10 A. The Niobrara is our main or a target. We  
11 will continue on into the Tocito and into the Gallup  
12 also if drilling conditions permit.

13 Q. Is the Niobrara in this area a fractured  
14 reservoir that accounts for the productivity of the  
15 wells?

16 A. In the thicker parts of the Gallup field,  
17 the Niobrara contributes some production of the main  
18 zone of the Tocito with Niobrara usually perforated  
19 in addition to that, and in the cases where the  
20 Niobrara has encountered fractures, the recoveries  
21 have been considerably higher than the regular  
22 Tocito.

23 Q. Okay. Summarize then for us what you see as  
24 a reservoir engineer in the advantage of a  
25 high-angle well versus another vertical well, if you

1 will.

2       A.     The high-angle well will encounter more  
3 formation, it will also go across these at a high  
4 angle to encounter fractures, it will also intercept  
5 the Tacito out where the Tocito is thinner and  
6 marginal, intercept that at a high angle and  
7 increase the exposure of the formation to the well  
8 bore.

9       Q.     And you've estimated for the examiner your  
10 general range of cost for a vertical well versus the  
11 high-angle well?

12       A.     Yes, sir.

13       Q.     Okay. And then the following display  
14 summarizes some of the advantages and some of the  
15 inherent risks involved in utilizing this  
16 technology?

17       A.     Yes, sir. Meridian Oil will drill the  
18 Huerfano number 300 in order to prevent waste and  
19 improve our drainage efficiency. We will develop  
20 this marginal area or attempt to develop the more  
21 marginal areas of the field, and we hope to enhance  
22 our fracture reception.

23       Q.     Let's go back and explore this notion of  
24 waste and development of a marginal area. When we  
25 look at section -- what is it, 21?



1       A.     Thirty-one.

2       Q.     I'm sorry. Section 31, and we look at the  
3 south half, is there an existing well in that  
4 spacing unit?

5       A.     Not in the Gallup.

6       Q.     So the well we see on some of the displays  
7 is not one of the Gallup wells?

8       A.     No. There is a PC well that we are  
9 adjoining for our surface location, in the  
10 southeast.

11      Q.     Have you examined whether it's economically  
12 feasible for your company to develop this fringe  
13 area of the Gallup within the unit with conventional  
14 vertical technology?

15      A.     Yes, we've evaluated this south half. We  
16 would not drill a Gallup well in the west half of  
17 this drill block because of the marginal exposure to  
18 the Tocito and Niobrara, and also we would have to  
19 look long and hard at drilling a vertical well in  
20 the east half of this. Also it would probably be  
21 marginal, so we hope to enhance the going -- enhance  
22 our performance by going across the total drill  
23 block in the Gallup.

24      Q.     With the horizontal well?

25      A.     Yes, sir.

1 Q. Okay. I know we have a drilling engineer to  
2 discuss the drilling and completion program, but let  
3 me have you summarize for us, Mr. Jones, the  
4 information shown behind Exhibit Number 4, in terms  
5 of the plan for drilling and completing the  
6 high-angle well.

7 A. This exhibit is a plan view, it shows us  
8 drilling, setting surface pipe approximately 300  
9 feet. We would then drill with mud down to the top  
10 of the Niobrara, also building our angle at that  
11 point to intercept the top of Niobrara at  
12 approximately 5295 tbd 5510 measured depth.  
13 Intermediate casing would be set at that point at an  
14 angle of approximately 84 degrees. We would maintain  
15 that angle upon drill-outs with a motor at 84  
16 degrees across the entire interval to intercept the  
17 Niobrara, Tocito, and Gallup.

18 Q. Turn to the following display which is the  
19 plan view. What is the plan for orienting the  
20 lateral portion of the well and determining its  
21 azimuth, and ultimately the direction and distance  
22 that you go?

23 A. In the Huerfano unit number 300, we've  
24 planned this well to try to intercept the inferred  
25 fractures at perpendicularity. This azimuth would

1 proceed to approximately 277 degrees, our TD would  
2 end up within our drilling window. We would stay  
3 within the drilling window at all times with the 790  
4 setback.

5 Q. You desire to have the examiner give you  
6 the flexibility to determine the actual distance and  
7 orientation of that lateral portion of the well so  
8 long as you meet the 790 setbacks to the spacing  
9 unit?

10 A. Yes, sir.

11 Q. Okay. Well 79, says number 79, is that the  
12 Pictured Cliff Well that you referred to a while  
13 ago?

14 A. Yes, sir.

15 MR. KELLAHIN: I believe that completes my  
16 questions for Mr. Jones, Mr. Stogner. We would move  
17 the introduction of the displays shown behind  
18 Exhibits 2, 3, and 4 at this point.

19 MR. STOGNER: Exhibits 2, 3, and 4 will be  
20 admitted into evidence at this time.

21 MR. STOGNER: Mr. Jones, referring to  
22 Exhibit 3. Now, in this particular pool, it is an  
23 associated pool -- we've established that -- and,  
24 for the record, oil wells are spaced on 80 acres and  
25 gas wells are spaced on 320 acres, and as your

1 exhibit shows on Exhibit 3, this 320-acre tract will  
2 essentially be four 80's together. Especially if we  
3 oriented them up as standups.

4           As far as your allowable, for a top unit  
5 allowable being four times that, I believe that's  
6 quite understandable, and I believe you can probably  
7 even find that we have done that in past experience  
8 and past orders, and of course, then a precedent has  
9 been established on that type of a setup.

10           However, I'm still somewhat apprehensive,  
11 questionable, on your deliverability, gas allowable  
12 and your double the allowable if it's at 320. Could  
13 you elaborate a little bit more on that, and when I  
14 ask to elaborate, perhaps touch on the issue of how  
15 this would affect the pool overall and correlative  
16 rights, and what an allowable in an associated pool  
17 establishes?

18           A.     Okay. On the issue of correlative rights,  
19 we are within the unit and we are -- the drill block  
20 -- surrounding this drill block are in the unit, so  
21 that being the case, we do not believe the  
22 correlative rights issue is at danger here.

23           MR. STOVALL: Let me stop you right there. It  
24 is a common participating area where the surrounding  
25 prorations units are all sharing in production on a

1 common formula?

2 A. The Gallup PA, this well would enter into  
3 the Gallup PA upon completion. There is a Gallup PA  
4 in Exhibit Number 6. The blue-shaded portion  
5 illustrates the Gallup PA as it stands now.

6 MR. STOVALL: Okay. So you would propose  
7 bringing the south half of 31 into the Gallup PA?

8 A. Yes.

9 MR. STOVALL: What about section 32 and  
10 section 6 to the south? They're not part of that PA  
11 now; is that correct?

12 A. Part of 32 is in the PA and as far as I  
13 know, section 6 is not in the PA.

14 MR. STOVALL: Will they be brought in? I mean,  
15 they're within the offset tract that would be most  
16 affected, are they not?

17 A. Yes, sir. Upon drilling of another Gallup  
18 well, that would be brought in. I do not know if  
19 they would be brought in upon geologic inference at  
20 this time. We would have to drill the well and  
21 evaluate it.

22 MR. STOVALL: And the north half of 31 would  
23 be affected, potentially affected -- I mean, what  
24 you've said is that correlative rights of the unit,  
25 if there are any units of correlative rights really

1 are a consideration; however, if I understand this  
2 correctly, just because they're in the unit may mean  
3 the lease is held, but it doesn't necessarily mean  
4 the offsetting tracts participate in the production  
5 in a common way, does it?

6 MR. KELLAHIN: In this case we have  
7 Mr. Alexander to address those issues for you,  
8 Mr. Stovall.

9 MR. STOVALL: This witness can answer from the  
10 engineering standpoint as far as the effect on  
11 production. You made a statement, and I'd like to  
12 support that statement with his knowledge of the  
13 explanation, and I certainly will give Mr. Alexander  
14 a chance to --

15 A. We do not believe that due to the nature of  
16 the formation itself that we will be draining  
17 anything other than the 320, if that much. So from  
18 that point of view, we do not believe any offset  
19 drill blocks will be affected. The north half of  
20 section six, at this time, we would not plan to  
21 bring it in based on the performance of the 300  
22 well.

23 MR. STOVALL: Again, all these questions are  
24 in the context of essentially asking for a double  
25 deliverability factor for a standard gas proration

1 unit. I think we're finished. What was the rest of  
2 your question?

3 MR. STOGNER: We were touching on the  
4 correlative rights and how it would affect the pool  
5 overall, and he stated essentially they were within  
6 the unit. Being in the unit, would that affect the  
7 allowables of all the gas pools overall, and pool  
8 ability to produce?

9 A. No, sir. We do not believe that to be the  
10 case because of the tightness of the formation in  
11 this area. We believe it would be -- it would not  
12 affect the other wells' production or ability to  
13 produce. This allowable would just be limited to  
14 this one well for the special project stated, and be  
15 limited only to this one well.

16 MR. STOGNER: Do you know if there's any wells  
17 that have been produced their gas allowable -- let  
18 me rephrase that -- any gas wells in the Angel Peak  
19 that are presently producing their allowable that  
20 you know of?

21 A. I don't know of any at this point. The  
22 wells that I'm familiar with are producing less than  
23 1.7 million a day.

24 MR. STOVALL: Let me ask a question in real  
25 simple terms that we nonengineers can understand.

1 It's very clear to me that if you've got one well  
2 producing from four standard proration units, that  
3 it's reasonable to give them four allowables. You  
4 know the allowable for all four units, but if you've  
5 got one well that's producing from one proration  
6 unit as in this case, what's the rationale for  
7 giving it double the allowable?

8 A. When we looked at this particular half  
9 section, it is our belief that we would take it up  
10 to two wells to try to develop this in the  
11 Gallup/Tocito whether or not that would be part of  
12 the rule -- whether or not you could actually drill  
13 two wells or not, we thought you'd at least have to  
14 have two wells, one in each quarter, to try to  
15 develop this, but our examination said that we could  
16 not economically drill even one vertical well in  
17 there, so that's the rationale behind asking for  
18 double the gas allowable for that 320.

19 MR. STOVALL: You're saying that if you drill  
20 two vertical wells you would add the deliverability  
21 of those two wells together to determine the  
22 allowable; is that what you're telling me?

23 A. No, sir. I would have to drill two wells to  
24 even develop -- to try to develop those reserves.

25 MR. STOVALL: You're talking about the



1 engineering sense. I'm talking about the regulatory  
2 question. If you drill those two wells to develop  
3 those reserves, how would you -- and based on your  
4 understanding of the rules that govern this pool,  
5 how would you determine the gas well deliverability  
6 factor as goes into the allowable calculations?

7 A. I would probably still have to go with the  
8 pool rules of the 1.77 million for the total drill  
9 log.

10 MR. STOVALL: It's all based on oil allowable;  
11 isn't it?

12 A. Yes, sir. It all comes back from the 220  
13 back to the 1776 per day.

14 MR. STOVALL: I guess I'm still a little  
15 confused by why that should be doubled for the gas  
16 well, but --

17 MR. STOGNER: I'm going to go back to an even  
18 more basic question to bring me up to date on the  
19 Angel Peak. Why was it an associated pool in the  
20 first place? What kind of drive mechanism is the  
21 Angel Peak Gallup?

22 A. In this area we believe it is a solution  
23 gas-type drive, but I'm not totally familiar with  
24 all the history of the Angel Peak field in the  
25 Gallup, and I'm not sure -- at one time it was an

1 oil field, and then I believe in the early to mid  
2 70's it was changed to this associated pool, and I  
3 believe people were at -- the reason there was  
4 people were wasting gas to develop oil, and whether  
5 or not it was associated with the drive mechanism or  
6 just to alleviate the waste of oil -- excuse me --  
7 the waste of gas, I'm not sure.

8 MR. STOGNER: You don't know if it's a gas cap  
9 drive or overall in this particular area?

10 A. It is not overall in certain parts of the  
11 Tocito which has primary permeability. It may at  
12 one time have had a gas cap.

13 MR. STOGNER: Do you know how many gas wells  
14 are in the pool?

15 A. No, sir, I do not.

16 MR. STOGNER: How about in your unit? Are  
17 those mostly gas wells or oil wells in your unit?

18 A. In our unit they are nearly all gas wells.  
19 The few oil I know about are to the north of the  
20 unit, and there is one to the south, but I do not  
21 believe it is classified as an Angel Peak/Gallup  
22 well.

23 MR. STOGNER: Are vertical wells, whether it  
24 be gas or oil -- are they stimulated in this area?

25 A. Yes, sir, they are.

1 MR. STOGNER: And how are they stimulated?

2 A. They're stimulated with either  
3 sand-water-type fract or sand-water fract assisted  
4 by some sort of a gas lift mechanism.

5 MR. STOGNER: When a vertical well is  
6 fractured in this area, do you know the extent of  
7 the fracture, or has that been determined out there,  
8 or has there been any calculation to determine that?

9 A. No, sir, not that I'm aware of.

10 MR. STOGNER: All right. Especially as far as  
11 distance goes, if it happens not to penetrate or be  
12 near one of these vertical fractures in which you're  
13 trying to intercept?

14 A. No, sir. I don't have that information  
15 right now. They're not -- if I may add -- they are  
16 not massive fracture jobs that would extend  
17 thousands of feet. They are small, localized fract  
18 jobs that would stay definitely within the unit.

19 MR. STOGNER: And that unit -- in the  
20 proration unit?

21 A. The proration unit, the drill block, yes,  
22 sir.

23 MR. STOGNER: But the idea of fracturing is to  
24 open up more surface area and also try to establish  
25 a communciation with the vertical interval; is that

1 correct?

2 A. Yes, sir.

3 MR. STOGNER: And the way with what you're  
4 doing here; is that right?

5 A. Yes, sir. This well and our first proposal  
6 will be completed open hole through the entire  
7 Gallup trend if the success warrants it, if not, it  
8 would be case-cemented with a liner and fract in our  
9 -- in various choice zones as evaluated.

10 MR. STOVALL: I think you may have gathered at  
11 this point we do have a little bit of concern about  
12 your gas well allowable request, and the concern, of  
13 course, is the correlative rights issue primarily.

14 In this situation I presume if it's a gas  
15 well, there isn't a waste problem of depleting the  
16 reservoir energy; is that correct?

17 A. No, sir. There's no problem there.

18 MR. KELLAHIN: Let me interject a thought,  
19 Mr. Stovall. I think what we were confronted with is  
20 the associated gas rules particularly for this  
21 portion of this pool within the unit don't seem to  
22 fit very well.

23 Quite frankly, we've got gas wells  
24 producing here and we're not in a conventional  
25 reservoir where you've got a gas cap and you're

1 trying to reduce gas withdrawals to maximize liquid  
2 recovery, and rather than asking for an exception  
3 and treat this as a conventional typical dry gas  
4 well, which would not have any allowable constraints  
5 on its ability to produce, we felt compelled to deal  
6 with the associated rules that controlled the  
7 production, but they don't fit very well, and so  
8 we're looking at a way to escape the limitations of  
9 an artificial gas limit, the associated rules, and  
10 maybe we've structured the application wrong, but  
11 that's the predicament we're in.

12 MR. STOVALL: I understand what you're saying,  
13 and I think I will tell you from the division  
14 standpoint, that we're not opposed to incentives for  
15 experimental production techniques that will yield  
16 greater reserves, but in doing so an allowable, of  
17 course, are the biggest single problem area in that  
18 context. One of the ideas which we've kind of  
19 discussed is to come up in the context of strict  
20 prorated gas pools. It could be applied, I think,  
21 consistently in a common ownership area such as a  
22 unit in a minute I'll ask you to comment more from a  
23 standpoint of -- I think, if this well were  
24 authorized to produce at a higher level, and it  
25 were, in fact, capable of producing in excess of a

1 320-acre gas allowable in this pool, can you  
2 conceive of any way where that gas could effectively  
3 be made up in another part of a participating area?

4 A. What in effect you're doing is that really  
5 is a fancy way of saying "combining allowables," and  
6 we're just experimenting with ideas here. I'm not  
7 suggesting that as a solution. Again, you know, I  
8 know Mr. Alexander knows more than just land, if  
9 he'd like to get into this too.

10 MR. STOVALL: Let's let the engineer answer it  
11 from an engineer standpoint, then from a practical  
12 standpoint. Mr. Alexander I'd be glad to have your  
13 standpoint on that. We're just trying to get some  
14 ideas that can be used as a precedential value  
15 uniform application to comparable situations. I  
16 guess that's what I'm trying to say.

17 A. Let me see if I understand. You're saying  
18 if we were, in fact, able to produce this well in  
19 excess of the gas allowable, would it limit any  
20 other wells?

21 MR. STOVALL: Could you conceive of a way that  
22 you could use some other well's allowable, in  
23 effect, to do that?

24 A. Not the way it's set up right now because  
25 of the drill blocks.

1 MR. STOVALL: On a proration unit basis; is  
2 that what you're saying?

3 A. To my knowledge they are, yes, sir.

4 MR. STOVALL: And just for your information,  
5 sir, so you don't think I'm completely coming out of  
6 the blue on this, we've had requests for special  
7 allowables in the gas pools in the northwest and  
8 have talked about unit-type of lease allowables  
9 rather than proration unit allowables -- ideas that  
10 are being -- that's where the idea comes from.

11 A. If this well were what we would term a  
12 success, and would, in fact, be able to produce in  
13 excess of the unit gas allowable, we would -- we  
14 would probably research the effort and come back  
15 with some sort of a system to develop these  
16 marshland areas probably. Some sort of -- at this  
17 point, we don't have enough background as to how  
18 these wells will perform and do not want to open up  
19 the can of worms of, "Do we need to develop a  
20 different allowable system for the different  
21 marshland areas of the system of Gallup?"

22 MR. STOVALL: Yeah, I understand. Now the  
23 other thing is unlike a prorated gas pool, you don't  
24 have an overproduction limit as such which would  
25 allow you to produce like gangbusters for a while to

1 test the well; is that correct?

2 A. To my understanding it is strictly a daily  
3 allowable and we wouldn't be able to exceed that on  
4 an excessive basis.

5 MR. KELLAHIN: We only have a three-month  
6 swing under these rules for gas allowable  
7 overproduction if you will.

8 MR. STOVALL: Again, and we're throwing  
9 something out that I know you haven't had a chance  
10 to discuss with management, but from your  
11 professional opinion as an engineer, from looking at  
12 it from a testing and not an economic recovery  
13 standpoint, would you have any -- what would your  
14 opinion be of a -- given a deliverability-based  
15 allowable on a period of time to allow you to test  
16 the well, but tracking that against standard  
17 allowable and then requiring makeup over a period of  
18 time and putting in some special testing-type  
19 allowable with a makeup situation to get back into  
20 balance, so to speak, from an engineering standpoint  
21 is what I'm asking.

22 A. We would like up to a year to evaluate the  
23 well once it comes on production. Whether or not  
24 you want to set up a testing period of that length  
25 of time, I don't know, but a year's worth of



1 production would be most helpful in our evaluation.

2 MR. STOVALL: Do you you have any idea in your  
3 mind what the potential sustained deliverability of  
4 this well could be? Have you got any basis for  
5 making that kind of opinion?

6 A. Not at this time. There are wells in that  
7 area that would have produced at first in excess of  
8 that in some of the fractcs -- what we believe to be  
9 the wells incurrent fractures in the Niobrarra

10 MR. STOVALL: In excess of 17 million --  
11 excuse me -- 1.7 million?

12 A. Yes, sir, but at this time, they are of an  
13 age where they would not do that at this point.  
14 They have a very large cumulative production and  
15 they are not depleted, but they have depleted at  
16 some of their drive, and they would not produce at  
17 this time.

18 MR. STOVALL: Do you have an opinion as to  
19 whether or not this well would sustain above 1.7  
20 million rate for a year, or is it likely that you  
21 might produce double your,, say three million or  
22 whatever and come back down so it would almost bring  
23 itself into balance through depletion of the --

24 A. Probably in a length of time it would bring  
25 itself into balance, yes; an evaluation would be

1 important to us in productivity of the sands and  
2 whether or not we were within the right area to test  
3 this technology.

4 MR. STOVALL: Again, I'll point out to you for  
5 everybody, to help you structure your thinking, what  
6 we are trying to do -- the division has not yet  
7 written any general specific rules for horizontal  
8 drilling. The reason we've not done so is there are  
9 different situations, and we're trying to gather  
10 information when we write rules which make these  
11 things more automatic and we can handle  
12 administratively. We'd like to know what we're  
13 doing, and that's why I'm asking how we can develop  
14 your testing. Meridian happens to be one of the  
15 more active horizontal drillers at the moment I  
16 guess.

17 A. Well, sir, let me say this: Meridian has  
18 brought before you a horizontal well in the Cole.  
19 We brought before you horizontal high angle wells in  
20 the Mesa Verde, and now we're coming at you for the  
21 Gallup test, and from that standpoint it would --  
22 you would be hard-pressed to try to develop some  
23 overall rules. You would still have to stay within  
24 some sort of pool outline, so we want to stress that  
25 this is a Gallup test and for that reason we're not

1 trying to stay within any other preestablished rules  
2 for the horizontal well because they just do not  
3 apply.

4 MR. STOVALL: I understand that, and I guess  
5 what I'm saying is that if we develop this -- what  
6 we do here is hopefully we can generate some  
7 information so that we can be consistent in similar  
8 situations.

9 A. Yes, sir.

10 MR. STOVALL: And we're trying to approach it  
11 from a creative standpoint, if you will. I don't  
12 think I have any more questions about the technical  
13 aspect of that. I hope you understand what the  
14 purpose of this questioning is, and what we're  
15 trying to do here is balance correlative rights and  
16 still give the incentive to do more efficient  
17 production methods if possible, and how best to do  
18 that is more the -- I have no further questions --  
19 engineering-type questions. Do you, Mr. Stogner?

20 MR. STOGNER: Not at this point. Mr. Kellahin  
21 you may want to ask more of these questions with  
22 your other witnesses when they come up concerning  
23 this particular issue, especially Mr. Alan  
24 Alexander. I understand, as Mr. Stovall suggested,  
25 knows a little bit more about this.

1 MR. KELLAHIN: Let me go ahead and present the  
2 rest of the witnesses so you can get a complete  
3 picture of the different parts and we can go back  
4 into my witnesses if you want to.

5 MR. STOGNER: Mr. Kellahin, getting some  
6 telepathic communication from Mr. Carr to please  
7 watch your language. We will not allow profanity in  
8 my hearing process.

9 MR. KELLAHIN: What I say here I've learned  
10 from Mr. Carr.

11 MR. STOGNER: Thank you, Mr. Jones. You may  
12 be excused at this point.

13 EXAMINATION

14 BY MR. KELLAHIN:

15 Q. Mr. Dawson, for the record, will you please  
16 state your name and occupation?

17 A. Michael K. Dawson, a geologist for Meridian  
18 Oil in Farmington, New Mexico.

19 Q. Mr. Dawson, have you previously testified  
20 before the division as a petroleum geologist?

21 A. No, I have not.

22 Q. Summarize your educational experience and  
23 your employment for us.

24 A. I received a bachelor's degree in geology  
25 from the University of Michigan in 1971, and a

1 master's degree in geology from San Diego State  
2 University in 1978. From 1978 to 1980 I worked for  
3 Conoco, Inc.; from 1980 to the present I work for El  
4 Paso Exploration, now Meridian Oil. That period of  
5 time includes several years of experience in the San  
6 Juan Basin.

7 Q. What has been your specific involvement as  
8 a petroleum geologist concerning the Huerfano Unit  
9 and specifically this high angle/horizontal well  
10 project?

11 A. I did the initial geologic study that  
12 identified the Huerfano Unit as prospective for an  
13 application of high-angle drilling technology to the  
14 Gallup integrals.

15 Q. Mr. Jones has given us some of the  
16 reservoir information that caused Meridian to  
17 request this type of case. Let me have you give us  
18 the geologic background, and it might be helpful if  
19 I can have you turn to some of the geologic  
20 displays. Perhaps it's easiest to start with  
21 Exhibit Number 5 and let's look at a typelog. Where  
22 is this well from which the typelog was taken?

23 A. This is the Huerfano 287 just about a half  
24 mile to the southeast of the 300. This well  
25 specifically is also used as one of our reference

1 wells on our large display on the wall. It's the  
2 righthand well, and on our plat showing the well  
3 track, you can see that it's just about that half  
4 mile I mentioned to the southeast.

5 Q. Give us a summary of the reservoir geologic  
6 description that we're seeing in the Niobrarra and  
7 the Tocito Gallup.

8 A. We we are identifying the upper part of the  
9 Gallup or upper interval of interest which includes,  
10 if you'll refer to your typelog, Niobrarra A, B and  
11 C. We're looking at that as an interval consisting  
12 of interbedded sandstone, shales, and silt stones  
13 with very low matrix permeability.

14 We feel that it is prospective for natural  
15 fracturing and we would expect that fracturing to be  
16 vertical in nature, and most of the fracturing to be  
17 bed specific and limited to individual sandstone or  
18 silt stone stringers, those being the more brittle  
19 beds.

20 That interval -- that Niobrarra as we refer  
21 to it informally, we consider our primary objective  
22 in this well in the Angel Peak Field. That interval  
23 is completed in about half the wells, but we have  
24 reason to believe that it's not a major contributor  
25 in that field for a couple of reasons, including

1 some tests; for instance, in this 287 where we  
2 individually tested the upper purse versus the  
3 Tocito. Also we feel that from a few key wells in  
4 that area of the Basin that it is productive from  
5 natural fractures what we have density logs that  
6 show as little as one or two percent porosity yet we  
7 have some pretty decent production, so that upper  
8 interval is our main objective in this well.

9           Secondary objective is to test the Tocito  
10 sandstone which is sandstone with fairly good  
11 intergranule permeability, especially towards the  
12 axial part of its trend, and we want to test that  
13 out at the edge. There's kind of an apron of sand  
14 that extends out beyond the axial portion of the  
15 barlike trend. The tertiary objective would be the  
16 true aggressive Gallup sandstone. If you look at  
17 your typelog it would be the sandstone about 25 feet  
18 thick just below the unconformity symbol.

19           So we have three different reservoirs that  
20 we're testing here in this particular well.

21       Q.    Let's talk about the distribution of the  
22 reservoir within this particular area. If I can get  
23 you to turn to the displays after Exhibit 7, what's  
24 the first one that you've got in the book?

25       A.    This is the Tocito sandstone. It's a net

1 sandstone isopach where I've put it with sandstone  
2 with greater than 9 percent porosity. It shows that  
3 we are at the southwest edge of the trend that I  
4 mentioned. In other words, the sandstone's thicker  
5 to the northeast, and if you look at the well  
6 tracts -- that's the dashed line there -- you can  
7 see what we expect, given our well plan, to  
8 intercept the Tocito sandstone, and at that point we  
9 expect something like six feet of net thickness.

10 Q. When you get into a better portion of the  
11 reservoir in terms of thickness, is there a  
12 relationship between thickness and productivity of  
13 the wells?

14 A. In general there is. There are some because  
15 this area is prone to natural fractures and there's  
16 kind of on over plane of permeability upon the  
17 stratigraphy. It's not a one-to-one relationship.  
18 It's not -- every well production is proportional to  
19 its net thickness. That doesn't occur, but in  
20 general you could say that the wells are thicker --  
21 the Tocito sandstone in the field are the more  
22 productive wells.

23 Q. From a geologic perspective can Meridian be  
24 successful with vertical wells drilled to develop  
25 these reserves in section 31?



1       A.     In the east half looking at specifically  
2 the Tocito and particularly the northeast quarter, I  
3 think there's probably a fair chance of encountering  
4 commercial production in the Tocito, and in the  
5 southeast quarter where our surface location is, the  
6 risk of encountering commercial permeability in that  
7 Tocito sandstone is rather high, and we probably  
8 would not drill that. In the southwest quarter  
9 where we expect -- in this well bore -- to encounter  
10 the sandstone, it's far too risky. We would not  
11 ever drill that vertically because of economic  
12 modeling.

13       Q.     In this particular area when you make a  
14 cross section or a display in intergrating logs from  
15 well to well, what is your conclusions about the  
16 continuity of these various members of the Gallup as  
17 we look at those in close proximity to each other?

18       A.     They are fairly continuous in gross  
19 aspect. In other words, very easy for me -- as I've  
20 done on the wall here -- to correlate the Niobrarra  
21 A to the Niobrarra A a mile or two away, and, in  
22 fact, I can find that same unit 30 miles away in  
23 general. The correlations are pretty good, but  
24 looking at these units on a smaller scale, on a  
25 reservoir scale, if you will, there are numerous

1 discontinuities.

2           Even if the Tocito sandstone, which we  
3 think of basically as a clean course moving grain  
4 bar, there will be mud dregs through that that will  
5 separate the sandstone into the reservoir  
6 compartments et cetera.. In the upper part, in the  
7 Niobrarra, it's highly bioturbated or worked upon by  
8 little critters that lived on the cretaceous  
9 seafloor soon after the deposition. There are all  
10 sorts of permeability barriers. So on a small scale  
11 and on the reservoir scale, these rocks are rather  
12 discontinuous, but on the large gross scale they are  
13 very continuous.

14       Q.    Let's turn to the structure map that's  
15 shown behind the isopach. Give us a quick summary  
16 of the conclusions of the structure.

17       A.    The structure map indicates basically  
18 homoclinal or flatdip rate in the area that we'll be  
19 drilling. In fact, the dip rate is about one degree  
20 to the northeast east.

21           In our vertical section here we've actually  
22 accounted for dip and you can see just a various  
23 tiny dip rate if you follow one of the limebed  
24 outlines from right to left. You'll see that it's a  
25 very small dip. We can infer from that that and

1 infer from the structure map, that our natural  
2 fracturing is not related to tectonic elements such  
3 as faulting, or folding, that the natural fractures  
4 that we're looking for would be more of a  
5 regional-type of fracture that fracturing upholds  
6 throughout this whole area, not necessarily related  
7 to a single tectonic element.

8 Q. In mapping the geology can you specifically  
9 define a gas/oil contact in this immediate area of  
10 the Gallup?

11 A. No. I don't believe any such contacts  
12 would exist. The gas/oil ratio, or, to invert that  
13 to yield in this area, when we look at production,  
14 are fairly similar throughout the Angel Peak pool in  
15 particular. There's no indication that there is  
16 such a contact.

17 Q. Do you see any indication geologically that  
18 there is a gas cap or the potential that a gas cap  
19 could form if the division approves the withdrawal  
20 rates that Meridian requests for this project well?

21 A. I believe that that would not occur.

22 Q. When we look at the core samples for wells  
23 in this particular area, have you examined those  
24 cores?

25 A. Yes, I have. We have one core. It was cut

1 by El Paso Natural Gas in 1974. That's a weapon 255  
2 which is almost exactly six miles east of the 300.

3 Q. Have you brought an example of the core  
4 with you today?

5 A. Yes, sir, I have.

6 Q. The hearing examiner has that before him,  
7 and as he looks at that, would you give us a  
8 description of what that is that you find  
9 significant as a geologist in that core sample?

10 A. Yes, I'd be happy to. The core on the  
11 examiner's right is, I think, a good example of the  
12 Niobrarra interval that we hope to find productive  
13 in our well. You can see -- although I said that  
14 these large units are correlative over long  
15 distances, you can see that the sands within this  
16 core are fairly discontinuous. They've been  
17 reworked or bioturbated. There's fair amounts of  
18 shale debris in there that has contributed to  
19 calcium carbonate and lead to intense cementation of  
20 the sandstones and siltstones, and in that core the  
21 sandstones and siltstones will be your lighter gray  
22 bed. The interbedded very dark shale, nearly black,  
23 has a high total organic content and serves as an  
24 excellent source bed in this area.

25 So you have these very tight sandstones

1 with low matrix permeability and porosity, yet there  
2 is enough there so that they can act as little local  
3 reservoirs, but in order to find any commercial  
4 production in that kind of rock, you pretty much  
5 have to have natural fracturing. The contrast --

6 Q. What's the second example?

7 A. The second example is from the Tocito  
8 sandstone itself. The examiner could probably  
9 notice that it's a fairly coarse to medium-grain  
10 sandstone with some indication of porosity in there.  
11 That has an average porosity of about nine percent,  
12 yet it would have very low permeability. In fact,  
13 this well, the 255, has cumed only about 60, 70  
14 million feet of gas since it went on production.

15 So although that sandstone looks fairly  
16 good in the hand specimen and the core, we're  
17 confident that it has very low permeability and  
18 could be related to -- and, again, this well is, I  
19 think, analogous to our situation in the 300 because  
20 it's an edge well on the bar trend. It's at the  
21 north edge, and because of cementation, perhaps mud  
22 drapes, and I didn't bring an example of that, just  
23 above this interval there's a two-inch shale that  
24 obviously drapes through the, or drapes through the  
25 bar and creates a reservoir compartment. Those

1 things have contributed to low permeability and low  
2 production from that sand.

3 Q. Describe to us, geologically, what  
4 advantages you see in the development of this  
5 portion of the unit with a horizontal well that you  
6 can't achieve with a vertical well.

7 A. Well, as I've mentioned earlier, in this  
8 area, nearly all the wells have been mud drilled  
9 through the Niobrara and about half in the pool  
10 itself were completed in that upper Niobrara  
11 interval. We have reason to believe that because of  
12 the small aperture of the natural fractures and the  
13 clay content of these sandstones, although the  
14 mixing by bioturbation, that mud drilling severely  
15 damages both the matrix permeability and the  
16 permeability in these rocks.

17 What we're attempting to do is to -- by  
18 drilling at a high angle and maximize the number of  
19 fractures that we encounter and also minimize the  
20 amount of damage we incur by not using the mud  
21 system on it.

22 MR. KELLAHIN: That concludes my examination  
23 of Mr. Dawson. We will mark, Mr. Examiner, the  
24 large display to which he's referred to as Exhibit  
25 Number 8. You're welcome to keep the core samples

1 here. We can mark them as subsequent exhibits. We'd  
2 like to have references to them. They can be 9 and  
3 10, if you will.

4 MR. STOGNER: Let's do not make these  
5 exhibits, but we'll take --

6 MR. STOVALL: They're real tough to  
7 microfiche.

8 MR. KELLAHIN: We'll simply take them back  
9 with us if you want, or you may keep them here for  
10 reference.

11 MR. STOGNER: Let's keep them here for  
12 reference for the time being, and sometime after the  
13 well is drilled, or sometime down the line, if you  
14 remind me, I'll give them back to you.

15 MR. DAWSON: They can be used as paperweights,  
16 by the way.

17 MR. STOGNER: We've got plenty of  
18 paperweights.

19 MR. KELLAHIN: Let me ask you if at this time,  
20 Mr. Examiner, that we move the introduction of  
21 Exhibits 5, 6, 7 and 8 if we have not already done  
22 so.

23 MR. STOGNER: Exhibits 5, 6, 7 and 8 will be  
24 admitted into evidence at this time.

25 As being a member of this unit that you're

1 working with, the whole interval which you show as  
2 on A, B, C -- A, B, and C the Tocitio sandstone and  
3 the Gallup sandstone, are all intervals of interest  
4 to this particular well; is that correct?

5 A. Yes, sir.

6 MR. STOGNER: And they will all be penetrated?

7 A. As planned, yes, sir.

8 MR. STOGNER: And perforated, I assume, rather  
9 if this is a preperforated interval or some casing  
10 that will be perforated later?

11 A. Yes, sir. In fact, if I may point out, on  
12 our reference well, the Huerfano 287 on the right,  
13 I've denoted in red where the perforations in that  
14 nearby well lie, and all three of the major rock  
15 types, Niobrarra, Tocito and the lowest, the Gallup  
16 sandstone, are productive in that well. We believe  
17 that most of the reserves will come from the Tocito  
18 in that well.

19 MR. STOGNER: Were all these perforations done  
20 at the same time in the number 287?

21 A. No, sir, they were done in two stages. The  
22 Tocito and underlying Gallup in one stage -- then it  
23 was tested -- then the Niobrarra B in the second  
24 stage.

25 MR. STOGNER: When you say "two stages," are



1 we talking about a year separation or just the  
2 testing?

3 A. No. Within a few weeks.

4 MR. STOGNER: But they're all producing at  
5 this time, the B and the Tocito and the Gallup?

6 A. Yes, sir.

7 MR. STOGNER: Now you show some other small  
8 boxes. Are those perforations also?

9 A. No, sir. Those are gas shows from our mud  
10 logging unit. They indicate perhaps the  
11 productivity in the intervals of interest within the  
12 Niobrara in particular.

13 MR. STOGNER: Are there any other questions of  
14 Mr. Dawson? Before we go on any further,  
15 Mr. Kellahin, how much longer do you think this case  
16 will take.

17 MR. KELLAHIN: About ten or fifteen more  
18 minutes.

19 MR. STOGNER: Okay. And Mr. Jim Bruce, are  
20 you here for Burnett?

21 (Discussion off the record.)

22 MR. STOGNER: I believe we were through with  
23 Mr. Dawson. Mr. Kellahin?

24 MR. KELLAHIN: I'd like to call  
25 Mr. Paul Allan.

## EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Allan, would you please state your name and occupation?

A. Paul Allan. I'm a drilling engineer with Meridian Oil in Farmington, New Mexico.

Q. Mr. Allan, have you testified before the division as a drilling engineer on prior occasions?

A. No, I have not.

Q. Summarize for us your particular involvement with this project for drilling the high-angle well in the Huerfano unit.

A. I was the drilling engineer on this project. I developed the operation plans and assisted with the geologist and reservoir engineer.

Q. Have you obtained an engineering degree from some institution?

A. I obtained a degree bachelor of science degree in mechanical engineering at Texas A&M University.

Q. In what year?

A. In 1990. And since that time I've worked at Meridian Oil in Farmington, New Mexico.

MR. KELLAHIN: We tender Mr. Allan as an expert drilling engineer.

1 MR. STOGNER: Mr. Allan is so qualified.

2 Q. (By Mr. Kellahin) let me take you quickly  
3 to the display shown behind Exhibit number 4, which  
4 is the vertical section of the well. Do you have  
5 that before you Mr. Allan?

6 A. Yes, I do.

7 Q. Give us a summary of the drilling and  
8 completion program that you've recommended for your  
9 company and what you propose the examiner adopt for  
10 utilization for this well.

11 A. Okay. We will be drilling out 17 and a  
12 half inches surface hole, setting 13 and 3/8 casing  
13 at 300 feet, drilling with mud to a kickoff point at  
14 4838 using a motor assembly, a bent sub motor  
15 assembly, at this point, and building 12.5 degrees  
16 for 100 angle to 84 degrees. At this point we will  
17 run 9 and 5/8 inch casing, and set that at a  
18 measured depth of 5510 and a true vertical depth of  
19 5294. We will drill out at this point with a dtu  
20 motor assembly with an 8 and 3/4-inch bit to a total  
21 depth.

22 I will be using a radiotelemetry  
23 measurement while drilling system throughout this  
24 interval.

25 Q. How will you complete the well for

1 production?

2 A. Using a five and a half perked and plugged  
3 liner preperforated drilled out, and then plugged  
4 with aluminum plugs. We'll go back in with a metal  
5 assembly and break off these plugs and open up the  
6 perforation.

7 Q. And do you propose to treat or stimulate  
8 the well in any fashion after you've got it ready  
9 for production?

10 A. No, we do not.

11 Q. Mr. Boone has summarized for us Meridian's  
12 drilling for the Howell the the Riddle well, which  
13 he supervised, and described his plan of operation  
14 for the Sunray well. In a summary fashion, contrast  
15 for us what are the major differences, if any,  
16 between the program Mr. Stogner has just heard Mr.  
17 Boone describe and what you prepare to do in your  
18 well.

19 A. I am setting casing all the way through the  
20 bend. That's a major difference, I guess, and other  
21 than that there are few differences really.

22 Q. Mr. Boone described his change in procedure  
23 with regards to drilling the angle or the curve with  
24 mud, and then replacing that with this mist drilling  
25 procedure. What do you plan to do?

1       A.     We will be drilling with drill gas through  
2 the entire interval. It's a fairly dry section and  
3 we don't foresee any problems with hole cleaning  
4 with the gas at that point.

5             This will minimize the formation damage and  
6 it is a new technology, but it will help us out  
7 quite a bit.

8             MR. KELLAHIN: That concludes my examination  
9 of Mr. Allan. Pass the witness.

10            MR. STOGNER: After you get through with the  
11 curve portion with your gas application, then you  
12 set a DTU? I'm sorry.

13       A.     It's a doubled tilted U-joint. I've got a  
14 copy of it right here.

15             MR. STOGNER: Okay.

16       A.     It's a double bend on the motor. It can be  
17 rotated and it will drill a straight hole or it can  
18 be slid and the actual motor drill, and it maintains  
19 an angle. You can build angle with that case in any  
20 direction. It's a steerable system. As soon as you  
21 get to the inclination you would like, and the  
22 azimuth you like, you can begin rotating and it will  
23 hold a straight hole at that point.

24             MR. STOGNER: Now will you be drilling the 84  
25 -- or the horizontal portion with air or mist or

1 mud?

2 A. With drill gas.

3 MR. STOGNER: With drill gas.

4 A. Yes, sir.

5 MR. STOGNER: What is drill gas. Explain what  
6 drill gas is.

7 A. It's methane gas, natural gas.

8 MR. STOGNER: Least used gas. And what size of  
9 production casing are you going to be setting?

10 A. It will be a 5-and-a-half-inch liner from  
11 approximately 5510 feet measured depth, 2TD.

12 MR. STOGNER: And will that be a  
13 preperforated?

14 A. Yes, it will.

15 MR. STOGNER: Any stimulation?

16 A. No.

17 MR. STOGNER: The motor in which you will be  
18 using natural motor, and I call it mud motor, will  
19 it be a regular mud motor or a pneumatic-type of  
20 motor, or one that's somewhat changed?

21 A. Through the build section, the 12.5 degree  
22 per 100 build section, we will be running a mud  
23 motor. At that point when we switch over to drill  
24 gas, we will be running an air motor that is  
25 especially adapted to that. It has a new bearing

1 design and was mentioned earlier the load  
2 configuration is different to allow for the  
3 increased flow rate of gas.

4 MR. STOGNER: I'll make this part of Exhibit  
5 number 4. Mr. Kellahin, you've got two pages of  
6 Exhibit 4; right?

7 MR. KELLAHIN: Yes, sir.

8 MR. STOGNER: Why don't we make this more  
9 subsequent.

10 MR. ALLAN: Those are vendor-related We may  
11 end up going with another vendor, but the motor  
12 configuration will be similar.

13 MR. STOGNER: Okay. I'll take note of that.  
14 Are there any other questions of this witness?

15 MR. STOVALL: Yeah. Does the use of methane  
16 gas as a drilling medium present any particular  
17 danger?

18 A. That's the reason it's used instead of air,  
19 in fact.

20 MR. STOVALL: Is that why it keeps your gas  
21 concentration up high enough --

22 A. Right. There's no oxygen level to sustain  
23 combustion. That's why we're using that instead of  
24 air.

25 MR. STOVALL: What about is it -- I assume it

1 circulates in a similar manner to other mediums with  
2 the surface if you're cutting --

3 A. Yes.

4 MR. STOVALL: Any problem when it comes? Is  
5 it still closed do you don't have a -- so you don't  
6 get air?

7 A. Well, we will flare off the gas and use a  
8 muffler system as well to maintain the flare and  
9 that sort of thing. The standards of the Fruitland  
10 Coal project was the same type of situation.

11 MR. STOGNER: No other questions of Mr. Allan,  
12 Mr. Kellahin?

13 MR. KELLAHIN: I'd like to call Mr. Alan  
14 Alexander in to expedite his presentation. May the  
15 record reflect that Mr. Alexander has already  
16 qualified as an expert in the prior case, and  
17 continues as such in this case.

18 MR. STOGNER: Thank you, Mr. Kellahin. The  
19 record will so show.

20 FURTHER EXAMINATION

21 BY MR. KELLAHIN:

22 Q. Mr. Alexander, let's talk specifically  
23 about the correlative rights concerns with regards  
24 to the spacing unit proposed for the high-angle  
25 well, how that may or may not affect the interest



1 owners of those spacing units within the unit that  
2 adjoins the subject spacing unit. First of all,  
3 when we look at Exhibit number 6 and fold out a  
4 display of the unit, what type of unit are we  
5 dealing with?

6 A. Now this is a Federal Unit, and it's  
7 characterized as a geologic inference-type unit as  
8 opposed to some of the other units that we operate  
9 that are drill block units, and the difference being  
10 that in the drill block units normally you expand  
11 your participating areas by simply including the  
12 acreage assigned to that drilling block, and this  
13 unit, the geologic inference unit, we have the  
14 flexibility to include acreage other than just the  
15 drill block in the participating area if that should  
16 become necessary, and that's a function of what the  
17 well is capable of draining.

18 Q. How will the correlative rights of those  
19 owners with interest that adjoin the spacing unit be  
20 protected by the expansion or contraction of these  
21 participating areas?

22 A. Well, first of all, the drill block itself  
23 -- if the well is commercial -- will come into the  
24 existing participating area and will expand it, and  
25 that serves to equalize participation in that

1 product throughout the participating area.

2 Q. Who makes the final decision on approving  
3 the expansion of the participating areas? Is that  
4 an operator decision, or is that decided by others?

5 A. Yes, sir. The operator makes the  
6 determination initially as to whether or not the  
7 well is capable of commercial production, and then  
8 that is agreed upon or recognized by the regulatory  
9 agencies, and then it officially becomes a part of  
10 the participating area after the regulatory agencies  
11 approve the expansion.

12 Q. All right. What regulatory agencies are  
13 involved in approving the expansion of these  
14 participating areas?

15 A. It would be the Bureau of Land Management,  
16 the Commissioner of Public Lands, and NMOCD.

17 Q. Are there any other working interest owners  
18 besides Meridian involved in the ownership of the  
19 spacing units surrounding the proposed spacing unit  
20 in 31?

21 A. Yes, sir. There are other owners in those  
22 spacing units besides Meridian.

23 Q. Are there noticed procedures in the unit  
24 agreement to notify those parties of the expansion  
25 or contraction of participating areas so they may be

1 involved in participating in those decisions?

2       A.     Yes, sir. That process starts actually  
3 when we file a plan of development within the units.  
4 We list this well and the type of well that it will  
5 be, and all the unit owners comment or approve that  
6 drilling program. So actually they have already  
7 approved this well to be drilled.

8             We have filed a plan of development listing  
9 this well with the regulatory agencies. I don't know  
10 as of this date whether that particular plan has  
11 been approved, but I anticipate no problems.

12            Then, as we drill the well and the well is  
13 deemed commercial, we will begin the work to expand  
14 the participating area. Again, the unit owners are  
15 notified of that process and have the opportunity  
16 for input in that process.

17       Q.     Within the framework of this unit  
18 participation procedure, do you see the opportunity  
19 for the impairment or violation of correlative  
20 rights if the division examiner approves the level  
21 of allowables, for this project that the engineers  
22 have requested?

23       A.     No, sir. Not within the confines of the  
24 unit itself. That is really a contractual  
25 relationship between the unit owners, and the issue

1 of correlative rights -- and they have the full  
2 ability to have input into that -- and through the  
3 participating area arrangement, they do participate  
4 at one level or another either now or in the  
5 future.

6 MR. KELLAHIN: That concludes my examination  
7 of Mr. Alexander.

8 MR. STOVALL: Mr. Alexander, you heard when I  
9 was talking to Mr. Jones about doing something other  
10 than sort of this artificial two times formula which  
11 is simply based upon, you know, the mathematical  
12 formula for calculating the allowable in this  
13 associated pool, for example, doing like a  
14 deliverability allowable for a year with a potential  
15 of make up. From an administrative, landman --  
16 whatever point of view -- what's your opinion on  
17 that?

18 A. Well, I don't perceive production from this  
19 well to be a problem of correlative rights  
20 particularly within the unit, and if I understand  
21 our reservoir and the rest of the technical teams'  
22 viewpoint, we don't expect this -- any drainage from  
23 this well to extend beyond the drill block,  
24 certainly not outside of the unit.

25 So when you look at it from that aspect it

1 becomes a matter of the distribution of that  
2 product, or how that product impacts the unit  
3 owners. In a sense, we have a unit agreement that  
4 handles that situation. In the overall context, I  
5 don't believe that we have a problem in that area.

6 MR. STOVALL: Didn't I understand you to say  
7 that after you get this well on production and find  
8 out what it's capable of, you go back and -- reading  
9 a lot into what you said, and tell me if I'm wrong  
10 -- but you go back and evaluate the well and see  
11 how it performs, try to make some calculations, and  
12 if you determine that it was draining more than its  
13 proration unit, then you could, in fact, bring more  
14 than this 320 acres into the participating area? Is  
15 that under the contractual arrangement that you were  
16 talking about?

17 A. Yes, sir. Since we do have the ability to  
18 have a geologic inference determination here, that  
19 can be done.

20 MR. STOVALL: I don't think I have any further  
21 questions.

22 MR. STOGNER: I have no other questions of  
23 Mr. Alexander. Do you have any other questions,  
24 Mr. Kellahin?

25 MR. KELLAHIN: I have no further questions,

1 Mr. Examiner.

2 MR. STOVALL: I do have a question for -- just  
3 one further question for Mr. Jones.

4 MR. STOGNER: Can we recall Mr. Jones at this  
5 time?

6 MR. STOVALL: It's a fairly easy one,  
7 Mr. Jones. In some situations, I know, with  
8 horizontal drilling, one of the advantages is that  
9 you can get more productivity without less pressure  
10 drawdown; is that correct? When you're spreading it  
11 over a wider area?

12 A. Yes, sir, that is true in some cases.

13 MR. STOVALL: Would that be applicable in this  
14 case, do you think?

15 A. Yes, sir. I think at this time I can say  
16 that until we actually drill the -- we actually  
17 drill the well and see what kind of formations and  
18 pockets of productivity we do encounter, -- we're  
19 not sure, but at this time I'd say that, yes, sir.

20 MR. STOVALL: Here I go venturing into  
21 engineering areas as I try to avoid doing, but every  
22 now and then I've got to do it. If you -- where I'm  
23 going with it is, if your pressure drawdown is  
24 reduced to a point and you're getting the volume  
25 through less pressure reduction because you've got

1 more areas of the reservoir exposed to the pipe, it  
2 would lead me to believe that would mean that your  
3 drainage distance from the -- laterally away from  
4 the wellbore would tend not to be as great. Is that  
5 a fair evaluation? Is that a reasonable statement?  
6 In other words, the impact on correlative rights  
7 really is where I'm going.

8 A. Pressure drawdown could -- I'm not sure I  
9 understand your question.

10 MR. STOVALL: In other words, if you're  
11 producing at a higher rate from this well --

12 A. Yes, sir.

13 MR. STOVALL: If you were a vertical well and  
14 you're producing at a higher rate and from what  
15 little engineering I understand, that would mean  
16 that given the same thickness you would be drawing  
17 from a wider area. You would be getting more gas  
18 from a bigger area and your pressure would be  
19 creating a low-pressure center for gas to migrate to  
20 all the other factors considered.

21 A. Yes, sir.

22 MR. STOVALL: If you're producing at the same  
23 higher volume from this well, you're producing from  
24 a larger area, but it's only because the well is in  
25 contact with a larger area and it's not necessarily

1 drawing from a bigger radius away from the wellbore?

2 A. Not initially, but eventually we would --  
3 we would say that, yes, it would have to start  
4 drawing from a larger area, but initially, no, it  
5 would probably be due to the larger contact area.

6 MR. STOVALL: That's enough engineering for  
7 me. I have no further questions.

8 MR. STOGNER: No other questions of Mr. Jones?

9 MR. KELLAHIN: I have a followup,  
10 Mr. Examiner.

11 Q. (By Mr. Kellahin) Let me make sure I have a  
12 clear understanding of the permeability and  
13 therefore the transmissibility of fluids in this  
14 reservoir. What is the range of permeability you as  
15 a reservoir engineer see in this specific area, can  
16 you recall?

17 A. Not exact numbers. I can just say in  
18 relative terms that the Niobrarra is very tight, as  
19 Mr. Dawson illustrated with his samples, and in the  
20 Tocito, in the thicker areas, permeabilities are in  
21 the range of a milidarcy. They're not  
22 microdarcsies. They're in the range of a millidarcy  
23 and permeability.

24 Q. With the reservoir that is lenticular as  
25 Mr. Dawson described with these low permeabilities,



1 do you have a concern as a reservoir engineer that  
2 if the division approves your allowable requests,  
3 that you're going to have substantial migrations or  
4 transmissibilities of these fluids over large areas?

5 A. No, sir. It will not be large areas, it  
6 would be definitely within the drill block.

7 Q. Okay. Do you see any problems in wasting  
8 gas drive energy by producing it at the gas  
9 allowables you've requested?

10 A. No, sir. I don't think we'll be wasting any  
11 drivability of the reservoir itself.

12 Q. You've characterized these lenticular  
13 reservoir zones as being solution gas drive  
14 reservoirs. Did I hear that, or did I misunderstand  
15 you?

16 A. That would be the characterization I've  
17 given.

18 Q. All right. And if that's true, then  
19 they're not going to be rate sensitive, are they?

20 A. They shouldn't be, no, sir.

21 Q. So regardless at the rate you pull the gas  
22 out, you're still going to get the same volume of  
23 oil out of that pod or out of those lenses, aren't  
24 you?

25 A. It should be the same.

1 Q. All right. Final question then on the cost  
2 comparisons. When we look at the vertical well,  
3 we're looking at the range of half a million to  
4 \$600,000?

5 A. Yes, sir. That's current-day process.

6 Q. And when we look at the projected  
7 horizontal well, we're sometimes three and four  
8 times that amount?

9 A. Yes, sir.

10 Q. So in addition to having the flexibility to  
11 test this well at levels that you want, you also  
12 need some incentive in order to go ahead with the  
13 project economically?

14 A. That would provide economic incentive, yes,  
15 sir.

16 MR. KELLAHIN: No further questions.

17 MR. STOGNER: Thank you. Any other questions  
18 of Mr. Jones? If not, he may be excused. Anything  
19 further in case number 10325?

20 MR. CARR: Mr. Examiner, Amoco would like to  
21 make a brief statement through Mr. Hawkins.

22 MR. STOGNER: Okay.

23 MR. HAWKINS: I'm Bill Hawkins with Amoco  
24 Production Company. Amoco has an interest in this  
25 unit, and, in fact, in this drill block.


1           We believe that Meridian should be allowed  
2 to drill this well to test its technology in the  
3 Gallup. We believe because of the unit  
4 considerations there will be protection for  
5 correlative rights of all the owners in this area.  
6 We also believe that Meridian needs the opportunity  
7 to produce this well and determine what its  
8 productive capability is and what its ability to  
9 maintain that production rate will be, and what kind  
10 of improvement that might be over a vertical well.

11           Even if that's for a minimum of six months  
12 to a year, I think they should be allowed at least  
13 to get that kind of information to help them in  
14 their advancement of technology in this area, so we  
15 are in support of their project and have no  
16 objections to their application.

17           MR. STOGNER: Thank you, Mr. Hawkins.  
18 Anything further in this case? If not, case number  
19 10325 will be taken under advisement.

20           (The foregoing case was concluded at the  
21 approximate hour of 11:55 a.m.)

22  
23 I do hereby certify that the foregoing is  
24 a correct and true copy of the proceedings in  
25 the Examination of Case No. 10325,  
heard by me on 13 June 1991.

  
Michael E. Stogner, Examiner  
Oil Conservation Division

1 STATE OF NEW MEXICO       )  
                                  ) ss.  
2 COUNTY OF BERNALILLO    )


3 REPORTER'S CERTIFICATE

4 BE IT KNOWN that the foregoing transcript of  
5 the proceedings were taken by me, that I was then  
6 and there a Certified Shorthand Reporter and Notary  
7 Public in and for the County of Bernalillo, State  
8 of New Mexico, and by virtue thereof, authorized to  
9 administer an oath; that the witness before  
10 testifying was duly sworn to testify to the  
11 whole truth and nothing but the truth; that the  
12 questions propounded by counsel and the answers of  
13 the witness thereto were taken down by me, and that  
14 the foregoing pages of typewritten matter contain a  
15 true and accurate transcript as requested by counsel  
16 of the proceedings and testimony had and adduced  
17 upon the taking of said deposition, all to the best  
18 of my skill and ability.

19 I FURTHER CERTIFY that I am not related to  
20 nor employed by any of the parties hereto, and have  
21 no interest in the outcome hereof.

22 DATED at Bernalillo, New Mexico, this day  
23 July 29, 1991.

24 My commission expires  
25 April 24, 1994

  
LINDA BUMKENS  
CCR No. 3008  
Notary Public