

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

APPLICATION OF VETERAN EXPLORATION, )  
INC. TO AMEND DIVISION ORDER NO. )  
R-9330, SANDOVAL COUNTY, NEW MEXICO. )  
10332, APPLICATION OF VETERAN )  
EXPLORATION, INC. FOR A NON-STANDARD )  
OIL PRORATION UNIT, A HIGH )  
ANGLE\HORIZONTAL WELLBORE THAT )  
EXCEEDS THE SET-BACK )  
REQUIREMENTS FOR THE SAN ISIDRO )  
(SHALLOW) UNIT AREA AND SIMULTANEOUS )  
DEDICATION, SANDOVAL COUNTY, )  
NEW MEXICO. )  
----- )

CASE NO. 10331  
10332

REPORTER'S TRANSCRIPT OF PROCEEDINGS  
EXAMINER HEARING  
BEFORE: MICHAEL E. STOGNER, Hearing Examiner  
June 13, 1991  
Santa Fe, New Mexico

This matter came for hearing before the Oil  
Conservation Division on June 13, 1991, at the Oil  
Conservation Division Conference Room, State Land office  
Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico,  
before Linda Bumkens, CCR, Certified Court Reporter No.  
3008, for the State of New Mexico.

FOR: OIL CONSERVATION DIVISION  
(ORIGINAL)

BY: LINDA BUMKENS CCR  
Certified Court Reporter  
CCR No. 3008

## INDEX

Examination by Mr. Bruce 5  
Witness: Tracy Chancellor  
By Mr. Stovall 6  
By Mr. Stogner 27

Exhibits A - E 12

## APPEARANCES

FOR VETERAN  
EXPLORATION, INC.

HINKLE LAW FIRM  
BY: MR. JIM BRUCE, ESQ.  
500 Marquette, NW  
Suite 800  
Albuquerque, New Mexico

FOR THE DIVISION:

ROBERT G. STOVALL, ESQ.  
General Counsel  
Oil Conservation Division  
State Land Office Building  
Santa Fe, New Mexico

87504

1 MR. STOGNER: We're going to hear these last  
2 two at the same time, Jim?

3 MR. BRUCE: Yeah.

4 MR. STOGNER: All right. Come to order. Call  
5 case number 10331. At the applicant's request,  
6 consolidate 10331 and 10332.

7 MR. STOVALL: Case number 10331, application  
8 of Veteran Exploration, Inc., to amend division  
9 Order No. R-9330, Sandoval County, New Mexico, and  
10 10332 is the application of Veteran Exploration,  
11 Inc., for a non-standard oil proration unit, a high  
12 angle/horizontal wellbore that exceeds the set-back  
13 requirements for the San Isidro (Shallow) unit area,  
14 and simultaneous dedication, Sandoval County, New  
15 Mexico.

16 MR. STOGNER: At this time I'll call for  
17 appearances in both cases.

18 MR. BRUCE: Mr. Examiner, Jim Bruce from the  
19 Hinkle Law Firm in Albuquerque representing the  
20 applicant. I have one witness to be sworn.

21 MR. STOGNER: And since there's nobody else in  
22 the room, will the witness please stand to be  
23 sworn?

24 (Witness sworn)

25 MR. STOGNER: Mr. Bruce.

1           MR. BRUCE: As an introductory matter,  
2 Mr. Examiner, in case 10332 Veteran's application to  
3 drill a horizontal well across section lines and  
4 develop and dedicate two half sections to that  
5 well.

6           In the related case 10331, applicant seeks  
7 to change the special operating rules which were  
8 instituted last year in order to allow the operator  
9 to apply administratively for permission to drill  
10 wells across section lines. The special operating  
11 rules were adopted in case, I believe it was 10100.

12           We do not have a landman here today because  
13 there was land testimony presented in the prior  
14 cases 10099 and 10100. That testimony showed that  
15 the San Isidiro Shallow Unit area encompasses about  
16 18,000 acres of federal minerals in Sandoval  
17 County. I have just for your information --  
18 information purposes -- a copy of the land plat that  
19 was submitted at one of the prior hearings.

20           MR. STOVALL: You want to move for  
21 incorporation of that into this just for the --

22           MR. BRUCE: Sure.

23           MR. STOGNER: Case number 100 --

24           MR. STOVALL: Just the land plat exhibit is  
25 really all that needs to be --

1 MR. BRUCE: Yeah, just the land plat exhibit.

2 MR. STOVALL: It was previously sworn to and  
3 testified about and admitted as an exhibit; is that  
4 correct?

5 MR. BRUCE: Yes, sir. I believe this one is  
6 specifically from 10099 and that would be  
7 sufficient.

8 MR. STOVALL: Moving the admission of  
9 Exhibit 1 in the case 10099 into the record of this  
10 case.

11 MR. BRUCE: Yes, sir.

12 MR. STOGNER: So be it. Please continue.

13 EXAMINATION

14 BY MR. BRUCE:

15 Q. Would you please state your name for the  
16 record?

17 A. My name is Tracy Chancellor.

18 Q. And where do you reside?

19 A. Denver, Colorado.

20 Q. What is your occupation?

21 A. I'm a geological consultant.

22 Q. And who are you working for in this matter?

23 A. I'm a consultant for Veteran Exploration  
24 Company.

25 Q. Is Veteran now the operator of the San

1 Isidiro Shallow unit?

2 A. That's correct.

3 Q. Okay. Have you previously testified before  
4 the OCD?

5 A. I have not.

6 Q. Would you outline your educational and work  
7 experience for the examiner, please?

8 A. B.S. In geology from Fort Lewis College in  
9 1978, employed for four years in Midland, Texas and  
10 Denver for various small and larger independents as  
11 a petroleum geologist, exploration geologist, and  
12 have been independent for the past eight years as a  
13 consulting geologist both exploration and in the  
14 field as well as owning my own exploration company.

15 Q. Okay. And what is your familiarity with the  
16 Mancos and Niobrarra formation?

17 A. I've worked in the Niobrarra throughout  
18 that 8-year period throughout the Rockies. However,  
19 in the San Juan Basin I've been involved with the  
20 Mancos in the Niobrarra equivalent for about a year.

21 Q. Okay. And are you familiar with the Mancos  
22 geology of the San Isidiro Shallow Unit?

23 A. Yes, I am.

24 MR. BRUCE: Mr. Examiner, I would tender  
25 Mr. Chancellor as an expert petroleum geologist.

1 MR. STOGNER: Mr. Chancellor is so qualified.

2 Q. (By Mr. Bruce) referring to your exhibits,  
3 first Exhibit B, Mr. Chancellor, would you describe  
4 what that is for the examiner?

5 A. This is the Federal unit outline in 20  
6 north two and three west, Sandoval County, New  
7 Mexico. It outlines the pro well production history  
8 as of probably a year ago, the location of our first  
9 two horizontal holes in section 11 and 12.

10 Q. And that's the 1114 well and the 1210 well?

11 A. That's correct. And our proposed Johnson  
12 7-3 well spudding in section 7 of 20 north 2 west,  
13 and bottom hole location in section 6 of 20 north 2  
14 west with a basement fault trace, and is showing  
15 that some of the best production in the field is  
16 associated with that basement fault.

17 Q. Okay.

18 A. That's basically what Exhibit B shows.

19 Q. And some of the poorer wells are a little  
20 further away. You note there the 1500-barrel well  
21 and some other 2,000-barrel wells that are further  
22 away from the basement fault; is that correct?

23 A. Yes.

24 Q. And we'll get into this one in a little  
25 more detail. Is that the basic reason Veteran seeks

1 permission to drill across section lines?

2 A. That is the basic geologic reason to be  
3 located on both sides of a horizontal wellbore to  
4 this fault trace.

5 Q. Okay. Would you please then move on to  
6 Exhibit C and just very briefly discuss what that  
7 shows?

8 A. Exhibit C I have traced on Exhibit B this  
9 basement fault, and just to show the commission that  
10 we have worked the seismic and we are looking at  
11 approximately 800 to 1,000 feet of throw on this  
12 basement fault, and it has disturbed the Mancos  
13 rocks, the shallower Mancos pay zones, the A, B, and  
14 the C, and the D which the field produces from  
15 except for one Menefee well, and that's basically  
16 what it shows.

17 Q. Okay. And then moving on to Exhibit D,  
18 would you discuss the Mancos structure in this area?

19 A. The Mancos is not particularly faulted,  
20 however, over -- the basement fault has caused a  
21 monocline in the Mancos over the basement fault, and  
22 we're getting areas of where there's greater range  
23 of change in dip than other areas, and the yellow  
24 highlighted area is the trace of the axis of the  
25 monocline which would be the maximum flexure in the



1 Mancos A, B, C, and D pay zones, and if you'll refer  
2 back to Exhibit B, you'll see that it has shifted  
3 quite a bit, and it truly does align with the best  
4 production in the field, that being 20 north 2 west  
5 section 6, the 88,000 barrels and 20 north 3 west,  
6 section 12 the 90,000 barrels, and 20 north 3 west  
7 section 11, the 135,000 barrels.

8 Q. So in your opinion, it's necessary to stay  
9 near this fault to have the best chance of getting a  
10 good well in the Mancos?

11 A. Yes. And not only near it, but to have --  
12 yes, that's correct.

13 Q. And this will not require wells to be  
14 drilled across section lines in every case, will it?

15 A. No it will not; however there may be a few  
16 other cases.

17 Q. Okay. Then please refer back to Exhibit A  
18 and describe that for the examiner.

19 A. Exhibit A -- shall we put this up or can we  
20 just --

21 MR. STOVALL: We can spread it out,

22 A. Exhibit A as is, as you can see, from C-C'  
23 southwest and northeast through the field, and the  
24 Federal Unit showing the top of the Mancos A, the B,  
25 the C zone, and the D zone, some of the wells were

1 openhole completed, some wells were set pipe,  
2 cemented and fract and basically this exhibit is  
3 just to show you our pay zones. The field does  
4 produce from all four. We will be drilling  
5 basically between the San Isidiro 12-4, five wells  
6 over from the left, and the Johnson 6-16 well.

7 Q. Okay. What is the primary producing zone in  
8 this area?

9 A. Well, as I've said A, B, C, D are the  
10 primary zones; however, the C zone, there needs to  
11 be more testing, but we feel like the C zone has  
12 been probably the best producer.

13 Q. Okay. In referring just briefly to  
14 Exhibit E, would you describe what that is, please?

15 A. Exhibit E is a proposal and outline from  
16 Great Land Directional Drilling Company in Casper  
17 for Veteran. After the title page is a pretty good  
18 well summary that we will be kicking off at  
19 approximately 39 -- no, actually we should go to the  
20 third page with the well profile, the columns and  
21 bill rates and so forth.

22 Q. And this is for the Johnson 7-3 well?

23 A. That's correct. Johnson 7-3 well. We will  
24 be kicking off at approximately 3874 and building a  
25 14-degree-per-hundred curve to the C zone with a TVD

1 of 4420. At that point we will drill an 85-degree  
2 angle hole in the C zone. The dip in that area is  
3 about three to five degrees, and staying in the  
4 C zone for approximately 4,000 feet TVD is at 8122,  
5 and the curve on the next page, the diagramatic  
6 curve of the wellbore shows that diagramatically --  
7 kickoffs and so forth, and the last page is that we  
8 -- well profile as far as north 10 degrees east  
9 will be our direction with approximately 4,000 feet  
10 of wellbore.

11 Q. Okay. And you're the well site geologist  
12 for Veteran, are you not?

13 A. That's true.

14 Q. Now, as originally proposed, this well  
15 would be about 132 feet too close to the section  
16 line if it's drilled as stated therein; is that  
17 correct?

18 A. That's true, too close to the half section  
19 line.

20 Q. What does Veteran plan to do with respect  
21 to that?

22 A. Veteran plans to -- either we will not  
23 drill any closer than 660 feet to that half section  
24 line, and to solve that we will be either stopping  
25 short of the 4,000-foot target, or we will arrange

1 our angle back to the west possibly one or two  
2 degrees, and I think we are in the process of taking  
3 care of that with the commission as far as --

4 Q. Okay. So you do not desire to be closer  
5 than 660 feet to the outer boundary?

6 A. That's correct, and one purpose of the way  
7 we have to design this wellbore across the section  
8 line.

9 Q. Okay. Now this drilling plan, is this  
10 similar to plans previously submitted for the other  
11 two horizontal wells that have been drilled to date  
12 in the unit?

13 A. It is, yes.

14 Q. Okay. Were Exhibits A through E either  
15 prepared under your direction or compiled from  
16 company records?

17 A. They were.

18 Q. In your opinion, is the granting of these  
19 applications in the interest of conservation and the  
20 prevention of waste?

21 A. Yes, they are.

22 MR. BRUCE: Mr. Examiner, I move the  
23 introduction of Exhibits A through E plus of,  
24 course, prior Exhibit number 1 from case 10099.

25 MR. STOGNER: Exhibits A through E will would

1 be admitted into evidence. Okay.

2 MR. STOVALL: I have a quick question to start  
3 it out. What is the participating area for this  
4 proposed well? Is it an extension of the existing  
5 participating area of the unit, or is it going to be  
6 a new participating area?

7 A. This will be, I believe -- yes. A new  
8 participating area as is each of the first two  
9 wells.

10 MR. STOVALL: They're each separate  
11 participating areas?

12 A. Yes, they are.

13 MR. STOVALL: So in other words, cost and  
14 revenue sharing is on a drill block basis really so  
15 far in this unit; is that correct?

16 A. I believe so.

17 MR. STOVALL: Now, my memory is not all that  
18 great as far as the unit itself. It's 100 percent  
19 Federal Unit; is that correct?

20 A. That's correct. That is correct.

21 MR. STOVALL: What about the overriding  
22 royalty interests, are they uniform throughout or do  
23 you know?

24 A. They do vary.

25 MR. STOVALL: What about working interests?

1       A.     They vary as well, and this lease section 6  
2 and 7 happens to be the same lease, but the working  
3 interests do vary throughout the unit.

4       MR. STOVALL: Let's see. The east half of  
5 section 6 is also in the unit; is it not?

6       A.     That's correct.

7       MR. BRUCE: Yeah, looking at Exhibit 1.

8       MR. STOVALL: Now, that good well that's in  
9 the southeast quarter of Exhibit 1, what was the  
10 proration unit to that well? Was that the east  
11 half?

12      A.     The 88,000-barrel well?

13      MR. STOVALL: Right.

14      A.     I do not know. Jim, if you have an idea as  
15 far as -- see, I believe this is on 320-acre spacing  
16 if that answers --

17      MR. STOVALL: That's correct. I think the  
18 pool is on the 320-acre spacing, but you don't know  
19 what the proration is?

20      A.     I do not; I don't.

21      MR. STOVALL: Which means you don't know  
22 whether you're, in fact, whether the southwest  
23 quarter is already committed to a proration unit; is  
24 that correct?

25      A.     I as a geologist do not know the answer to

1 that question.

2 MR. BRUCE: If you give me a minute, we can go  
3 look that up.

4 MR. STOVALL: Let's find out if there's  
5 anything else we don't know before we go on. If  
6 it's the south half of this section 6 proration unit  
7 for that well on the southeast quarter, then, in  
8 fact, what could be happening is that the southwest  
9 quarter could participate in two wells and the  
10 northeast quarter would participate in none with two  
11 wells in section 6, which I think proposes a bit of  
12 a correlative rights problem.

13 Mr. Bruce, perhaps you can answer it as  
14 well. Were the 12-10 and the 11-14 -- were those  
15 both 640-acre units, do you remember?

16 MR. BRUCE: Just a second. 11-14 was not in  
17 the 12-10. I believe the east half is dedicated to  
18 the 12-10 that was a simultaneous dedication.

19 MR. STOVALL: The east half was also dedicated  
20 as a 90,000-barrel well; is that correct?

21 A. That's correct. We do know that the east  
22 half of six has already been dedicated to the 7-3,  
23 and the east half of 7 is dedicated to the 7-3.

24 MR. STOVALL: You mean the west half.

25 A. I'm sorry. The west half, I believe, Jim.

1 MR. STOVALL: The west half of 6 and the west  
2 half of 7 are your proposed proration unit for this  
3 well that you're talking about; is that correct?

4 A. Yes, sir, I believe so.

5 MR. STOVALL: Now, you talk about -- where's  
6 the 7-11 well? Is that that 5900-barrel well down  
7 there in San Isidro?

8 A. No, sir. That is -- oh, I'm sorry, it sure  
9 is.

10 MR. BRUCE: Excuse me for interrupting, but  
11 I'm looking at administrative order DD52H, the 12-10  
12 has 640 acres dedicated to it.

13 MR. STOVALL: So it's a simultaneous  
14 dedication with three wells on that dedication; is  
15 that correct?

16 MR. BRUCE: Yes, per the division orders.

17 MR. STOVALL: But the 11-14 is just a single  
18 dedication of the west half?

19 MR. BRUCE: Yes.

20 MR. STOVALL: Well, let me just express a  
21 concern to both of you on this. If one of the  
22 advantages of -- and I'm expressing my own opinion  
23 and my own concerns from a legal correlative rights  
24 operational standpoint -- one of the advantages of  
25 unitized operations is you bring a -- drill a



1 substantial area under common ownership and control  
2 which allows -- one of the real advantages -- is it  
3 allows some broad-area planning and particularly the  
4 opportunity to do projects such as -- I guess  
5 Veterans has really done it, it took over Sand Dune  
6 before the well was drilled; is that correct?

7 A. Yes, they did the first two holes, that's  
8 correct. Then we --

9 MR. STOVALL: However, by virtue of the way  
10 this unit is set up, the correlative rights problem  
11 still exists because it's on -- essentially on a  
12 drill-block basis, and when you start encroaching  
13 wells, crossing lines, straining proration units,  
14 simultaneous dedication particularly next to -- it  
15 doesn't look like we've got a particular problem,  
16 but next to undeveloped tracts in some areas,  
17 because there's not a common ownership in the larger  
18 parcels involved, it still keeps that correlative  
19 rights problem.

20 A. There is a common ownership in that -- Jim,  
21 correct me if I'm wrong -- you mean is there one  
22 owner or are there five owners?

23 MR. STOVALL: Well, I guess what I'm asking  
24 you is this unit is 18,000 acres, and it's put  
25 together different working interests, owned

1 different tracts within the unit --

2 A. That's correct.

3 MR. STOVALL: Based on their leasehold  
4 position when the unit was formed?

5 A. Yes.

6 MR. STOVALL: When you establish -- I mean, if  
7 it's what's referred to commonly as an undivided  
8 unit, the entire unit pays all costs and shares all  
9 revenues. This is what I just commonly refer to as  
10 a divided unit.

11 A. In this particular -- I apologize for not  
12 -- I wish I understood more about the problem, but  
13 Veteran now owns 96 percent -- well, no, that isn't  
14 quite true, so -- I'm not qualified to really answer  
15 that question.

16 MR. STOVALL: And that's my concern. I don't  
17 know. We're not getting the information which says,  
18 for example, who has got an interest in the east  
19 half of section 6. They're the ones who probably  
20 are most affected, whose correlative rights are most  
21 affected by this, counter balanced with the fact  
22 that they've had a pretty good production out of a  
23 well if, in fact, that's the proration unit. If the  
24 northeast quarter is not in a proration unit, then  
25 there's a major problem. Section -- what is it,

1 section 1 to the west -- we've got two proration  
2 units and we don't know what the dedications are.  
3 What is the effect of it?

4 MR. BRUCE: Well, as long as you're not  
5 overlapping proration units, though, I don't  
6 understand the correlative rights problem.

7 MR. STOVALL: Well, are we overlapping  
8 proration units in section 6, or do we know?

9 MR. BRUCE: We can go check. The BLM, as I  
10 understand it, and you can ask Mr. Chancellor, has  
11 approved this well.

12 MR. STOVALL: Really. I'm assuming, we don't  
13 have confirmation, but I -- we'd hope that homework  
14 was done ahead of time that the east half is  
15 dedicated to that other well which is unidentified.

16 A. As far as I understand, that is true. I  
17 was somewhat involved in hearing the dedication and  
18 that's definitely the reason for staying 660 away  
19 from that half section line.

20 MR. STOVALL: What's the effective drainage  
21 radius of your proposed 7-3? Do you have any idea  
22 how -- particularly if you intersect that fracture  
23 successfully, what's that going to do as far as --

24 A. We have --

25 MR. STOVALL: Fractures in the Mancos have

1 been known to produce from a long ways away?

2 A. Sure, they have and, again, I'm not the  
3 qualified man to answer it, but I have worked with  
4 our engineer and we're showing 320-acre drainage in  
5 this area, and 250,000 barrels a well for horizontal  
6 wellbores. I think you can see from the production  
7 in the area that --

8 MR. STOVALL: It's really spotty in that?

9 A. Yes, it is.

10 MR. STOVALL: I think that's pretty well known  
11 from the east side of the Mancos formation  
12 throughout. You hit the fracture you get a barn  
13 burner, but if you hit the tight matrix, you don't  
14 get anything.

15 A. Yes.

16 MR. STOVALL: But when you do hit the fracture  
17 and get a barn burner, the reason you do so is  
18 because that fracture is connecting you to a fairly  
19 large radius within the fracture system.

20 A. And, as you know, it can, and in our area,  
21 unfortunately, we do not appear to be as well  
22 fractured as some other more impressive Mancos pools  
23 in the San Juan Basin. Thus the reason for the  
24 320-acre spacing in this field, as some of this  
25 production history has already shown, our best well

1 has only made 135,000 barrels out of section 11. We  
2 don't really have too many half million barrel wells  
3 in here.

4 MR. STOVALL: How long has the 11-14 been on?

5 A. It's been on -- I believe that well was  
6 drilled in '84. It made --

7 MR. STOVALL: Isn't that the horizontal well?

8 A. No. The 11-14 is one of the horizontal  
9 wells.

10 MR. STOVALL: You're talking about the  
11 135,000-barrel well?

12 A. Yes, sir. That's the 11-16.

13 MR. STOVALL: How long does -- the 11-14 been  
14 what, a year, or less probably?

15 A. Yes, sir, that's correct.

16 MR. STOVALL: Okay.

17 A. Oh, I'm sorry. If I could let you  
18 understand a little more. We twinned the plug  
19 producer that you see next to the 11-14, and the  
20 plug producer had made 11,000 barrels of oil, and  
21 our hole, the 11-14, we are still working on  
22 completing, but we are a little disappointed in the  
23 production of that well for various geological and  
24 engineering reasons why it was drilled.

25 MR. STOVALL: But it has crossed what you

1 believe to be that basement fault, right?

2 A. It has crossed that basement fault,  
3 however, if you would refer to Exhibit D for just a  
4 minute, you can see that this is the main flecture  
5 in the pay zone, and it goes much farther south.  
6 It's migrated up in the Mancos, and it does go much  
7 farther south. I apologize. The 11-14 horizontal  
8 hole is not marked on there, but you can see --

9 MR. STOVALL: It approximately starts about on  
10 that -- by the 805 there?

11 A. That's right.

12 MR. STOVALL: Right above it?

13 A. And actually there is a splay hinge coming  
14 off of this main flecture from section 12 over above  
15 that 805, crossing the wellbore that we crossed, or  
16 that we drilled, and we feel now that it's a much  
17 smaller fracture zone, and would have rather  
18 concentrated on this lower flecture line.

19 MR. STOVALL: In other words, down south from  
20 that starting point rather than north.

21 A. That's correct, and even though it appears  
22 we have crossed the basement fault, the top of it we  
23 did, but what's more important is the flecture  
24 highlight in Exhibit D, and we were north of that  
25 and in a smaller zone, and that may not be the main

1 reason the well has not performed as we had hoped.  
2 There are other reasons.

3           However, we are convinced that the better  
4 production in the field is at or certainly within  
5 1,000 feet of that highlight. We feel like it's  
6 very important to stay -- to drill horizontal  
7 wellbores on both sides of the fracture zone and  
8 staying at an angle such that you don't get too far  
9 away from either side of the fracture zone.

10           MR. STOVALL: I want to go back and visit with  
11 you a little bit about the unit. Going back to  
12 Exhibit 1 from 10099, it appears that the unit  
13 boundary is on the east section line of sections 5  
14 and 8. On your map it appears that it's on the east  
15 line of section 6 and splits section 7.

16           A. I apologize. I'm sure that --

17           MR. STOVALL: Which one's correct?

18           A. I'm sure Exhibit B is incorrect.

19           MR. STOVALL: What it does now, I look at --

20           A. If I could just look here for a moment. 5  
21 and 6, yeah. It's Exhibit --

22           MR. STOVALL: It looks like Exhibit B has got  
23 the unit boundaries all substantially different from  
24 the one we've just admitted.

25           A. Yes. The exhibit that Mr. Bruce has shown

1 you is correct.

2 MR. STOVALL: You're talking about Exhibit 1  
3 from case 10099?

4 A. Yes. It has not changed from this  
5 submittal since the first day of its inception. It  
6 has sections 35 and 36; that's correct.

7 MR. STOVALL: You get down on the south it  
8 looks like it's got the wrong section. You don't  
9 have section numbers on your Exhibit B. That makes  
10 it a little tougher for us, at least as I'm seeing  
11 it.

12 A. The exhibit -- is this Exhibit 1? This is  
13 correct. I would be glad to correct this and get it  
14 to them as soon as possible. The problem is, Veteran  
15 and the original owner have been talking about  
16 several possibilities of trades in the area, and we  
17 have gone through many different outlines for  
18 thinking about shrinking our other federal unit  
19 outlines and --

20 MR. STOVALL: Contracting the unit, you mean?

21 A. Yes, sir. And this is correct, Exhibit 1.

22 MR. STOVALL: For some reason, Mr. Bruce, I  
23 feel sort of like I'm missing something, but I'm  
24 having trouble putting my finger on exactly what I'm  
25 missing. I think I want to ponder this for a



1 minute. I think if the Examiner's got any questions  
2 on the technical engineering aspects of the well  
3 itself. My concern is primarily to the correlative  
4 rights, and a lot of these tracts are "GW, et al,"  
5 and are the "et als" the same in each tract, and how  
6 does that work together and is it better to --

7 MR. BRUCE: If I may -- just looking through  
8 the previous file in case 10099 and the unit  
9 agreement -- which is the unit agreement -- and it  
10 does set forth the ownership, and I'm not going to  
11 go into any detail, but if I may say that so long as  
12 we don't have the overlapping proration units that  
13 you've discussed, as long as we don't have that  
14 problem, I mean, you are merely dedicating acreage  
15 to a well, and although it may cross section lines.

16 MR. STOVALL: I fully concur: The section  
17 lines are artificial boundaries drawn by some guys  
18 on horses a long time ago, and sometimes they don't  
19 make geologic sense, so I don't particularly have a  
20 problem crossing those lines in this type of  
21 situation. I'm wondering if we need more of a big  
22 picture, but let me ask you this: assuming this  
23 application were granted for this 7-3 well, would  
24 you want an allowable equal to two times the  
25 320-acre oil allowable?

1       A.     No. I don't think that, in my opinion,  
2 that would have been necessary because this is a  
3 sensitive reservoir and we are not that interested  
4 in producing it hard anyway.

5           MR. STOVALL: You're on what, a gas-drive  
6 type?

7       A.     It's a combination solution-gas-and-gravity  
8 drive.

9           MR. STOVALL: You recover more oil then if you  
10 produce it more slowly at a maximum efficient rate,  
11 so to speak, rather than --

12       A.     Yes, sir, But that really -- I don't know  
13 Veteran's full intent. I do not believe that is an  
14 intent at this point as for as a double allowable.

15           MR. STOVALL: I don't think it's advertised  
16 for that, so I don't think that.

17       A.     This is strictly a geological -- keep the  
18 production down.

19           MR. STOVALL: Maximize your contact --

20       A.     Yes, sir.

21           MR. STOVALL: And produce it at the best rate  
22 that would make the best recovery; right?

23       A.     That's correct. We can't really see a way  
24 to drill a horizontal hole in 6 alone, or 7 alone  
25 where we would cross both sides of the flecture

1 without crossing into the --

2 MR. STOVALL: I understand. Then you've got  
3 more of a problem because you're not -- what, in  
4 fact, you're doing is forming a larger drilling  
5 block here because you're producing from both --  
6 you're in both sections, so you're forming a  
7 nonstandard proration unit, large drilling block,  
8 whatever you want to call it. And that addresses  
9 some of the correlative rights issue, I grant you  
10 that.

11 I guess I'm thinking about it also in terms  
12 of the application for rules for administrative  
13 approval for similar applications, and that perhaps  
14 is more of a problem to me than this individual  
15 well. I think at this time I'll conjugate while the  
16 examiner asks whatever technical questions he's  
17 got.

18 MR. STOGNER: Well, I think we got the unit  
19 boundaries taken care of. That was one of the main  
20 questions I had, but we got that straightened out,  
21 and this well is going to be dedicated in the  
22 existing 7-11 well; is that correct?

23 A. Yes, sir, that's correct.

24 MR. STOGNER: Now are there horizontal wells  
25 in this particular unit area, or are we going after

1 that basement fault? Is that what Veteran's  
2 proposals are on these horizontal wells at this  
3 point?

4 A. The real intent is even though we're going  
5 after the basement fault on Exhibit B, we're really  
6 going after the point of maximum flexure on the  
7 Mancos B seismic horizon in Exhibit D, and it just  
8 so happens that the basement fault has caused that  
9 maximum flexure, and we really are going after  
10 Exhibit D, not the faulting in Exhibit B; however,  
11 they are both interconnected and related to each  
12 other, and unfortunately they are just right on top  
13 of each other.

14 MR. STOVALL: In other words, if it faulted  
15 here, it may have lifted the rock and pulled it  
16 here?

17 A. That's exactly correct. And it hasn't  
18 migrated much, but especially, for instance, in  
19 section 6 they're pretty much right on top of each  
20 other and 20 north 2 west, but when you get into  
21 section 12 of 23, the maximum flexure map is coming  
22 on down to the south, and the basic fault in the  
23 basement is taking a more northerly -- it's  
24 taking --

25 MR. STOVALL: It's going more westerly and the

1 flecture is coming more southerly; is that what you  
2 mean?

3 A. That's true.

4 MR. STOVALL: Let me say to you now that I  
5 think, quite frankly, I don't think we've got, in my  
6 opinion -- discussion with the examiner indicates he  
7 may feel the same way -- as far as the  
8 administrative approval process, I think we're  
9 simply lacking in information to deal with that, and  
10 if you wish to continue that and supplement, we can  
11 discuss what we need to do in a less formal setting  
12 and then continue that hearing. I'm not sure what we  
13 would use to justify that application, in granting  
14 that application at this point. And I'd leave it up  
15 to you, Mr. Bruce.

16 MR. BRUCE: Well, let's continue that.

17 MR. STOVALL: And see where we want to go with  
18 that. I'm not saying that is a bad idea; I'm just  
19 saying that I'm concerned about the amount of  
20 information we've got, and how to base that. You  
21 know more specific details about what would be --  
22 how it would work.

23 A. So it's more a land ownership proration.

24 MR. STOVALL: Yeah. What's the criteria for  
25 it? Is it a geologic criteria, what ownership

1 requirements have to be satisfied, how does the  
2 notice have to work, and what proration unit, and,  
3 in fact, in some cases you would always have a  
4 nonstandard proration unit. It would be a  
5 nonstandard one size. Is it always going to be an  
6 unorthodox location? Exactly what is being asked and  
7 how -- what criteria would be used to process that  
8 administratively?

9       A.     What we need to show the commissioners  
10 today, Jim, as far as the ownership, do you feel  
11 like maybe we're not prepared to give them at this  
12 time?

13           MR. STOVALL: I think what we can do is  
14 continue the case and then we can discuss it off the  
15 record and figure out what you need to do here to  
16 get this together. I don't have a problem doing  
17 that as far as that application. Now, I think we  
18 can continue to look at the specific well. What's  
19 your timeframe for drilling this particular well; do  
20 you know?

21       A.     Thirty days is what we're trying to shoot  
22 for.

23           MR. STOVALL: You don't have any leasehold  
24 problems? This whole unit is now held by  
25 production; is it not?

1       A.     That's correct.

2           MR. BRUCE: It's held by production and this  
3 specific 7-3 well -- actually, if you look at  
4 Exhibit 1, all of sections 6 and 7 are the same  
5 federal lease and referring back to the unit  
6 agreement, has common ownership throughout, working  
7 interests, overrides, et cetera.

8           MR. STOVALL: Yeah. I don't have a particular  
9 problem with -- Let me go back to this question.  
10 Since we've got simultaneous dedication, you've  
11 already got a well. What is the 7-11 doing? It's  
12 obviously not a real great well if it's only  
13 produced 5900 barrels.

14       A.     The 7-11 it is not -- that well is shut in,  
15 and it's only capable of probably three or four  
16 barrels a day.

17           MR. STOVALL: So it really doesn't make any  
18 difference as far as proration unit allowable.

19       A.     Yes.

20           MR. STOVALL: Are you prepared to give any  
21 information, more specific, detailed information as  
22 to the drilling techniques used for the 7-3? How it  
23 will be drilled?

24       A.     Yeah. It will be -- basically we're  
25 looking at the same method as we drilled the 12-10

1 well, very much unlike the 11-14 well which will be  
2 foam drilling -- air mist basically -- with a stiff  
3 foam, and, however, this time we will probably set  
4 casing through the curve instead of drilling the  
5 curve open hole with an NWD assembly, and setting an  
6 intermedial liner, or setting the full production  
7 liner.

8           However, in this case, we probably may  
9 drill a 6-and-a-half-inch hole and setting 4-inch  
10 production liner unsubmitted. In this case it's a  
11 possiblity, however, basically the same as the 12-10  
12 well.

13           MR. BRUCE: Would you discuss the results of  
14 the 12-10 well?

15           A.    The 12-10 well has made approximately 25 to  
16 30,000 barrels to date. I think it's been on  
17 production for four or five months, and has -- is  
18 currently producing about approximately 230 barrels  
19 a day, and low gas, and we do not appear to be  
20 seeing much decline in that hole.

21           MR. STOVALL: Did it choke back?

22           A.    I really do not know what the choke on it  
23 is, but it is choked back. I think that is true.

24           MR. STOVALL: I'm not going to get any further  
25 into technical questions on this particular well



1 unless the examiner has any further questions. He's  
2 the engineer.

3 MR. STOGNER: You've obviously done the other  
4 two successfully; right?

5 A. We have from an engineering standpoint,  
6 however, the 11-14 is not a great producer at this  
7 point. We feel now after the 12-10 that we have the  
8 learning curve to move ahead.

9 MR. STOGNER: And that may or may not enter  
10 into the picture on the amendment to R-9330, but  
11 it's something to consider. Is that all you have at  
12 this point, Mr. Bruce?

13 MR. BRUCE: Yes, sir.

14 MR. STOGNER: At this time I want to take the  
15 case 10332 under advisement, but I want to leave the  
16 record open and continue case number 10331 to a  
17 later date. Should we just go ahead and continue  
18 that until the next examiner hearing?

19 MR. BRUCE: Let's continue it.

20 MR. STOVALL: You want to go to the next four  
21 weeks? It's your choice, Jim.

22 MR. BRUCE: Let's do it two weeks. I mean, I  
23 can always continue it again.

24 MR. STOGNER: That will be the July 11th  
25 hearing. That's right. You may want to consider

1 bringing somebody who can answer those land-type  
2 questions especially after presenting Exhibit  
3 Number 1, and I do want to definitely review. Which  
4 one is right, B or 1?

5 MR. BRUCE: We'll verify that.

6 MR. STOVALL: And you check that proration  
7 unit question for section 6 to make sure you don't  
8 have a double dedication.

9 MR. STOGNER: And if Exhibit B is the right  
10 unit.

11 MR. STOVALL: No. They're saying that  
12 Exhibit B is incorrect.

13 MR. BRUCE: Well, we will verify that and do  
14 that on the record at the next hearing.

15 MR. STOGNER: Well, it may be too late then  
16 because you did not notify offset operators. That  
17 is the proper way when there are offset operators,  
18 if not then --

19 MR. STOVALL: Do you want to take them both  
20 under advisement? Will that help to check that?  
21 That gives you the ability if there is an error. I  
22 think he's got a point. Did you notify the offsets  
23 to the Johnson?

24 MR. BRUCE: No, we did not notify anyone.

25 MR. STOVALL: Would it be better to take them

1 both under advisement to give you that option rather  
2 than to find that it was a defective order and have  
3 to reopen and do the whole thing?

4 MR. BRUCE: On the 7-3 well, could we just  
5 leave the record open, say, until next Thursday?

6 MR. STOVALL: And then, provided that Exhibit  
7 1 from 10099 is correct as to ownership, and that  
8 there is no overlapping proration units, it can be  
9 taken under advisement at that time.


10 MR. BRUCE: Yes.

11 MR. STOVALL: Does it make sense?

12 MR. STOGNER: Yes. Case 10324 will be taken  
13 under advisement. I'm sorry. I mean 10332 is going  
14 to be taken under advisement; however, I'm going to  
15 leave the record open until next Thursday, and 331  
16 will be continued to July 11, 1991. And with that,  
17 that will be done with the Veterans Exploration at  
18 this point.

19 MR. BRUCE: Okay.  
20  
21

22 I do hereby certify that the foregoing is  
23 a complete and true copy of the proceedings in  
24 the Examination hearing of Case Nos. 10331 and 10332  
25 heard by me on 13 June 1991.

  
Examiner  
Oil Conservation Division

1 STATE OF NEW MEXICO       )  
                                  ) ss.  
2 COUNTY OF BERNALILLO     )


3 REPORTER'S CERTIFICATE

4 BE IT KNOWN that the foregoing transcript of  
5 the proceedings were taken by me, that I was then  
6 and there a Certified Shorthand Reporter and Notary  
7 Public in and for the County of Bernalillo, State  
8 of New Mexico, and by virtue thereof, authorized to  
9 administer an oath; that the witness before  
10 testifying was duly sworn to testify to the  
11 whole truth and nothing but the truth; that the  
12 questions propounded by counsel and the answers of  
13 the witness thereto were taken down by me, and that  
14 the foregoing pages of typewritten matter contain a  
15 true and accurate transcript as requested by counsel  
16 of the proceedings and testimony had and adduced  
17 upon the taking of said deposition, all to the best  
18 of my skill and ability.

19 I FURTHER CERTIFY that I am not related to  
20 nor employed by any of the parties hereto, and have  
21 no interest in the outcome hereof.

22 DATED at Bernalillo, New Mexico, this day  
23 July 29, 1991.

24 My commission expires  
25 April 24, 1994

  
LINDA BUMKENS  
CCR No. 3008  
Notary Public