

## STATE OF NEW MEXICO

## ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

## OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING )  
CALLED BY THE OIL CONSERVATION )  
DIVISION FOR THE PURPOSE OF )  
CONSIDERING: )  
APPLICATION OF WARRIOR, INC. ) CASE NO. 10347

REPORTER'S TRANSCRIPT OF PROCEEDINGSEXAMINER HEARING

BEFORE: MICHAEL E. STOGNER, Hearing Examiner

July 25, 1991

Santa Fe, New Mexico

This matter came on for hearing before the Oil Conservation Division on July 25, 1991, at 11:10 a.m. at the Oil Conservation Division Conference Room, State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Freda Donica, RPR, Certified Court Reporter No. 417, for the State of New Mexico.

FOR: OIL CONSERVATION      BY: FRED A DONICA, RPR  
DIVISION                      Certified Court Reporter  
CCR No. 417

## I N D E X

July 25, 1991  
Examiner Hearing  
CASE NO. 10347

PAGE  
3

## APPEARANCES

## WARRIOR, INC. WITNESSES:

MOHAMAD YAIM MERCHANT

Direct Examination by Mr. Kellahin

4

## REPORTER'S CERTIFICATE

22

\* \* \*

## E X H I B I T S

ID ADMTD

1  
2  
3  
4

7 16  
16  
9 16  
16 16

## A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL, ESQ.  
General Counsel  
Oil Conservation Commission  
State Land Office Building  
310 Old Santa Fe Trail  
Santa Fe, New Mexico 87501

FOR THE APPLICANT:

KELLAHIN, KELLAHIN & AUBREY  
117 N. Guadalupe  
Santa Fe, New Mexico  
BY: THOMAS KELLAHIN, ESQ.

1 HEARING EXAMINER: Call next case, number 10347.

2 MR. STOVALL: Application of Warrior, Inc., for a  
3 waterflood pilot project, Lea County, New Mexico.

4 HEARING EXAMINER: Call for appearances.

5 MR. KELLAHIN: Mr. Examiner, I'm Tom Kellahin of the  
6 Santa Fe law firm of Kellahin, Kellahin & Aubrey, appearing  
7 on behalf of the applicant, and I have one witness to be  
8 sworn.

9 HEARING EXAMINER: Are there any other appearances in  
10 this matter? Will the witness please stand and be sworn?

11 (Witness sworn.)

12 HEARING EXAMINER: Mr. Kellahin.

13 MR. KELLAHIN: Thank you, Mr. Examiner.

14 MOHAMAD YAIM MERCHANT

15 the witness herein, having been first duly sworn, was  
16 examined and testified as follows:

17 DIRECT EXAMINATION

18 BY MR. KELLAHIN:

19 Q. Mr. Merchant, for the record, would you please  
20 state your name and occupation?

21 A. My name is Mohamad Yaim Merchant. I'm a  
22 petroleum engineer, practicing out of Hobbs, New Mexico. I  
23 operate Penroc Oil Corporation and Warrior, Incorporated.

24 Q. On prior occasions, Mr. Merchant, have you  
25 testified as a petroleum engineer before the division?

1           A.     Yes, sir, I have.

2           Q.     Were you the individual responsible on behalf of  
3     Warrior, Inc., to prepare the division Form C-108 that is  
4     part of the presentation today for approval of this  
5     waterflood project?

6           A.     Yes, sir, I have prepared these.

7           Q.     In addition, have you prepared the cross-section  
8     showing the geologic information for this waterflood  
9     project?

10          A.     It was prepared under my supervision, yes.

11          Q.     In addition, have you, as a petroleum engineer,  
12     made an assessment of the secondary recovery oil potential  
13     if this waterflood project is approved and made successful?

14          A.     Yes, sir, I have.

15          MR. KELLAHIN: We tender Mr. Merchant as an expert  
16     petroleum engineer.

17          HEARING EXAMINER: Mr. Merchant is so qualified.

18          Q.     (By Mr. Kellahin) Mr. Merchant, we need to orient  
19     the Examiner as to your project. And while I'll ask you to  
20     look at what is marked as page three of Exhibit Number 2,  
21     that's the plat showing the ownership -- I've given the  
22     Examiner a blown-up copy of that same page in which I have  
23     outlined in yellow the lease acreage involved in this  
24     project. Would you help orient the Examiner? Where is this  
25     project located in relation to any other waterflood projects

1 of this particular pool?

2 A. The project is located in the west half of  
3 Section 26 Township 20 South, Range 36 East, as well as the  
4 northeast corner of Section 27 of the same township and  
5 range, Lea County, New Mexico, which is located west of  
6 Monument Oil Center, New Mexico.

7 Q. Is this acreage you've just described part of the  
8 same base lease?

9 A. It is part of the same base federal lease, yes.

10 Q. You have not had to unitize or consolidate other  
11 leases into this project?

12 A. No, sir.

13 Q. Are there any other waterflood projects in the  
14 Eumont Oil and Gas Pool that are in this immediate vicinity?

15 A. Yes. At the moment we are being offset to the  
16 north in Section 23 and northeast Section 24 and east  
17 Section 25 by Chevron's Eunice Monument West Unit.

18 Q. Is that also a waterflood project of the same  
19 interval that you're seeking approval to flood?

20 A. It is the same interval in the Eumont, except in  
21 the case of Chevron, since they're a little bit higher in  
22 structure, they also want to flood the Grayburg. The  
23 Grayburg, in our case, is watered out.

24 Q. When we look at the display before the Examiner,  
25 you have indicated with a black arrow a concern well. What

1 was the purpose of indicating that well?

2 A. That well is the subject well which we plan to  
3 convert, if given approval, to water injection, called the  
4 Federal "D" Number 2.

5 Q. Why have you selected that well?

6 A. Because of the location -- location of the well  
7 within the acreage which should benefit the offsetting wells  
8 in each direction.

9 Q. Can you identify for the Examiner the wells in  
10 the Chevron project that are to be converted to injection  
11 wells in this interval?

12 A. Immediately to the north of Section 26, Section  
13 23, wells number 6 and well number 9, again in Section 23,  
14 will be converted or are in the process of being converted  
15 to injection by Chevron, which should offset -- which should  
16 affect the well in Section 26 on Federal "D" Lease.

17 Q. Let me have you go to what is marked as Exhibit  
18 Number 1, which is the cross-section on the wall, and have  
19 you identify and describe the wells on the cross-section.

20 A. The four wells on the cross-section go north to  
21 south, which is A-A', a Federal "D" 4, Number 2, Number 1  
22 and Number 5. Cross-section, we show on the top the Yates  
23 and Seven Rivers, as well as the top of the Queen, which is  
24 our zone of interest for the waterflooding.

25 Q. What have you shown with the red vertical shading

1 on each of the logs?

2 A. The red vertical shading on each of the logs are  
3 the perforations which are currently open in each one of the  
4 wells in the Queen zone.

5 Q. When we look at the second log over from the left  
6 margin of the display, what is that a log of?

7 A. That is a log on the Federal "D" Number 2, the  
8 well which we will be converting to injection.

9 Q. Geologically, are you able to conclude that it is  
10 feasible and suitable to flood this particular formation  
11 within this portion of the lease?

12 A. Based on the cross-sections and based on what  
13 Chevron has done to the north as well as to the east, this  
14 is a similar reservoir, and we should not have any problems  
15 waterflooding it.

16 Q. In addition to the subject Number 2 well for  
17 which you're seeking approval, do you have any immediate  
18 plans in the foreseeable future to either convert additional  
19 producing wells or to drill new wells for injection  
20 purposes?

21 A. Within the next -- once approval is granted and  
22 we can work well number 2 to injection, we do plan to drill  
23 shortly, within the next three to four months after that,  
24 another new well in the center, center of southwest quarter  
25 of Section 26 as a new injection well.



1 Q. Are you asking the division examiner to put in  
2 the waterflood order an administrative procedure by which  
3 you can have a process to drill or convert for injection  
4 additional injection wells?

5 A. Yes, sir. I am.

6 Q. Have you as a reservoir engineer made an analysis  
7 of the potential for the secondary oil recovery that might  
8 be obtained from the lease?

9 A. Yes, we have. Direct your attention to Exhibit  
10 3, which is a curve of primary as well as secondary recovery  
11 oil. And within the same exhibit on the following two pages  
12 is a computer run analysis of what we intend -- how we  
13 intend to recover additional reserves. The secondary  
14 primary ratio, .34, which is similar to the Chevron  
15 waterfloods to the north and east, has been utilized on this  
16 particular project. Based on that, we should recover  
17 418,000 barrels of additional oil.

18 Q. When we look at the decline curve portion for the  
19 primary production, you show a decline rate of five percent  
20 per year. Upon what did you base that conclusion?

21 A. The primary rate is a historical rate going back  
22 the last 25 years. That's the rate that's been on it, is a  
23 five percent decline.

24 Q. Upon what do you base the conclusion that the  
25 secondary potential, once attained as projected on this

1 display, which shows to be late 1996, that it will  
2 subsequently decline at a ten percent per year rate?

3 A. Once again, we're relying on the area knowledge,  
4 going back to Chevron on the Eumont waterfloods to the north  
5 and to the east, and the most recent is Arrowhead Grayburg  
6 waterflood. The knowledge of the area.

7 Q. You're seeking approval to flood the Eumont Oil  
8 and Gas Pool within this particular lease area?

9 A. Yes.

10 Q. Is there any potential risk to gas production  
11 within the pool if this portion of the pool is approved for  
12 waterflood?

13 A. Currently there's no -- there are no gas wells  
14 being produced out of the Eumont gas zone within the area of  
15 interest.

16 Q. If your project is approved, do you anticipate  
17 any violation of correlative rights of any owners offsetting  
18 you?

19 A. No, sir, we are not.

20 Q. You should be in a position with this injector  
21 well that you will capture oil being pushed away from the  
22 injector before it leaves the lease?

23 A. That is correct. We should be able to capture  
24 the oil from the offsetting producers.

25 Q. Correspondingly, can you also conclude that you

1 are not putting at risk production offsetting you by  
2 utilizing this number 2 well as an injection well?

3 A. No, sir, we are not.

4 Q. Let me ask you to go back to Exhibit Number 2,  
5 which is the C-108. In compliance with the division rules  
6 for the preparation of the C-108, did you make an  
7 investigation to find all the well bore information for  
8 those wells within the half-mile radius of review?

9 A. Yes. We have reviewed the wells within the  
10 half-a-mile radius and none of the wells have been found  
11 which would affect adversely for us to convert the well  
12 number 2 to injection.

13 Q. Within that half mile radius of review, do you  
14 find any plugged and abandoned wells?

15 A. There are no plugged and abandoned wells within  
16 that half-mile radius.

17 Q. Looking at the well bore information and the  
18 casing and cementing program for the offsetting wells, do  
19 you find any instances where you, as a reservoir engineer,  
20 would conclude that there is any type of integrity weakness  
21 in any of those wells?

22 A. All the offsetting wells within the area of  
23 interest, within the half-mile radius, in particular, do  
24 have cement all the way across the pay zone, and in most  
25 cases, almost above the salt zone.

1 Q. Do you have any knowledge of the source of  
2 drinking water within this area, whether or not there are  
3 any shallow fresh water sands?

4 A. There are fresh water sands. The only well which  
5 exists is outside the half-mile radius east of our proposed  
6 injection well.

7 Q. Do you have any --

8 A. There's one well.

9 Q. Do you have any information as to what the depth  
10 is by which the water is produced from that well?

11 A. It's about 150 feet.

12 Q. Is it the practice of operators within the area  
13 of review to provide surface casing and cementing back to  
14 surface to isolate off any potential fresh water sands?

15 A. That is correct.

16 Q. Has that been done in your area?

17 A. That has been done.

18 Q. Division guidelines provide for a surface  
19 pressure limitation of .2 PSI per foot of depth. Are you  
20 aware of that guideline?

21 A. Yes, I'm aware of that.

22 Q. What is your anticipated maximum pressure that  
23 you would utilize on the surface for this project?

24 A. Approximately 750 PSI on surface at the height of  
25 the injection.

1 Q. And is that within the .2 PSI per foot of depth  
2 guideline?

3 A. It is .2 PSI guideline. Based on that, it would  
4 be about 761 PSI.

5 Q. Should you desire or need a pressure increase  
6 over that, you would run the appropriate step rate test to  
7 determine the fractured nature of the reservoir?

8 A. That is correct.

9 Q. Do you have an estimate or a projection for the  
10 Examiner as to the amount of water to be disposed of into  
11 this injector?

12 A. Initially, we are utilizing this one injection  
13 well, well number 2. We are hoping to inject between two to  
14 250 barrels a day, maybe as high as 350 barrels a day.  
15 Currently, a problem is getting additional water, and we're  
16 working on that.

17 Q. Do your producing wells in this formation produce  
18 also water?

19 A. Yes, sir. They're producing an average of 130  
20 barrels a day.

21 Q. So this water that's produced on the lease would  
22 be utilized as part of the injection water for the injection  
23 well?

24 A. That is correct.

25 Q. Do you have an anticipated source for the makeup

1 water to supply the difference for the waterflood project?

2 A. We are currently in discussions with Rice  
3 Engineering, and if that don't materialize, then we'll be  
4 contacting Chevron to the north to get additional water.

5 Q. Will the makeup water be water that is compatible  
6 with the formation water and with the formation?

7 A. Yes, sir, it will be. It will either produce  
8 water from the same formation or it will be coming out of  
9 the Lower San Andres.

10 Q. In your investigation, do you find any geologic  
11 evidence that there's any faulting or other hydrologic  
12 connections between this formation and any shallow fresh  
13 water sands?

14 A. No, sir.

15 Q. Let's turn now to Exhibit Number 2 and to page  
16 ten of that exhibit. Describe for the Examiner the current  
17 status of the number two well, and then describe for him how  
18 you're going to complete it for injection purposes.

19 A. The current status of the well is perforated from  
20 3804 to 3964, as shown on the left-hand side schematic on  
21 page ten, Exhibit 10. We are currently producing the well.  
22 It's averaging two barrels a day. Immediately after  
23 approval of the project, we intend to convert the well to  
24 injection by running a seven-inch, either nickel-coated or  
25 plastic-coated packer with 2-7/8ths rise line tubing, which,

1 by the way, has already been purchased. It's waiting on  
2 approval.

3 Q. Will you fill the annular space between the  
4 tubing and the casing?

5 A. The annular space will be filled with packer  
6 fluid or corrosion inhibited water.

7 Q. Will you have a way to monitor the pressure on  
8 that space at the surface?

9 A. Yes, sir. We'll have 500 pounds on the annulus,  
10 which will be monitored at all times.

11 Q. When we look at the Exhibit Number 2, direct our  
12 attention to that portion of the exhibit that provides the  
13 tabulation for the Examiner of the well bore data for the  
14 wells within the area of review.

15 A. There are several of them. Offsetting the  
16 Federal "D" Number 2 we find the Chevron well to the north  
17 on page 12.

18 Q. And then we continue all the way through page  
19 23? And that will be a compilation of that data?

20 A. I believe that is correct. Let me go through  
21 it. Yes. Page number 23 will complete the tabulation of  
22 all the offsetting wells within the half-a-mile radius.

23 Q. When we turn to page 24, what is represented on  
24 that page?

25 A. On that page is the names and addresses of the

1 surface owner as well as the offset operators who have been  
2 notified by certified mail of our intent.

3 Q. Have you received any objection from either the  
4 surface owner or any of the offsetting operators to your  
5 application?

6 A. We haven't had no objection from either one of  
7 them.

8 MR. KELLAHIN: Mr. Examiner, Exhibit Number 4 is my  
9 certificate that we have mailed certified mail notifications  
10 of this hearing today to all those parties shown on Mr.  
11 Merchant's exhibit. It's also repeated on page 25 of  
12 Exhibit Number 2.

13 That concludes my examination of Mr. Merchant.  
14 We would move the introduction of Exhibits 1 through 4.

15 HEARING EXAMINER: Exhibits 1 through 4 will be  
16 admitted into evidence.

17 Mr. Merchant, in looking at your map of this area  
18 and in your outlined proposed waterflood area, of the wells  
19 shown, how many of them are Eumont oil producers?

20 THE WITNESS: Within that half-a-mile radius?

21 HEARING EXAMINER: Yeah, and within the -- in your  
22 lease.

23 THE WITNESS: They all are.

24 HEARING EXAMINER: In this area, what is the base of  
25 the Eumont pool?



1 THE WITNESS: You're asking in terms of footage or  
2 what?

3 HEARING EXAMINER: What is defined as the base of the  
4 Eumont pool by OCD records or footage?

5 THE WITNESS: The base of the Eumont pool is from top  
6 of the Yates all the way to the top of the Grayburg. That's  
7 all included as the Eumont pool.

8 HEARING EXAMINER: And you will be just injecting water  
9 into the Queen?

10 THE WITNESS: We'll be injecting water into the Queen  
11 only because that's all that's opened right now perforation  
12 wise, and we're not going to add any more perforations.

13 HEARING EXAMINER: The Eumont pool is an associated  
14 pool with 400 -- I'm sorry 640-acre gas spacing and 40-acre  
15 oil spacing; is that correct?

16 THE WITNESS: That's correct.

17 HEARING EXAMINER: You are in the oil zone?

18 THE WITNESS: Yes.

19 HEARING EXAMINER: Generally, the Queen is oil  
20 producing; is that correct, in this area?

21 THE WITNESS: Generally, it is oil producing from about  
22 3,738 hundred feet down, as you can see on the  
23 cross-section.

24 HEARING EXAMINER: What are the average producing rates  
25 on the wells within your lease?

1 THE WITNESS: The best quoted is five barrels a day.

2 HEARING EXAMINER: All classified as stripper.

3 THE WITNESS: Yes, sir.

4 HEARING EXAMINER: You mentioned your water source  
5 would be reinjection and made up with water either from  
6 Chevron. Will this be fresh water or reinjection also?

7 THE WITNESS: The produced water will be produced, of  
8 course, off the Federal "D" Lease. We'll utilize that, and  
9 the water which we are trying to acquire either from Rice  
10 Engineering or Chevron. In the case of Rice, it's all  
11 produced water from the Eumont. In the case of Chevron, it  
12 will be the water from the Lower San Andres. I understand  
13 that they are in the process of drilling some makeup water  
14 wells to the Lower San Andres.

15 HEARING EXAMINER: So you do not plan to utilize any  
16 fresh water in yours.

17 THE WITNESS: We do not plan to do that, no.

18 HEARING EXAMINER: I believe you mentioned in your  
19 testimony that the Chevron flood has Queen injection also?  
20 Or is it primary Grayburg?

21 THE WITNESS: No, it has Queen injection also. They  
22 are deepening some of their wells to include the top of the  
23 Grayburg. And as you go from Chevron leases back to the  
24 southwest, as you can see in the cross-section also, as you  
25 go from well number four back to the south to well number

1 five, you have a steep dropoff in the reservoir. It starts  
2 falling off rather rapidly.

3 HEARING EXAMINER: And the San Andres water is  
4 compatible with the water that you'll be reinjecting.

5 THE WITNESS: That is correct. We will, by the way,  
6 regardless whether it's produced water from our lease or  
7 produced water from Rice Engineering or the makeup water  
8 from the lower San Andres from Chevron, we will be filtering  
9 the water to improve the water quality over injection water.

10 HEARING EXAMINER: Is that through a membrane of some  
11 kind?

12 THE WITNESS: Yeah, through a membrane, a membrane  
13 filter system.

14 HEARING EXAMINER: On page ten of your Exhibit Number  
15 2, that's your proposed completion on this well, or  
16 recompletion, I should say, you show your tubing to be  
17 2-7/8ths Rice line tubing. Is that a plastic-coated or  
18 cement-coated line?

19 THE WITNESS: It's cement-coated line.

20 HEARING EXAMINER: Rice is the process?

21 THE WITNESS: Rice Engineering is the process.

22 HEARING EXAMINER: Or applicator.

23 THE WITNESS: Applicator, manufacturer.

24 HEARING EXAMINER: They do it.

25 THE WITNESS: They do it.

1 HEARING EXAMINER: What's your proposed packer setting  
2 depth?

3 THE WITNESS: Approximately 100 feet, 75 to 100 feet  
4 above the top.

5 HEARING EXAMINER: And your maximum pressure again?

6 THE WITNESS: 750 PSI.

7 HEARING EXAMINER: That's well under the .2 PSI per  
8 foot?

9 THE WITNESS: That's about 11 PSI under, yes. We  
10 expect the well to be on vacuum for a while.

11 HEARING EXAMINER: So no stimulation will be  
12 necessary?

13 THE WITNESS: No stimulation would be necessary.

14 HEARING EXAMINER: Have these perforations gone under  
15 stimulation whenever they were initially --

16 THE WITNESS: They were acidized and fracked, yes.

17 HEARING EXAMINER: I have no other questions of Mr.  
18 Merchant. Are there any other questions of the witness?

19 MR. STOVALL: No.

20 MR. KELLAHIN: No, sir.

21 HEARING EXAMINER: You may be excused.

22 Anything further in this case, Mr. Kellahin?

23 MR. KELLAHIN: No, sir.

24 HEARING EXAMINER: Does anybody else have anything  
25 further in case 10347? If not, this case will be taken

1 under advisement.

2 (The foregoing hearing was adjourned at the  
3 approximate hour of 11:34 a.m.)

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24


25

1 STATE OF NEW MEXICO )  
2 :  
3 COUNTY OF SANTA FE )


4 I, FREDA DONICA, RPR, a Certified Court Reporter, DO  
5 HEREBY CERTIFY that I stenographically reported these  
6 proceedings before the Oil Conservation Division; and that  
7 the foregoing is a true, complete and accurate transcript of  
8 the proceedings of said hearing as appears from my  
9 stenographic notes so taken and transcribed under my  
10 personal supervision.

11 I FURTHER CERTIFY that I am not related to nor employed  
12 by any of the parties hereto, and have no interest in the  
13 outcome hereof.

14 DATED at Santa Fe, New Mexico, this 16th day of  
15 September, 1991.

16   
17 Freda Donica  
18 Certified Court Reporter  
19 CCR No. 417

20 I do hereby certify that the foregoing is  
21 a complete record of the proceedings in  
22 the Examiner hearing of Case No. 10347  
23 heard by me on 25 July 1991.

24 , Examiner  
25 Oil Conservation Division