

STATE OF NEW MEXICO  
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT  
OIL CONSERVATION DIVISION

APPLICATION OF UNION OIL	)	
COMPANY OF CALIFORNIA D/B/A	)	
UNOCAL FOR HIGH ANGLE	)	
DIRECTIONAL DRILLING PILOT	)	
PROJECT, SPECIAL OPERATING	)	CASE NO. 10375
RULES THEREFOR, UNORTHODOX	)	
GAS WELL LOCATION AND	)	
SIMULTANEOUS DEDICATION, RIO	)	
ARRIBA COUNTY, NEW MEXICO.	)	
-----	)	

REPORTER'S TRANSCRIPT OF PROCEEDINGS  
EXAMINER HEARING

BEFORE:     DAVID R. CATANACH, Hearing Examiner  
                 September 19, 1991  
                 9:40 a.m.  
                 Santa Fe, New Mexico

This matter came for hearing before the Oil Conservation Division on September 19, 1991, at 9:40 a.m. at the State Land Office Building, 310 Old Santa Fe Trail, Santa Fe, New Mexico, before Linda Bumkens, CCR, Certified Court Reporter No. 3008, in and for the County of Bernalillo, State of New Mexico.

FOR: OIL CONSERVATION  
DIVISION

BY: LINDA BUMKENS CCR  
Certified Court Reporter  
CCR NO. 3008

## I N D E X

1  
2 September 19, 1991  
3 Examiner Hearing  
4 CASE NO. 10375

5	APPEARANCES	3
6	WITNESSES	
7	<u>BILL HERING</u>	
8	Direct Examination by Mr. Carr	5
9	Examination by Mr. Catanach	17
10	RECESS	20
11	REPORTERS CERTIFICATE	21

## E X H I B I T S

12	UNOCAL	
13	Exhibits 1 through 13	16

## A P P E A R A N C E S

## A P P E A R A N C E S

FOR THE DIVISION: ROBERT G. STOVALL, ESQ.  
General counsel  
Oil Conservation Commission  
310 Old Santa Fe Trail  
Santa Fe, New Mexico  
87501

FOR APACHE  
CORPORATION: CAMPBELL, CARR, BERG &  
SHERIDAN P.A.  
BY: MR. WILLIAM F. CARR, ESQ.  
110 North Guadalupe  
Santa Fe, New Mexico

GAS COMPANY OF  
NEW MEXICO: GCNM DIVISION OFFICE  
BY: MISS SARAH D. SMITH  
2444 Louisiana N.E.  
Albuquerque, New Mexico  
87125

1 MR. CATANACH: Calling the hearing back to  
2 order. At this time we'll call Case 10375.

3 MR. STOVALL: Application of Union Oil Company  
4 of California D/B/A UNOCAL for a high angle  
5 directional drilling pilot project, special  
6 operating rules there for an unorthodox gas well  
7 location and simultaneous dedication, Rio Arriba  
8 County, New Mexico.

9 EXAMINER CATANACH: Are there appearances in  
10 this case?

11 MR. CARR: May it please the Examiner, my name  
12 is William F. Carr with the law firm Campbell and  
13 Black, P.A., of Santa Fe. I represent Union Oil  
14 Company of California, and I have one witness.

15 EXAMINER CATANACH: Any other appearances?

16 MISS SMITH: Mr. Hearing Examiner, Sara Smith  
17 on behalf of the Gas Company of New Mexico and  
18 Sunterra Gas Gathering Company. We have no  
19 witnesses today.

20 MR. CATANACH: Other appearances? Will the  
21 witness please stand and be sworn in?

22 (At which time Bill Hering was sworn.)

23 BILL HERRING,  
24 the Witness herein, being previously duly sworn, was  
25 examined and testified as follows:

## DIRECT EXAMINATION

1  
2 BY MR. CARR:

3 Q. State your name for the record, please?

4 A. My name is Bill Hering.

5 Q. Mr. Hering, where do you reside?

6 A. I reside in Farmington, New Mexico.

7 Q. By whom are you employed?

8 A. I'm employed by Union Oil Company of  
9 California.

10 Q. And what position do you hold with Unocal?

11 A. I work there as a district petroleum  
12 engineer in the Farmington office.

13 Q. Have you previously testified before the  
14 Oil Conservation Division?

15 A. Yes, I have.

16 Q. At the time of that testimony, were your  
17 credentials as a petroleum engineer accepted and  
18 made a matter of record?

19 A. Yes.

20 Q. Are you familiar with the application filed  
21 in this case?

22 A. Yes.

23 Q. Are you familiar with the proposed well and  
24 the subject area?

25 A. Yes.

1 MR. CARR: Are the witness's qualifications  
2 acceptable?

3 EXAMINER CATANACH: They are.

4 Q. (By Mr. Carr) Would you briefly state what  
5 Unocal seeks with this application?

6 A. We're seeking approval for a high angle  
7 directional pilot project for the Rincon Unit Number  
8 254 in the Blanco South Pictured Cliffs Pool. Also  
9 we're seeking an unorthodox surface and bottomhole  
10 location, and we're seeking simultaneous dedication.

11 Q. Have you prepared certain exhibits for  
12 presentation here today?

13 A. Yes.

14 Q. Would you refer to what has been marked for  
15 identification as Unocal Exhibit Number 1? Identify  
16 this and review it for Mr. Catanach.

17 A. Exhibit 1 is a map of the Rincon Unit. The  
18 Rincon Unit is outlined by the dashed line, and it  
19 comprises approximately 20,000 acres in Rio Arriba  
20 County, New Mexico. The black dots shown on the map  
21 are existing Pictured Cliffs wells. There are 106  
22 completions, and the unit is almost completely  
23 developed on 160-acre spacing.

24 The acreage to be dedicated to this pilot  
25 project is in the northeast quarter of Section 20,

1 Township 27 North, Range 6 West, and it's outlined  
2 by the black lines.

3 Q. Is the subject well indicated in that  
4 project area?

5 A. Yes. The Rincon 254 is the black triangle  
6 within that subject area, and the existing Pictured  
7 Cliffs Well is the Rincon Unit 52, and it offsets  
8 the 254.

9 Q. And Mr. Hering, this well is interior to  
10 the unit, correct?

11 A. That's correct.

12 Q. Consequently, there were no offsetting  
13 operators to whom notice of this application needed  
14 to be provided?

15 A. That's right.

16 Q. Could you review the ownership, both  
17 working and royalty interest ownership, under the  
18 160 acres that comprises the project area?

19 A. Okay. First of all, let me say that the  
20 Rincon Unit is a fixed-interest Federal Unit, so it  
21 has common interest in all horizons. Working  
22 interest and royalty is a result or common also.

23 Q. Would you identify Unocal Exhibit Number 2?

24 A. Exhibit 2 is actually made up of 2A and 2B,  
25 and these are C-102 land plats. Shown on Exhibit 2A

1 is the surface location and bottomhole location of  
2 the existing 254 well. And shown on Exhibit 2B is  
3 the surface location of the existing Rincon 52 Well.

4 Q. And the well that is the subject of this  
5 application already has been drilled; is that  
6 correct?

7 A. That is correct.

8 Q. Could you provide the Examiner with a brief  
9 history of this particular well?

10 A. Sure. I'd like to refer to Exhibit  
11 Number 3, but first of all I'd like to state that  
12 this drilling project was initiated following the  
13 approval of administrative Order DD-34H, and that's  
14 included herein as Exhibit Number 4.

15 That granted approval to drill a highly  
16 deviated well to the Basin Fruitland Cole Pool. The  
17 well was spudded and completed in May of 1990. It  
18 was mud drilled, and at the kick off point of 2362,  
19 an 8 degree per 100-foot build angle was established  
20 to a maximum 60 degree angle. And that maximum  
21 60-degree angle was achieved at a measured depth of  
22 3350.

23 The well was then TD'd at a measured depth  
24 of 3595, and as you can see on Exhibit Number 3, not  
25 only did we penetrate the full thickness of the



1 Fruitland Cole, but we also TD'd the well in the  
2 Pictured Cliffs.

3 Q. Now, what was the basis for the particular  
4 orientation of the deviated portion of the wellbore?

5 A. Well, we were hoping to intersect natural  
6 fractures within the Cole formation, and that was --  
7 the direction was established based on oriented core  
8 data that we had taken from a couple of offset wells  
9 in the Rincon Unit.

10 Q. And the well was noncommercial in the  
11 Fruitland?

12 A. The well was noncommercial in the  
13 Fruitland, yes.

14 Q. Exhibit Number 4 is a copy of the  
15 administrative order authorizing the directional  
16 drilling?

17 A. Yeah, that is correct.

18 Q. Could you identify what has been marked as  
19 Unocal Exhibit Number 5?

20 A. Exhibit Number 5 is the final survey that  
21 was done on the well, and it indicates -- if you'll  
22 notice on page four of that exhibit -- a measured  
23 depth of 3595. You'll find that on the far lefthand  
24 column. True vertical depth of 3213 and the  
25 bottomhole location was approximately eight feet

1 north and 854 feet west of the surface location.

2 Q. And behind that there is some graphical or  
3 vertical sections that show the actual location of  
4 the wellbore; is that correct?

5 A. That's correct.

6 Q. Could you identify unit Exhibit Number 6?

7 A. Exhibit 6 is another wellbore schematic,  
8 and this is of the existing Rincon Unit 52 well.  
9 This well was completed in July of 1955. It was  
10 open hole to the Pictured Cliffs and stimulated with  
11 a small fracture stimulation using 11,000 pounds of  
12 sand.

13 Q. What has this well produced to date?

14 A. Cumulative production from this well has  
15 been 180 MMCF.

16 Q. And the current producing rate?

17 A. Current producing rate is 16 MCF per day.

18 Q. And the acreage that is dedicated to this  
19 well is the northeast quarter of the section which  
20 is the project area for the deviated well?

21 A. That is correct.

22 Q. All right. Let's move to Union Oil Company  
23 Exhibit Number 7. Would you identify that, please?

24 A. Yes. Exhibit 7 is a production curve since  
25 1975 for the Rincon Unit 52. Production has been

1 fairly consistent in the range from 10 to 20 MCF per  
2 day, and as I mentioned earlier, its current  
3 production rate is 16 MCF a day.

4 Q. Let's move on now to Exhibit Number 8.  
5 Identify that and then explain to the Examiner what  
6 this shows?

7 A. Exhibit Number 8 is a material balance P  
8 over Z plot for the Rincon Unit 52, and plotted here  
9 are pressures versus cumulative production. I've  
10 shown a straight line on the plot, and according to  
11 theory this relationship should be a straight line  
12 relationship.

13 However, commonly it's difficult to obtain  
14 reliable pressures and tight gas sands, and as a  
15 result a convention that I have seen in the Basin is  
16 to establish a trend to the data, and that's  
17 effectively what I've done with the curved portion  
18 of this exhibit.

19 I've projected it on out to 880 MMCF which  
20 equates to the volumetric calculation that I'll be  
21 referring to in the next exhibit, so, in essence,  
22 what I've done is I've forced the curve to match the  
23 volumetric reserves, but what I'm trying to  
24 establish here is that there's a significant amount  
25 of remaining recoverable reserves.

1 Q. And in your opinion, will the Rincon Unit  
2 52 well effectively drain those reserves?

3 A. No. As a matter of fact, at the current  
4 reducing rate of 16 MCF a day, it would take over  
5 100 years to recover those reserves.

6 Q. Okay. Let's move to Exhibit Number 9.  
7 Could you identify that, please?

8 A. Exhibit 9 is the volumetric reserve  
9 calculations, and I won't go into detail on each of  
10 the numbers here, but the calculated reserves are  
11 881 MCF. As I mentioned earlier, cumulative  
12 production has been 180 MCF which equates to a 20  
13 percent recovery. This effectively equates to a  
14 30-acre drainage radius for this well.

15 Q. Let's move down to Exhibit Number 10.  
16 Would you explain to the Examiner what this exhibit  
17 is designed to show?

18 A. This exhibit has on it the cumulative  
19 production for each of the offset Pictured Cliffs  
20 wells, and the recovery from the 52 has been  
21 anomalously low in comparison to offset wells. And  
22 I believe that the primary reason for this is  
23 because of the open hole completion, the fact that  
24 we do not have adequate fractured length in this  
25 particular well.

1 Q. And what you've done here is on each of the  
2 offsetting wells in the Pictured Cliffs you've shown  
3 the cumulative production and then you've got that  
4 also for the 52 well?

5 A. That's correct. And in every case the  
6 offsets are larger than the 52 despite the fact that  
7 the 52 is the oldest well in the area.

8 Q. Let's move on now to Unocal Exhibit  
9 Number 11. Could you explain to Mr. Catanach first,  
10 what this is and what it's designed to show?

11 A. This is a section, and it is to scale,  
12 taken from log data. It shows the Rincon 52 as  
13 being the vertical well, and the Rincon 52 well as  
14 being the highly deviated well.

15 What I'm intending to show here is the fact  
16 that at the 60-degree angle, we effectively cut  
17 twice the pay that a vertical well would, and hence,  
18 we expect higher degree of recovery from this well.

19 Q. Okay. What is Exhibit Number 12?

20 A. Exhibit Number 12 shows the vertical  
21 variation and lithology. And the advantage of a  
22 deviated well here is that it will cut across all of  
23 these vertical permeabilities. That makes it more  
24 advantageous than a horizontal well which would be  
25 confined by the vertical permeability. So the

1 deviated well is the best chance for us to intersect  
2 permeability enhancement such as natural fractures.

3 Q. What are the risks associated with this  
4 project at this time?

5 A. Well, since we have an existing wellbore,  
6 the primary risk that's associated is in completion,  
7 and those were problems that we ran into with the  
8 Cole zone and likely could be problems with the  
9 Sandstone also. And there will also be increased  
10 costs because of the deviation.

11 Q. Are there special rules in effect for the  
12 South Blanco Pictured Cliffs Pool?

13 A. No, there aren't. As a matter of fact, we  
14 have used State wide rules, OCD Rule 104, which  
15 establishes a 790 foot setback, and from the quarter  
16 line it's 130 foot setback from the quarter quarter  
17 line.

18 Q. Can you review Exhibit Number 13 for  
19 Mr. Catanach?

20 A. Exhibit 13 just shows the northeast quarter  
21 of Section 20, and on it are shown the orthodox  
22 completion windows. The 254 has a surface location  
23 just outside of the southeast orthodox window, and  
24 its bottomhole location is just outside the orthodox  
25 window.

1 Q. What acreage would you anticipate this well  
2 would drain?

3 A. Well, since the bottomhole location is very  
4 close to the center of the quarter, we anticipate a  
5 maximum 160-acre drainage.

6 Q. Can you make an estimate as to what might  
7 be the producing life for this well?

8 A. We have done some economics in taking the  
9 projection to the economic limit. We anticipate a  
10 25-year life for the well.

11 Q. Now, Mr. Hering, what you're requesting is  
12 authority to simultaneously dedicate the deviated  
13 well and the previously drilled and currently  
14 producing well Number 52 on this 160?

15 A. That's correct.

16 Q. How would you recommend that the allowable  
17 be set for this particular proration unit?

18 A. Well, I contacted Frank Chavez in the  
19 Division Office, District Office in Aztec, and he  
20 mentioned to me that current rules allow us to  
21 choose the higher deliverability of the two, and  
22 then to apply the acreage factor for calculations  
23 for that proration unit.

24 Q. And so that's what you're recommending?

25 A. Yes.

1 Q. Will this approach result in any changing  
2 in the current prorationing system for the pool?

3 A. No, it won't.

4 Q. And there are no offsetting operators to  
5 whom notice needs to be given of this application?

6 A. That's correct.

7 Q. In your opinion, will approval of this  
8 application result in the recovery of hydrocarbons  
9 from the Pictured Cliffs formation that otherwise  
10 will not be recovered?

11 A. Yes.

12 Q. Will the correlative rights of any interest  
13 owner be impaired by approval of this application?

14 A. No.

15 Q. Were Exhibits 1 through 13 either prepared  
16 by you or compiled under your direction?

17 A. Yes, they were.

18 MR. CARR: At this time, Mr. Catanach, we  
19 would move the admission of Unocal Exhibits 1  
20 through 13.

21 MR. CATANACH: Exhibits 1 through 13 will be  
22 admitted as evidence.

23 (Unocal Exhibits 1 through 13  
24 were admitted as evidence.)

25 MR. CARR: That concludes my direct



1 examination of Mr. Hering.

2 EXAMINATION

3 BY MR. CATANACH:

4 Q. Mr. Hering,, is it normal to have two wells  
5 drilled on a 160-acre unit in this pool?

6 A. In the Pictured Cliffs Pool?

7 Q. Uh-huh.

8 A. I have seen it on occasion. I don't know  
9 if it's normal.

10 Q. Okay. But Frank told you, or Mr. Chavez  
11 told you, that you could chose the higher  
12 deliverability well and use that in the allowable  
13 calculations?

14 A. Yes. The choice is up to the operator.  
15 However, they both share the same allowable.

16 MR. CATANACH: Before I go on, I guess I ought  
17 to let Sara ask any questions.

18 MISS SMITH: Thank you, Mr. Hearing Examiner.  
19 We have no questions of this witness.

20 Q. (By Mr. Catanach) Mr. Hering, have the Cole  
21 perforations, have those been abandoned -- squeezed  
22 or abandoned?

23 A. No, they not been cement squeezed yet. It  
24 is part of the procedure. That would be the first  
25 step that we would take in the recompletion effort.

1 Q. In your opinion, you can effectively  
2 isolate the Cole from the Pictured Cliffs of this  
3 well?

4 A. Yes. We will have to stimulate the  
5 Pictured Cliffs under a packer if stimulation is  
6 necessary.

7 Q. Fracture?

8 A. Yes. We hope to complete naturally, but if  
9 that is unsuccessful, then we may have to go to a  
10 fracture stimulation.

11 Q. Is it possible to fracture into the Cole on  
12 that type of completion?

13 A. It's possible, but we feel that we have a  
14 very good cement job in the well, and we ought to be  
15 able to isolate it mechanically as much as nature  
16 allows us.

17 Q. Do you have any estimates on how much the  
18 Number 254 may recover of the remaining reserves?

19 A. The calculations that we have done indicate  
20 that we may recover as much as 500 MMCF.

21 Q. On your Exhibit Number 13, is the  
22 bottomhole location you reference, that is at TD; is  
23 that correct?

24 A. That's correct.

25 Q. How thick is the Pictured Cliffs formation

1 in this area?

2 A. The commercial thickness or the pay  
3 thickness that we're using in this particular  
4 quarter averages 42 feet.

5 Q. The wellbore traverses the Pictured Cliffs  
6 formation approximately how many horizontal feet?

7 A. Well, at a 60-degree angle you cut twice  
8 the pay than you would with a vertical, so if it --  
9 I believe it does cut the 42 feet of pay, so that  
10 would then make it an 80-foot traverse.

11 MR. STOVALL: Is that horizontal or is that  
12 the amount of hole in the --

13 THE WITNESS: That would be the measured. But  
14 the horizontal would actually be fairly close to  
15 that.

16 Q. (By Mr. Catanach) Is this the first attempt  
17 at a Pictured Cliffs completion of this sort?

18 A. I believe it is in the San Juan Basin, but  
19 I can't be absolutely sure.

20 Q. You've never done it within the unit  
21 before?

22 A. Unocal has never done it, no.

23 Q. The problem with the Cole completion, you  
24 said that was -- was it the completion itself, or  
25 was it the actual reservoir property or geology?

1       A.     A combination of both. We attempted a  
2 natural completion and we recovered no hydrocarbon,  
3 so we fractured stimulated and that resulted in a  
4 screen out, and we squeezed all perfs, reperforated  
5 the smaller zone, again attempted a fracture  
6 stimulation, and that one also screened out.

7             It appears that we have difficulty in the  
8 Cole establishing a clean fracture or probably  
9 extension of multiple fractures that resulted in  
10 high lakon, and so it's a combination of the angle  
11 of the well and the fact that you have very  
12 complicated lithologies associated with the Coles  
13 that I believe caused the completion failure.

14            EXAMINER CATANACH: I believe that's all I  
15 have. Are there further questions of this witness?

16            MR. STOVALL: No questions.

17            EXAMINER CATANACH: The witness may be  
18 excused. Is there anything further in this case?

19            MR. CARR: Nothing further in this case.

20            EXAMINER CATANACH: There being nothing  
21 further, Case 10375 will be taken under advisement

22            (The foregoing case was concluded at the  
23 approximate hour of 10:20 a.m.)

24                               I do hereby certify that the foregoing is  
25                               a complete record of the proceedings in  
                              the Examiner hearing of Case No. 10375,  
                              heard by me on September 19, 1991.

David R. Catanach, Examiner  
Oil Conservation Division

1 STATE OF NEW MEXICO       )  
                                  ) ss.  
2 COUNTY OF BERNALILLO     )


3 REPORTER'S CERTIFICATE

4 BE IT KNOWN that the foregoing transcript of  
5 the proceedings were taken by me, that I was then  
6 and there a Certified Shorthand Reporter and Notary  
7 Public in and for the County of Bernalillo, State  
8 of New Mexico, and by virtue thereof, authorized to  
9 administer an oath; that the witness before  
10 testifying was duly sworn to testify to the  
11 whole truth and nothing but the truth; that the  
12 questions propounded by counsel and the answers of  
13 the witness thereto were taken down by me, and that  
14 the foregoing pages of typewritten matter contain a  
15 true and accurate transcript as requested by counsel  
16 of the proceedings and testimony had and adduced  
17 upon the taking of said deposition, all to the best  
18 of my skill and ability.

19 I FURTHER CERTIFY that I am not related to  
20 nor employed by any of the parties hereto, and have  
21 no interest in the outcome hereof.

22 DATED at Bernalillo, New Mexico, this day  
23 November 11, 1991.

24 My commission expires  
25 April 24, 1994

  
LINDA BUMKENS  
CCR No. 3008  
Notary Public