



producing area is entirely within the Blanco-Pictured Cliffs Pool and can best be described as a right triangle extending approximately 6 1/2 miles east and 8 miles north from the southwest corner of the entire area. The resulting hypotenuse, which extends 10 1/2 miles in a northwesterly/southeasterly direction is the boundary line within the original proposed area where development of the Pictured Cliffs formation occurs.

(4) At the time of the hearing, the applicant presented extensive geological data of the surrounding area utilizing subsurface data from the producing Blanco-Pictured Cliffs Pool, data from the "tight formation area" designated as "NM-7", a small Pictured Cliffs gas producing structure just north of this area in Colorado, and data available from several wellbores in the expansive "barren area."

(5) The applicant presented evidence showing that the Pictured Cliffs formation within the proposed tight formation area has been penetrated by approximately 148 wells, most of which are situated within said developed triangular area. At the time of the hearing, the applicant concentrated its engineering support data from information obtained on wells located along the periphery of the developed and barren regions of the proposed tight formation area.

(6) At the conclusion of the hearing proceedings, Conoco, Inc. was requested to submit additional engineering data from wells within the developed area to supplement its application. The record in this case was to remain open until this additional information was submitted for review.

(7) On January 22, 1992, by letter from general counsel, Conoco, Inc. requested the Division consider an amendment to its application ("the amended area") reducing the proposed tight formation area to that portion of the Pictured Cliffs formation underlying 48,155.07 acres, more or less, of lands in San Juan County, New Mexico as described in Exhibit "B" attached hereto and made a part hereof, which comprises the barren northeastern two-thirds of the original area.

(8) The Pictured Cliffs formation underlies all of the lands described in the amended area; the formation consists of fine to very fine grain sands classified as litharenite with significant amounts of diagenetic minerals formed in the intergranular pore spaces resulting in porosity which has been significantly reduced due to compaction and mineralization of the intergranular spaces. The top of the formation is found at an average depth of 3500 feet below the surface and the gross thickness of productive sand is approximately 150 feet.

(9) The deposition of the Pictured Cliffs formation in the immediate area consists of near shore bars which are lenticular, ribbon-like deposits oriented northwest to southeast; that better production is encountered on the crests of these near shore bars where the sands appear to be better developed than the areas off the bar crests where the sands become siltier and more mineral-filled and the amended area is off the northeast side of a bar crest in largely undeveloped exploratory area.

(10) The Division and the U.S. Bureau of Land Management have previously recommended to and the Federal Energy Regulatory Commission has previously approved other portions of the Pictured Cliffs formation in this general area as "tight formation designation."

(11) The type section for the Pictured Cliffs formation is found at a depth of approximately 3500 feet, with the productive portion being the upper 70 feet of a 150-foot section as described by the State of New Mexico on the Dual Induction-SFL log from the Amoco Production Company's San Juan 32-9 Unit Well No. 102 located in the SW/4 NW/4 of Section 17, Township 31 North, Range 9 West, NMPM, San Juan County, New Mexico.

(12) The original area of application, as described in Exhibit "A", included some 133 wells which produce from the Pictured Cliffs formation, all located in the southwestern third of the area, and all required fracture stimulation to achieve commercial rates of production.

(13) According to the applicant, the amended area contains a total of fifteen wells, six of which are non-commercial Pictured Cliffs attempts.

(14) The amended area is to the northeast of the Pictured Cliffs trend and is expected to be a lower productivity area. The northern boundary of this area is correlative to Pictured Cliffs wells in Colorado with calculated in-situ gas permeability of 0.083md, 0.051md and 0.069md. The eastern boundary of this area is correlative to the previously approved "NM-7" tight formation designation recommended by Division Order R-6594 and subsequently approved by the FERC. The western boundary is defined by off trend non-commercial Pictured Cliff well attempts. The southern boundary is the Picture Cliff trend running generally northwest to southeast.

(15) Within the amended area, there are three core analysis which measured in-situ permeability of 0.014md, 0.028md and 0.007md.

(16) Within the amended area, a pressure buildup analysis on the San Juan 32-9 Unit Well No. 106 located in the SE/4 of Section 17, Township 31 North, Range 9 West, San Juan County, results in a calculated in-situ permeability of 0.007md.

(17) The typical Pictured Cliffs well in the San Juan Basin produces dry methane gas with little or no well head condensate and no water. No Pictured Cliffs well in the area is known to produce volumes of oil or condensate greater than one barrel per day.

(18) The evidence presented in the Case demonstrated that no well formerly or currently completed in the Pictured Cliffs formation within the amended proposed area exhibited permeability, gas productivity, or crude oil productivity in excess of the following parameters:

(a) average in-situ gas permeability throughout the pay section of 0.1 millidarcy; and

(b) stabilized gas production rate, without stimulation, against atmospheric pressure, of 91 MCFPD, the FERC maximum allowable production gas rate for an average formation depth of 3500 feet; and

(c) crude oil production rate of 5 barrels per day.

(19) Based on analysis of available data from existing wells within the proposed area and utilizing generally and customarily accepted petroleum engineering techniques and measurements:

(a) the estimated average in-situ gas permeability, throughout the pay section of the Pictured Cliffs formation, is expected to be 0.1 millidarcy or less; and

(b) the stabilized production rate, against atmospheric pressure, of wells completed for production in the Pictured Cliffs formation, without stimulation, is not expected to exceed 91 MCFPD, the FERC maximum allowable production rate for an average formation depth of 3500 feet; and

(c) no wells drilled into the Pictured Cliffs formation is expected to produce, without stimulation, more than 5 barrels of crude oil per day.

(20) Within the amended area the deepest fresh water aquifer that is expected to be used as a domestic or agricultural water supply is the Ojo Alamo which is found at an average depth of 1900 feet; and existing State of New Mexico and Federal regulations relating to casing and cementing of wells will assure that development of the Pictured Cliffs formation will not adversely affect the fresh water zones.

(21) The Pictured Cliffs formation within the amended area is governed by statewide rules which require 160-acres spacing for gas wells. Currently, no special rules authorizing infill drilling exist in the area.

(22) Based on evidence and testimony submitted by the applicant, the Pictured Cliffs formation within the vertical intervals described in Finding Paragraph No. (6), underlying the area described in Exhibit "B", meets the criteria set forth in the FERC Regulations in Title 18 CFR, Section 271.703 and should therefore be recommended for designation as a "tight formation".


**IT IS THEREFORE ORDERED THAT:**

(1) It be and hereby is recommended to the Federal Energy Regulatory Commission pursuant to Section 107 of the Natural Gas Policy Act of 1978 and FERC Regulations in Title 18 C.F.R. Section 271.703 that the Pictured Cliffs formation within the vertical limits described in Finding Paragraph Nos. (8), (9), and (11) of this order, underlying certain lands in San Juan County, New Mexico, as shown on Exhibit "B" attached to this order, be designated a tight formation.

(2) That jurisdiction is hereby retained for entry of such further orders as the Division may deem necessary.

DONE at Santa Fe, New Mexico, on the day and year hereinabove designated.

STATE OF NEW MEXICO  
OIL CONSERVATION DIVISION

  
WILLIAM J. LeMAY  
DIRECTOR

SEAL

**Exhibit "A"**  
**Case No. 10425**  
**Order No. R-9643**

*Original area requested by Conoco, Inc.  
for the designation of the Pictured Cliffs  
formation as a Tight Formation.*

**SAN JUAN COUNTY, NEW MEXICO**

**TOWNSHIP 30 NORTH, RANGE 9 WEST. NMPM**

Sections 1 through 6:      All

**TOWNSHIP 30 NORTH, RANGE 10 WEST. NMPM**

Sections 1 through 4:      All

**TOWNSHIP 31 NORTH, RANGE 9 WEST. NMPM**

Sections 1 through 36:      All

**TOWNSHIP 31 NORTH, RANGE 10 WEST. NMPM**

Sections 1 through 4:      All

Sections 9 through 16:      All

Sections 21 through 28:      All

Sections 33 through 36:      All

**TOWNSHIP 32 NORTH, RANGE 9 WEST. NMPM**

Sections 7 through 36:      All

**TOWNSHIP 32 NORTH, RANGE 10 WEST. NMPM**

Sections 9 through 16:      All

Sections 21 through 28:      All

Sections 33 through 36:      All

The proposed "tight formation" as described above includes portions of the Blanco Pictured Cliffs Pool. Said area comprises a total of 71,192.87 acres, more or less, and consists of the following (more or less):

Federal:	56,322.97 acres
State:	8,769.76 acres
Fee:	6,100.14 acres

**Exhibit "B"**  
**Case No. 10425**  
**Order No. R-9643**

*Amended area requested by Conoco, Inc.  
for the designation of the Pictured Cliffs  
formation as a Tight Formation.*

**SAN JUAN COUNTY, NEW MEXICO**

**TOWNSHIP 30 NORTH, RANGE 9 WEST. NMPM**

Sections 1 through 3: All  
Section 4: Lots 1 and 2, S/2 NE/4 and SE/4 (E/2  
equivalent)

**TOWNSHIP 31 NORTH, RANGE 9 WEST. NMPM**

Sections 1 through 6: All  
Sections 8 through 17: All  
Sections 21 through 27: All  
Section 28: Lots 1, 3, and 4, N/2 N/2, S/2 NE/4, SE/4 NW/4  
and N/2 SE/4 (N/2 and SE/4  
equivalent)  
Section 33: Lots 1, 2, 7 through 10, 15, and 16 (E/2  
equivalent)  
Section 34 through 36: All

**TOWNSHIP 31 NORTH, RANGE 10 WEST. NMPM**

Sections 1: All

**TOWNSHIP 32 NORTH, RANGE 9 WEST. NMPM**

Sections 7 through 36: All

**TOWNSHIP 32 NORTH, RANGE 10 WEST. NMPM**

Sections 9 through 16: All  
Sections 21 through 28: All  
Sections 33 through 36: All

The amended proposed "tight formation" as described above includes portions of the Blanco Pictured Cliffs Pool. Said area comprises a total of 48,155.07 acres, more or less, and consists of the following (more or less):

Federal:	38,089.09 acres
State:	5,766.48 acres
Fee:	4,299.50 acres

## NEW MEXICO OIL CONSERVATION DIVISION

STATE OF NEW MEXICO

CASE NO. No. 10425

IN THE MATTER OF:

The Application of Conoco, Inc.,  
for designation of a tight formation,  
San Juan County, New Mexico.

BEFORE:

MICHAEL E. STOGNER

Hearing Examiner

Bureau of Land Management Building  
435 Montano Road, Northeast  
Albuquerque, New Mexico  
December 20, 1991

REPORTED BY:

DEBBIE VESTAL  
Certified Shorthand Reporter

- NMOC

- Case 10425

- Conoco Inc. - Tank Mountain TF Area

Exhibit "B"

Order No. R-9643



## A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel

State Land Office Building

Santa Fe, New Mexico 87504

UNITED STATES DEPARTMENT OF INTERIOR  
BUREAU OF LAND MANAGEMENT  
ALBUQUERQUE DISTRICT OFFICE:

ALLEN F. BUCKINGHAM, MINERALS DIVISION  
ROBERT KENT, PETROLEUM ENGINEER  
JANE CLANCY, GEOLOGIST

FOR THE APPLICANT:

KELLAHIN, KELLAHIN & AUBREY

Post Office Box 2265

Santa Fe, New Mexico 87504-2265

BY: W. THOMAS KELLAHIN, ESQ.

## I N D E X

## Page Number

Appearances

2

## WITNESSES FOR THE APPLICANT:

1. REED H. MEEK

Examination by Mr. Kellahin 10

Examination by Examiner Stogner 53

Examination by Ms. Clancy 61

2. BEN SARGENT

Examination by Mr. Kellahin 63

Examination by Examiner Stogner 87

Examination by Mr. Stovall 95

Certificate of Reporter

108

## E X H I B I T S

## Page Marked

1		
2		
3		
4	Exhibit No. 1-A	14
5	Exhibit No. 1-B	26
6	Exhibit No. 2	28
7	Exhibit No. 3	54
8	Exhibit No. 4-A	35
9	Exhibit No. 4-B	43
10	Exhibit No. 5	50
11	Exhibit No. 6	65
12	Exhibit No. 7	69
13	Exhibit No. 8	71
14	Exhibit No. 9	73
15	Exhibit No. 10	74
16	Exhibit No. 11	76
17	Exhibit No. 12	87
18	Exhibit No. 13	79
19	Exhibit No. 14	80
20	Exhibit No. 15	84
21	Exhibit No. 16	85

1                   EXAMINER STOGNER: This hearing will  
2 come to order for a continuation of Docket No.  
3 3691. We're meeting here in Albuquerque at the  
4 BLM Office, Albuquerque District, on 435 Montano  
5 Road. Note the date, December 20th. We took a  
6 recess until 9:00 o'clock this morning from  
7 yesterday's hearing.

8                   Before we get started, I'd like to have  
9 a short introduction, and then I want to have Bob  
10 say a few words about why we've come here to  
11 Albuquerque -- this is a little out of our  
12 norm -- and why we're changed up.

13                   At the end of the table to my right,  
14 Jane Clancy, geologist with the BLM here in  
15 Albuquerque. Robert Kent, engineer here in  
16 Albuquerque with the BLM. Debbie Vestal, our  
17 court reporter. Bob Stovall. Allen Buckingham,  
18 who is the NGPA Coordinator with the BLM here in  
19 Albuquerque. And Arlene Salazar, and you're an  
20 assistant to Mr. Buckingham?

21                   MS. SALAZAR: Sure.

22                   EXAMINER STOGNER: Sorry. I didn't  
23 know your title there, Arlene.

24                   Bob, do you have a few words at this  
25 point?

1           MR. STOVALL: Well, I think you  
2 probably all know the reason we are down here is  
3 because the tight formation designation process  
4 is a joint jurisdictional BLM-state approval.  
5 The state has some authority, the BLM has some,  
6 and I guess the FERC has kind of the final stamp  
7 on it.

8           Because of that process, we've  
9 determined that it is more convenient, more  
10 effective, and hopefully more efficient for those  
11 of you who are constituents to do this jointly to  
12 get all the information on the table at one time  
13 and go through both administrative processes in a  
14 one-time situation.

15           One thing I will say as far as the  
16 ground rules in this thing, because this is more  
17 of almost an information-gathering, you certainly  
18 have to present your cases, and the attorneys are  
19 prepared to do that, but the one thing we are  
20 going to do is permit the BLM representatives,  
21 because they have their own approval process,  
22 although they are not represented by the  
23 solicitor or any counsel, we'll permit them to  
24 ask witnesses questions to clarify information  
25 which they need in order to make their

1 determination and recommendation.

2 Again the purpose of that is to get all  
3 the information out at one time and in one  
4 place. So I assume counsel has no objections to  
5 that approach for any of the parties; is that a  
6 safe assumption, Mr. Kellahin?

7 MR. KELLAHIN: Safe assumption, Mr.  
8 Stovall.

9 MR. STOVALL: Mr. Carr?

10 MR. CARR: Safe assumption.

11 MR. STOVALL: Ms. Smith, I guess you  
12 don't have any witnesses, so you're not quite as  
13 concerned.

14 MS. SMITH: That's fine.

15 MR. STOVALL: With that in mind I guess  
16 we're ready to -- any questions as far as the  
17 procedure and how we'll handle it?

18 EXAMINER STOGNER: Or any other  
19 comments? Okay. In that case we'll call our  
20 first case for today, which is Case No. 10425.

21 MR. STOVALL: Application of Conoco,  
22 Inc., for designation of a tight formation, San  
23 Juan County, New Mexico.

24 EXAMINER STOGNER: Call for  
25 appearances.

1                   MR. KELLAHIN: Mr. Examiner, I'm Tom  
2 Kellahin of the Santa Fe law firm of Kellahin,  
3 Kellahin & Aubrey appearing on behalf of Conoco,  
4 Inc., the applicant. I have three witnesses to  
5 be sworn.

6                   EXAMINER STOGNER: Any other  
7 appearances?

8                   Mr. Kellahin.

9                   MR. STOVALL: Will the three witnesses  
10 raise your right hand.

11                   (The witnesses were duly sworn.)

12                   MR. KELLAHIN: Mr. Examiner, we have  
13 exhibit packages we have prepared. Within the  
14 exhibit package are Exhibits 1-A through 16.  
15 There is a summary index page to the exhibits,  
16 and then each package contains a full set of  
17 those exhibits. I'll distribute those now, if I  
18 may.

19                   EXAMINER STOGNER: Please.

20                   MR. STOVALL: Off the record before we  
21 begin.

22                   (A discussion was held off the record.)

23                   EXAMINER STOGNER: Mr. Kellahin.

24                   MR. KELLAHIN: Thank you, Mr.

25 Examiner. The exhibit package is arranged so

1     that the geologic presentation is first. The  
2     petroleum engineering presentation is second.  
3     Mr. Reed Meek is the petroleum geologist for  
4     Conoco that has prepared, studied, and will make  
5     the geologic presentation.

6             Mr. Ben Sargent is the petroleum  
7     engineer who will talk about the reservoir  
8     engineering, his tests and conclusions concerning  
9     permeability. In addition, I have sworn Mr.  
10    Steve Kline. Mr. Kline is a landman with Conoco,  
11    Inc.

12            We have available, and I must apologize  
13    for having only one detailed set of land  
14    displays, but we have the oil and gas plats for  
15    each of the townships within the area of the  
16    application. They're here for review, and  
17    they'll detail each of the sections involved.

18            Mr. Kline has also prepared a colored  
19    summary as an index so that you could have a  
20    quick reference as to where the federal base oil  
21    and gas lease tracts are in the area as opposed  
22    to the fee tracts and the State of New Mexico  
23    tracts. I don't propose to call Mr. Kline as a  
24    witness other than to say that he has been sworn  
25    and he's available to talk about those



1 questions.

2 The application shows a request for  
3 76,800 acres. That in fact needs to be reduced  
4 because on subsequent check, it's my  
5 understanding that it is 71,134?

6 UNIDENTIFIED SPEAKER: 192.

7 MR. KELLAHIN: I'm sorry. 71,192 is  
8 within an acre of being the right number. I have  
9 passed out the exhibit package. And let me also  
10 circulate the color-coded index for the base  
11 leases so that if you have any questions about  
12 the acreage it will give you a way to see how  
13 that's organized.

14 At this time, Mr. Examiner, I'd like to  
15 call Mr. Reed Meek.

16 MR. STOVALL: This the first time we've  
17 had a hearing around poinsettias. I must say  
18 that.

19 MR. KELLAHIN: Mr. Meek spells his name  
20 R-e-e-d H. M-e-e-k.

21 REED H. MEEK

22 Having been duly sworn upon his oath, was  
23 examined and testified as follows:

24 EXAMINATION

25 BY MR. KELLAHIN:

1           Q.       Mr. Meek, for the record would you,  
2 please, state your name and occupation.

3           A.       My name is Reed Meek. I am a petroleum  
4 geologist. I work for Conoco, Incorporated, in  
5 Oklahoma City, Oklahoma.

6           Q.       On prior occasions, Mr. Meek, have you  
7 testified as a petroleum geologist before the Oil  
8 Conservation Division?

9           A.       No. This will be the first time that  
10 I've testified.

11          Q.       Summarize for us your education.

12          A.       I have a bachelor's degree in geology  
13 from Brigham Young University in Provo, Utah.

14          Q.       In what year?

15          A.       Graduated in 1980. I have a master's  
16 degree from the University of Wisconsin in  
17 Madison, Wisconsin. Finished that in 1983.

18          Q.       Subsequent to attaining your degrees,  
19 would you summarize for us your employment  
20 experience as a petroleum geologist.

21          A.       I went to work for Conoco,  
22 Incorporated, in Houston, Texas in 1984, and  
23 worked in Houston for three years. I was located  
24 in Hobbs, New Mexico, for three years subsequent  
25 to that. And have been located in Oklahoma City

1 for about the past year-and-a-half.

2 Q. Summarize for us, Mr. Meek, what your  
3 responsibilities have been with regards to  
4 reviewing, analyzing, and reaching conclusions  
5 about the petroleum geology available in the area  
6 of application for the tight formation  
7 designation that your company has applied for.

8 A. Well, for about the last three years,  
9 it's been my responsibility to study the geology  
10 of the San Juan Basin area. And I've been  
11 involved in studying both the Fruitland,  
12 Mesaverde, Pictured Cliffs, and some work in the  
13 Dakota sands.

14 And I have developed all of the  
15 displays and all of the mapping that is presented  
16 in the geologic context of this application.

17 Q. In determining an area to apply for,  
18 did you examine and review the available log  
19 information, the production information, and  
20 other geologic components by which you could  
21 accurately map and interpret the Pictured Cliffs  
22 formation within this area of application?

23 A. Yes. I've looked at the Pictured  
24 Cliffs in quite a bit of detail using data from  
25 many sources, including well logs that are

1 available from all these wells, production  
2 history data. I've read much of the published  
3 literature that regards the Pictured Cliffs  
4 formation.

5 And virtually every type of information  
6 that I know is available regarding the geological  
7 aspects of the Pictured Cliffs has been the type  
8 of data that I've been concerned with learning  
9 about and understanding.

10 Q. Have you satisfied yourself as a  
11 petroleum geologist that that data is sufficient  
12 upon which you may apply your expertise and reach  
13 certain geologic conclusions about the rock  
14 characteristics, the depositions, and other  
15 geologic conclusions about the Pictured Cliffs  
16 formation?

17 A. Yes. I believe that the data base  
18 that's available is very adequate for being able  
19 to make the determinations that we've made  
20 regarding the Pictured Cliffs. There really is a  
21 large amount of data available relative to many  
22 other types of projects or studies that I've  
23 worked, so this is not a problem in this area --  
24 is availability of data. There's a lot of data  
25 available.

1           MR. KELLAHIN: We tender Mr. Meek as an  
2 expert petroleum geologist.

3           EXAMINER STOGNER: Are there any  
4 objections or questions of this witness?

5           His credentials are accepted.

6           Q.       (BY MR. KELLAHIN) Mr. Meek, let me  
7 have you turn to the exhibit package. Let's set  
8 aside as a reference the list of exhibits in the  
9 tabulation and also if you'll set aside the  
10 written geologic description and have you unfold  
11 for me what is the first display. The plat is  
12 marked in the lower right-hand corner, it says  
13 Exhibit 1-A, if you'll unfold that.

14           Before I ask you specific questions,  
15 let's have you explain to us how to understand  
16 the display. First of all, what's the base map  
17 upon which you have identified certain specific  
18 areas?

19           A.       Well, the base map is simply a township  
20 and range grid that represents the US Geological  
21 Survey's township and range grid for the area.  
22 The map base covers most of the productive area  
23 of the San Juan Basin.

24           Q.       When we look at the display and see the  
25 dots on the display, what do those dots signify?

1           A.       Each one of the dots represents a well  
2       that has been completed in the Pictured Cliffs  
3       horizon.   There are approximately 3,000 wells  
4       that have been completed in the Pictured Cliffs  
5       throughout the San Juan Basin.

6                   And one thing to note in particular is  
7       that these wells are in a -- are oriented in a  
8       northwest trending band, and that represents the  
9       trend of the current producing area in the  
10      Pictured Cliffs.

11           Q.       We'll come back in a minute to your  
12      geologic explanation of the reason for that trend  
13      and how it was deposited and developed.   Let me  
14      have you identify what is signified the "Proposed  
15      Area."   What does that mean?

16           A.       Okay.   The proposed area includes  
17      portions of the Townships 30, 31, and 32 North,  
18      Ranges 9 and 10 West.   And that is the area that  
19      we are proposing in this application designate --  
20      or naming it the Tank Mountain Area because  
21      there's a prominent topographic feature located  
22      in about the center of that area called Tank  
23      Mountain.   And this is the area that we would  
24      like to get a tight gas designation for the  
25      Pictured Cliffs formation.

1 Q. Identify for us what are the other  
2 areas shown on the display with the dark  
3 outlines.

4 A. There are several areas. There are  
5 actually five areas in the San Juan Basin in New  
6 Mexico that have previously been designated as  
7 tight gas areas. And those are outlined with the  
8 bold outline. And these areas include New Mexico  
9 No. 25, New Mexico 11-A, 11-B, and the New  
10 Mexico-7.

11 And then another area where I've been  
12 made aware that there is a pending application,  
13 that has been titled the Cabresto Tight Gas  
14 Area.

15 Q. The identification numbers NM and then  
16 a number refers to what?

17 A. I believe that refers to the state of  
18 New Mexico's number or designation of that  
19 particular area in state records.

20 Q. Let's set that aside again for a moment  
21 and turn now to what is identified as Exhibit  
22 1-B. Identify the display for us.

23 A. This is a map that is simply an  
24 enlargement of the area surrounding our proposed  
25 Tank Mountain-Pictured Cliffs gas area. It shows

1 more detail of the area.

2 The items I would like to draw your  
3 attention to: In the southwestern portion of the  
4 area, the map is populated by a number of  
5 Pictured Cliffs producing wells. And next to  
6 each one of the gas well symbols is a number  
7 which represents the cumulative gas production  
8 for each of those wells up until January of  
9 1990.

10 I've also put some contours on the map,  
11 which represent -- which associate wells that  
12 have that have produced certain cumulative  
13 production, threshold. The contours are 250  
14 million cubic feet and 500 million cubic feet.

15 Q. You're contouring cumulative  
16 production?

17 A. That's right. And it's a very  
18 important thing to notice that when you contour  
19 the cumulative production, it demonstrates a  
20 strong northwest trend to this production, which  
21 I believe is also representative of certain  
22 conditions that existed during the deposition and  
23 formation of the Pictured Cliffs rock horizon.

24 The other things that I would like to  
25 draw your attention to is that in the



1     northwestern -- or the northeastern portion of  
2     the proposed Tank Mountain Area, there are very  
3     few producing Pictured Cliffs wells. And in fact  
4     the area essentially straddles the northeastern  
5     boundary of the field.

6             There is production in the southwestern  
7     portion of the area. Then you cross the edge of  
8     the current producing area, and then you move  
9     into an area where the Pictured Cliffs is  
10    relatively undeveloped or not producing at this  
11    time.

12            And part of the reasoning for that is  
13    that several wells have been drilled out in that  
14    portion of the area but have not encountered  
15    commercial rates of production from the Pictured  
16    Cliffs. We believe that that is mainly due to a  
17    lower permeability nature of the Pictured Cliffs  
18    horizon in that area.

19           Q.     When we're looking at Exhibit 1-B and  
20    comparing back this specific area to the basin  
21    map, Exhibit 1-A --

22           A.     Uh-huh.

23           Q.     -- describe for us geologically how  
24    they fit together.

25           A.     Referring to the map 1-A, again this

1 represents the entire extent of the Pictured  
2 Cliffs producing area in New Mexico. I want to  
3 make the point that the Pictured Cliffs sandstone  
4 is present throughout the entire mapped area;  
5 that the formation exists but it is not found to  
6 be productive beyond the limits of where the  
7 wells are located.

8 I would like to discuss the nature of  
9 the sand horizon, the Pictured Cliffs, if that  
10 would be appropriate at this time.

11 Q. Well, let's do it in reference to  
12 Exhibit 1-B so that we can see how the area of  
13 application fits into the geologic description of  
14 the Pictured Cliffs.

15 And if you'll start with giving us your  
16 geologic opinions and conclusions about the age  
17 of the rock. Let's talk about that first.

18 A. Well, the age of the Pictured Cliffs  
19 formation is well established in literature.  
20 Many people have studied and documented that all  
21 of the producing horizons in the San Juan Basin  
22 or the main producing horizons from the Dakota up  
23 through the Pictured Cliffs and Fruitland are  
24 cretaceous in age.

25 And the Pictured Cliffs itself is upper

1     cretaceous in age, and in more detail would be  
2     assigned to the Campanian period of the upper  
3     cretaceous.

4           Q.     When you as a geologist investigate the  
5     rock properties known to be associated with  
6     Pictured Cliffs production, what are you looking  
7     for? What are the components by which you would  
8     characterize a particular data as rock  
9     properties?

10          A.     Well, there are three main things that  
11     we look for when we're studying sandstones. The  
12     first -- such as the Pictured Cliffs. The first  
13     being what is the texture of the rock or, in  
14     other words, what is the grain size, the  
15     predominant grain size that composes the sand in  
16     the Pictured Cliffs.

17          Q.     If you're trying to make an  
18     interpretation as a geologist about the  
19     permeability of the Pictured Cliffs, how does the  
20     texture of the grain size help you determine what  
21     the possible permeability will be?

22          A.     Well, the coarser the grain size,  
23     generally the higher the amount of porosity in a  
24     rock and also the higher you would expect the  
25     permeability to be.

1           So in a very coarse grain sandstone,  
2 you would normally anticipate that you would have  
3 a relatively high permeability relative to a  
4 finer grain sandstone where there is much more  
5 tortuosity in the flow path that fluids have to  
6 move through the rock so that finer grain sands  
7 are generally regarded as lower permeability.

8           Q.       What is your opinion of the texture of  
9 the Pictured Cliffs rock, if you will, within the  
10 area of application?

11          A.       The Pictured Cliffs in the area of  
12 application and throughout the San Juan Basin is  
13 described as fine to very fine grain so that it  
14 is the permeability in the sandstone is low  
15 relative to many other sandstones in other areas  
16 of the country where you would find a coarser  
17 grain size. But in this area it's fine to very  
18 fine grain.

19          Q.       Would that texture of rock be  
20 consistent with an engineer who, based upon core  
21 information or pressure buildup tests, was able  
22 to determine that the permeability of the  
23 Pictured Cliffs was .1 millidarcies or less?

24                    Would that geologic opinion about the  
25 texture of the rock that you see in the Pictured

1 Cliffs be consistent with what the engineer is  
2 seeing for permeability in certain wells within  
3 this area?

4 A. Yes, it certainly would. You would  
5 expect finer grain sands to have low permeability  
6 and probably in the range of the less than .1  
7 millidarcy.

8 Q. You mentioned that there were other  
9 items of rock properties that you as a geologist  
10 considered significant in examining the Pictured  
11 Cliffs. Is the composition of the grain --

12 A. Right.

13 Q. -- is that one of the items?

14 A. Texture, composition, and then also a  
15 term we call diagenesis, which is the process of  
16 alteration that the sand goes through after it's  
17 deposited. So the second thing to discuss is the  
18 composition of the grains that make up the sand.  
19 Some sands are composed of relatively pure  
20 quartz, which is a very stable mineral and  
21 doesn't alter very much after deposition.

22 In the case of the Pictured Cliffs,  
23 many of the -- most of the sand grains are  
24 composed of rock fragments, volcanic rock  
25 fragments, which are very unstable in their

1 composition and tend to alter subsequent to their  
2 deposition and form different minerals and to  
3 break down.

4 Q. How does the composition of the grain  
5 affect permeability?

6 A. Well, during the process of diagenesis,  
7 which includes the compaction as a result of  
8 burial that the rock goes through, and then  
9 fluids moving through the rock after the  
10 deposition, tend to alter these unstable rock  
11 fragment grains and to create different -- new  
12 minerals in the rock.

13 And these minerals often fill up the  
14 matrix or the porosity that might be present at  
15 the time of deposition such that when you  
16 actually deposit a sandstone in a marine  
17 shoreline environment, similar to what we had in  
18 the Pictured Cliffs, you may have a porosity of,  
19 say, 20 to 25 percent at the time of deposition.

20 Well, as the sand is buried by other  
21 sediments on top of it and compacted and then  
22 this process of diagenesis, much of that original  
23 porosity becomes occluded, or filled up with --  
24 well, both closed by the compaction and filled up  
25 by these diagenetic minerals that form in the

1 porous base that existed at the time of  
2 deposition.

3 So as a result, generally the porosity  
4 that we find in the Pictured Cliffs today is in  
5 the range of 8 to 12 percent. The highest  
6 porosity that I've ever seen reported for the  
7 Pictured Cliffs is, I believe, 13 or 14 percent.  
8 So much of the original porosity is destroyed  
9 during this process that we call diagenesis.

10 Q. Is your reservoir description of the  
11 rock properties consistent with the low  
12 permeabilities that are characterized to be  
13 associated with the Pictured Cliffs formation?

14 A. Yes. It's very consistent with the  
15 permeabilities that we observe in the Pictured  
16 Cliffs. And we attribute the low permeability  
17 nature in large part to the fine grain nature and  
18 then the presence of all these diagenetic  
19 minerals, the clays that have filled the  
20 porosity.

21 Q. Describe for us as a geologist the  
22 depositional environment in which the Pictured  
23 Cliffs sands have been distributed on a regional  
24 basis and then on a site-specific basis as it  
25 applies to your area of application.

1           A.       Okay. The Pictured Cliffs is a marine  
2 sandstone, and it was deposited during the  
3 cretaceous. The cretaceous period was an  
4 interesting time in the geologic history of the  
5 San Juan area because there was a seaway that  
6 came through most of the central United States  
7 and across the San Juan Basin area.

8                   There was a shoreline that trended in a  
9 northwesterly direction. And during the  
10 cretaceous the sea level fluctuated several  
11 times. It moved up and down and laid down,  
12 beginning with the Dakota and moving up through  
13 the Mesaverde, which includes the Point Lookout  
14 and the Cliff House sandstones.

15                   And then finally the last regression,  
16 or moving out of the seaway, in this area  
17 resulted in the deposit of the Pictured Cliffs.  
18 And what you see is that during this regression,  
19 or moving out of the shoreline, that the sea  
20 level would drop and then stand still for a  
21 period of time and create benches of higher  
22 quality reservoir rock.

23                   And then the sea level would drop a  
24 little bit, the shoreline would move out several  
25 miles and then stabilize, and you would deposit a



1 subsequent bench of fairly high quality reservoir  
2 rock. And this happened several times.

3 When you look at the Pictured Cliffs  
4 several times on a regional basis and look at the  
5 cumulative production trends, similar to what  
6 I've contoured on the Exhibit 1-B map, you see  
7 these benches of higher quality reservoir rock  
8 being represented by higher cumulative production  
9 from wells that were in the higher quality  
10 trends.

11 Q. On a regional basis then you can  
12 determine that orientation of deposition to be  
13 northwest to southeast?

14 A. That's right. And that's an important  
15 point when we draw your attention to the measured  
16 permeabilities that we've been able to acquire  
17 that pertain to our Tank Mountain Area.

18 Q. When we look at Exhibit 1-B, have you  
19 displayed that northwest-southeast depositional  
20 trend and have identified it?

21 A. Yes. I've identified it with some  
22 lettering and some arrows. And these are -- the  
23 lettering and the arrows are written in some of  
24 the higher quality productive areas of this  
25 detailed map area.

1           Q.     As you move perpendicular to that trend  
2     in a northeast direction, what happens to the  
3     Pictured Cliffs reservoir as you move away from  
4     the trend?

5           A.     Well, what's happened is that -- I  
6     think you need to understand a little bit about  
7     the development history of the Pictured Cliffs  
8     horizon. The first Pictured Cliffs wells were  
9     drilled in the 1920s down in the Farmington  
10    area. And then throughout the 40s and 50s and up  
11    through the 1970s, the limits of the Pictured  
12    Cliffs field moved progressively to the north.

13                 And the limit that we see, the limit of  
14    the productive area that we see represented on  
15    map 1-B is representative of where, essentially,  
16    drilling stopped at the end of the 1970s.  
17    There's been very little activity in the Pictured  
18    Cliffs formation since about 1979.

19           Q.     Do you have an explanation for the lack  
20    of activity?

21           A.     Well, I believe that the operators  
22    tried several times to step out from the  
23    productive area and found that they were drilling  
24    noncommercial wells.

25                 And in general, the industry has

1 recognized that as you move further north,  
2 further to the northeast, that the permeability  
3 in the Pictured Cliffs deteriorates, so that the  
4 general view is that you have a little higher  
5 permeability to the south and as you move north,  
6 your permeability decreases so that many people  
7 feel like it's uneconomic to develop anything  
8 north of the current producing area.

9 Q. Let's turn to Exhibit 2, which is the  
10 tabulation of well data. Identify that for me,  
11 please.

12 A. All right. This is simply a list of  
13 all of the producing wells within the boundaries  
14 of our Tank Mountain, our proposed Tank Mountain  
15 tight gas area. There are 144 wells on the  
16 list.

17 And associated with each well is a  
18 legal description of the location, including the  
19 township, range, section, footage from the  
20 section line, then a well name, operator, total  
21 depth of the well, the date that the well was  
22 spud and the date that the well was completed.  
23 And then cumulative gas production and cumulative  
24 well production up until January of 1991.

25 Q. In reviewing this data, have you found

1 any well that was able to attain commercial  
2 production without being stimulated prior to that  
3 production?

4 A. No. It's customary practice to drill a  
5 Pictured Cliffs well. And to achieve commercial  
6 production, it's always required stimulation.  
7 Even back as far as the early wells that were  
8 drilled in the 1930s and 40s, these wells were  
9 stimulated in an open-hole condition with  
10 nitroglycerin fracturing techniques.

11 Our fracture techniques have become a  
12 little more sophisticated over the years so that  
13 now generally the wells are cased, perforated,  
14 and then frac'd through the perforation rather  
15 than in an open-hole situation.

16 But I'm not aware of any well in the  
17 entire San Juan Basin that produces from the  
18 Pictured Cliffs that hasn't been stimulated in  
19 some method.

20 Q. Why do the operators have to stimulate  
21 the Pictured Cliffs in order to attain  
22 production?

23 A. Because it is a low permeability.  
24 Sandstone.

25 Q. When you as a geologist are

1 assimilating data and developing maps from which  
2 to make interpretations and conclusions, one of  
3 the tools you often use is a structure map. I  
4 know you haven't presented one here, but can you  
5 describe whether or not there is a structural  
6 significance to the Pictured Cliffs, particularly  
7 as it affects the area of application?

8 A. Right. I have done structure mapping  
9 of the Pictured Cliffs. And there's relatively  
10 little structure in the area. There is a  
11 regional dip essentially to the northeast that  
12 results in about a 25-foot-per-mile dip to the  
13 horizon, which is very flat. It's essentially  
14 undetectable. It's like as flat as a tabletop.  
15 So there's really not any structural  
16 deformation. There's no faulting of any  
17 significance that affects the Pictured Cliffs  
18 horizon.

19 It's essentially a blanket of sand that  
20 covers the entire San Juan Basin and is fairly  
21 uniform in thickness and is not disrupted until  
22 you get to the very edge of the basin where it  
23 can turn abruptly upward and outcrop at the  
24 surface.

25 Q. Let's turn now, Mr. Meek, to the type

1 log, have you identify for us the location from  
2 which you've taken the type log example, and then  
3 describe for us the vertical limits of the  
4 Pictured Cliffs as they apply to your area of  
5 application.

6 A. Yes. The location of the type log is  
7 indicated on Exhibit 1-B. It's located in  
8 Township 31 North, Range 9 West, Section 17 in  
9 the northwest quarter of that section. And this  
10 is a well that's titled the San Juan 32-9 Unit  
11 No. 102 and was operated by the Amoco Production  
12 Company.

13 Q. For reference, give us the commonly  
14 utilized description of the Pictured Cliffs so  
15 that a geologist with that description would know  
16 how to pick the top and the bottom of the  
17 Pictured Cliffs formation.

18 A. Well, the Pictured Cliffs is overlain  
19 by the Fruitland formation, which contains coal  
20 deposits, sandstones, and shales. And typically  
21 the top of the Pictured Cliffs is picked at the  
22 base of the lowest coal in the Fruitland  
23 formation.

24 Although there is sometimes some  
25 transition to it in the sense that occasionally

1       there is a stray coal stringer that might appear  
2       somewhere lower in the -- down into what would be  
3       the Pictured Cliffs.

4               But it's a fairly easy correlation to  
5       make on most of the well logs that are available  
6       once one becomes familiar with that transition  
7       from the Fruitland coals into the marine  
8       sandstones below it.

9               Q.       What is your opinion of the average  
10       depth of the top of the Pictured Cliffs within  
11       the area of application?

12              A.       The average depth is about 3500 feet,  
13       but it varies quite a bit because there is a  
14       significant topographic relief in the area. But  
15       3500 feet, I believe, is a fairly accurate number  
16       to estimate an average depth for the top of the  
17       Pictured Cliffs.

18              Q.       What is the average gross thickness of  
19       the Pictured Cliffs that you're dealing with?

20              A.       The way that I define the Pictured  
21       Cliffs, it's about 100 to 150 feet, sometimes as  
22       much as 200 feet thick. But it's a very  
23       transitional boundary at the base of the Pictured  
24       Cliffs.

25                      The Pictured Cliffs overlies the unit

1     that is known as the Lewis shale, which  
2     represents the more distal marine deposits, the  
3     shales that were being deposited far away from  
4     the shoreline. And as the ocean moved out over  
5     these marine shales, then the sandstones were  
6     deposited over the top of the shales.

7             So it's what we refer to as a  
8     coarsening-upward sequence in the sense that if  
9     you're starting somewhere down in the Lewis  
10    shale, you're coming through these black marine  
11    shales, and then you might see a thin bed of  
12    sandstone appear.

13            And as you go a little bit further up,  
14    the thickness of the sandstone beds increases,  
15    the grain size might increase slightly, become a  
16    little bit coarser grain, until when you get up  
17    into the upper part of the Pictured Cliffs,  
18    you've made a transition from shale into a pure,  
19    massive, or thick-bedded sandstone beds.

20            Q.     Within that gross vertical limit of the  
21    Pictured Cliffs, where is the best production  
22    found?

23            A.     The productive interval is always found  
24    in the very upper part of the Pictured Cliffs,  
25    usually within the upper 100 feet, and probably



1 in most cases in the upper 50 to 70 feet of the  
2 Pictured Cliffs.

3 Q. When you look at the average depth of  
4 the top of the Pictured Cliffs and compare that  
5 to the maximum allowed gas producing rate on a  
6 daily basis under the Oil Conservation Division  
7 rule contained in Order R-6388, I believe the  
8 limit that corresponds to the 3500-foot interval  
9 is 91 Mcf a day; am I correct in understanding  
10 that?

11 A. Yes, I believe so.

12 Q. Do you find any of the wells within the  
13 area of review for this application that are  
14 capable of producing at that type of rate?

15 A. That's at an unstimulated rate. I'm  
16 not aware of any wells that have produced at that  
17 kind of a rate in an unstimulated condition. But  
18 most wells are not tested in an unstimulated  
19 condition, so it's a little bit hard to make that  
20 determination.

21 Q. For the wells on your list on Exhibit  
22 2, do you find any of them that will produce five  
23 barrels of oil a day or more?

24 A. No. The Pictured Cliffs produces  
25 fairly dry methane, very little liquids

1 associated with it, no water. And in no case in  
2 any of the 144 wells that are on the list is a  
3 well capable of producing more than maybe a  
4 barrel of condensate a day.

5 Q. Is there water production associated  
6 with producing the Pictured Cliffs wells in the  
7 area of application?

8 A. No, there's not.

9 Q. Let's turn to your cross-sections now,  
10 Mr. Meek, and let me ask you to look at Exhibit  
11 4-A. The Exhibit 4-A is your A-A prime  
12 cross-section that runs north-south?

13 A. That's right. On my cross-section I'm  
14 showing an index just in the lower portion of the  
15 map. It shows the outline of our proposed Tank  
16 Mountain Tight Gas Area and then the orientation  
17 of the two cross-sections, which are Exhibits 4-A  
18 and 4-B.

19 The first cross-section is A-to-A  
20 prime, and it runs from the north to the south  
21 through the area. The main things that I would  
22 like to point out on the cross-section, first of  
23 all, I've selected six wells that are spaced  
24 about -- well, about two to three miles apart.

25 These wells are very representative of

1 the typical type of log response that you see in  
2 the Pictured Cliffs. The cross-section shows the  
3 overlying Fruitland formation with a fairly thick  
4 coal seam just right on top of the Pictured  
5 Cliffs. That coal seam is represented on the  
6 logs by a high resistivity development.

7 The resistivity curve, which is on the  
8 right side of the depth track on each of the  
9 logs, as the curve moves off to the right, it  
10 represents a higher resistivity. So it's fairly  
11 easy to recognize the thick coal seam that  
12 overlies the Pictured Cliffs in this area.

13 Q. When you look at the display and see  
14 the dark black line running horizontally across  
15 the cross-section, what does that depict?

16 A. That represents the top of the Pictured  
17 Cliffs sandstone as I have interpreted it from  
18 these well logs.

19 The other thing that I would like to  
20 point out on this cross-section is that the first  
21 three wells, the northern wells are wells that  
22 produce from the Mesaverde horizon, which is a  
23 deeper horizon. They've penetrated the Pictured  
24 Cliffs but have not been completed in it.

25 And then the three wells in the

1 southern portion of the cross-section are  
2 actually producing Pictured Cliffs wells.

3 And in the depth track of these three  
4 wells I have annotated the zone that's been  
5 perforated in the well so that you can see that  
6 the producing interval in the Pictured Cliffs is  
7 found in the upper 50 to 70 feet of the  
8 formation.

9 Q. Am I correct in understanding that  
10 you're not able to take the logs and quantify  
11 specifically permeability of the reservoir from  
12 the log analysis, but you can use it as a device  
13 or a tool to give you a qualitative indication of  
14 permeability?

15 A. That's true in a sense. The gamma ray  
16 curve and the SP curve, which are represented in  
17 the -- on the left side of the depth track on  
18 each of the logs, give us an indication of the  
19 lithology, the rock type.

20 And when these curves deflect to the  
21 left, it indicates a cleaner sandstone. And as  
22 the shale content of the rock formation  
23 increases, then these curves tend to move to the  
24 right so that there is sort of a qualitative feel  
25 that you can get for the type of rock and maybe

1 whether there is possibly permeability in that  
2 particular formation at that point.

3 Q. If we have a determination of a cleaner  
4 rock property within the Pictured Cliffs as  
5 displayed by the log curve character, the cleaner  
6 the rock, what happens correspondingly to the  
7 permeability?

8 A. You would anticipate that the  
9 permeability would increase as the shale content  
10 and the rock decreases. Or the cleaner the  
11 sandstone, you would anticipate that permeability  
12 would be somewhat better.

13 Q. Let's explore that for a moment by  
14 going back and referencing Exhibit 1-B, which is  
15 our area map that gives the details of your data  
16 control points, if you will.

17 A. Uh-huh.

18 Q. And looking at the north-south  
19 cross-section, do you have a core analysis with  
20 established average permeability that is close to  
21 any of the logs shown on your A-A prime  
22 cross-section?

23 A. The well that's labeled on the  
24 cross-section San Juan 32-9 Unit No. 102 is  
25 located in Section 17. It's also indicated on

1 the map as the type log, and therefore it's  
2 located just less than a mile away from one of  
3 the wells that we do have some measured core  
4 permeability analysis on.

5 Q. We'll talk about the specifics of the  
6 core analysis later for Well 106, but it is in  
7 the same section, if you will, as the type log?

8 A. Right. It's within a mile of the type  
9 log.

10 Q. In comparing the log curve character on  
11 the 102 well, which is on the cross-section,  
12 explain to us what you see about the log curve  
13 character that would support the indication of  
14 low permeability as established by the core  
15 analysis in the 106 well.

16 A. Well, the log curve character on the  
17 106 is very similar to what we see on the 102.  
18 There is a -- one of our other exhibits, which  
19 presents the actual core analysis data on the  
20 106, there is a Xerox copy of the logs that are  
21 associated with that well. So a comparison could  
22 be made to the curves shown on the 102 here on  
23 the cross-section and in that presentation in a  
24 further exhibit.

25 But they are very similar, and in fact

1 I don't really detect any difference looking at  
2 logs to the quality of one well versus another.  
3 I expect that both wells are going to produce in  
4 a similar fashion and they have very similar rock  
5 characteristics.

6 Q. As we move south on this line of  
7 cross-section, do you see the quality of the rock  
8 improving so that you would anticipate a greater  
9 permeability as you move to the south?

10 A. Well, we're moving into a productive  
11 area. I don't really believe that the  
12 permeability is going to improve tremendously,  
13 although there probably is some improvement.

14 But I guess the point that I would like  
15 to make is that the cores that we're presenting,  
16 several of them are from wells that offset very  
17 closely some of the higher productive wells in  
18 the Pictured Cliffs.

19 If I might back up just a little, the  
20 average Pictured Cliffs well in the basin  
21 produces about 600 million cubic feet. And some  
22 of the wells produce up to as high as 4 billion  
23 cubic feet. So that would be about eight times  
24 the average. There are a few wells that have  
25 anomalously high cumulative production.

1 Q. That's on a daily-producing basis?

2 A. No. That's on a total cum.

3 Q. I'm sorry. As you move to the north on  
4 your cross-section, do you see the character and  
5 quality of the rock changing significantly so  
6 that you would anticipate the permeability would  
7 be getting better, staying the same, getting  
8 worse as you move north?

9 A. I would anticipate it's going to stay  
10 the same or decrease in quality. The decrease is  
11 mainly an inference from this, from a regional  
12 view of the basin and the idea that in general  
13 the industry regards the permeability to decrease  
14 as you move north.

15 I don't really expect that it's going  
16 to be significantly different than any of the  
17 cores that we've measured. I feel like the  
18 depositional environment that created the  
19 Pictured Cliffs is fairly uniform throughout the  
20 basin so that you wouldn't expect significant  
21 changes in the magnitude of the permeability  
22 measurements, particularly when you're looking at  
23 areas that are on trend on this northwest  
24 oriented trend.

25 Q. Let me ask you about the continuity.



1 We haven't looked at the east-west cross-section,  
2 but let me cover that with you now. When you  
3 take all the cross-sections together, plus the  
4 rest of your data, are we looking at the same  
5 continuous Pictured Cliffs reservoir within the  
6 area of application?

7 A. Yes. It's a very continuous formation.

8 Q. Is this the same common source of  
9 supply for the area in the Pictured Cliffs?

10 A. Right. The source of the sediment is  
11 the same. The marine environment that deposited  
12 it is the same and was very stable and very  
13 consistent throughout the entire time of  
14 deposition.

15 Q. You don't see any geologic indication  
16 that you're dealing with reservoirs that are  
17 somehow separated?

18 A. No. I think it's very -- quite  
19 continuous.

20 Q. No structural displacement, no faulting  
21 that would separate the reservoir from the  
22 southwest to the northeast?

23 A. No.

24 Q. Okay. Let's let's look at the  
25 east-west cross-section. That will be Exhibit

1 4-B, Mr. Meek.

2 A. All right. This cross-section is again  
3 oriented from east to west across our area. As  
4 shown on the index on the lower part of the  
5 cross-section, I've selected five wells that are  
6 again spaced approximately two to three miles  
7 apart.

8 And there is a log on this  
9 cross-section that's common with the  
10 cross-section that we just looked at. It's the  
11 El Paso San Juan 32-9 Unit No. 9 well, which is  
12 the second one from the left on this display.

13 But this cross-section is very similar  
14 to the one that we just looked at. It shows the  
15 top of the Pictured Cliffs horizon represented by  
16 the heavy line separating it from the overlying  
17 Fruitland formation.

18 The log response is very similar to  
19 what we looked at on the previous cross-section.  
20 I think the main point that this demonstrates is  
21 that the formation is continuous in an east-west  
22 direction across the entire area while the  
23 previous cross-section made the point that it's  
24 continuous in a north-south direction across the  
25 entire area.

1           Q.       When we look at the reference map 1-B,  
2       the engineering witness will discuss engineering  
3       details that are also included on this display,  
4       but as an introduction, would you go through the  
5       rest of the information and explain to us what's  
6       indicated by the yellow outlined data points that  
7       are identified on that display.

8           A.       Well, in trying to characterize the  
9       Pictured Cliffs reservoir and support the  
10      contention that the permeability is less than .1  
11      millidarcy, we did quite a bit of research to  
12      determine where we could get any core data that  
13      might be available.

14                 This type of data is not commonly  
15      acquired in the drilling of an oil and gas well,  
16      mainly because it's very expensive. It takes  
17      quite a bit of time to cut core. It's expensive  
18      in terms of rig time. And then the core analysis  
19      itself is time-consuming and expensive. And so  
20      it's rare to find cores. And we've had to do  
21      quite a bit of research in order to find what  
22      data that we have to present here.

23                 But we have located four cores which we  
24      feel are pertinent to the Tank Mountain Area.  
25      Three of them are actually located within the

1 boundaries of the area. If we began in the upper  
2 left of our area, the Ealum No. 1 is a well that  
3 was drilled by Amoco Production Company who, by  
4 the way, is an interest -- is a party that we  
5 share an interest in some of the acreage within  
6 the area. And they've been cooperative and  
7 supportive in preparing this application.

8 So we're presenting some core analysis  
9 from the Ealum well. I believe there are some  
10 greater than 40 core measurements or plugs that  
11 have been taken from that core and permeabilities  
12 that have been measured on those and represented  
13 the average of all of those calculations, those  
14 measurements as being .02 millidarcies.

15 Q. Before we leave that core information,  
16 adjacent to that core is another box that arrows  
17 to, I guess, five more wells that are shown to be  
18 noncommercial?

19 A. That's right. These are wells that  
20 were drilled and completed in the Pictured Cliffs  
21 formation. One of the exhibits that we are  
22 presenting includes scout tickets documenting the  
23 completion of these wells in the Pictured  
24 Cliffs. The wells were stimulated, but there is  
25 no production data available from these wells.

1               Several of the scout tickets indicate  
2               that the wells were drilled and abandoned  
3               following the completion, indicating that they  
4               were not commercial.

5               Q.       Moving to the south and east, then,  
6               identify for us the two additional cores within  
7               the area of application.

8               A.       All right. These are the San Juan 32-9  
9               Unit No. 108 and the 32-9 No. 106. And these are  
10              two wells that again were drilled by Amoco  
11              Production Company. They have supplied us the  
12              confidential core information that was acquired.

13              These are side-well cores, which is a  
14              little different than the type of core that was  
15              taken in the Ealum. The Ealum was a  
16              full-diameter core where they actually went in  
17              with a special drill bit and acquired a  
18              three-inch cylinder of the rock.

19              The side-well core is an instrument  
20              that's run in a well by the logging company on a  
21              cable or a wire line. And they shoot a  
22              projectile out into the side of the wellbore and  
23              retrieve a small piece of the rock formation  
24              using a little core barrel.

25              So that's the type of data that we have

1 available on those two wells is the side-well  
2 cores. And I believe there are ten measurements  
3 available on those two wells. And the average  
4 perm on the 108 was .008 millidarcies, and on the  
5 106 was .007. So both very comparable in the  
6 permeabilities that were measured.

7 Q. Were you able to confirm the  
8 permeability range with cores outside of the area  
9 of application?

10 A. Yes. One other core that's located in  
11 the southeastern portion of the Exhibit 1-B may  
12 have indicated with the yellow box is the  
13 Vandewart B-3. This is a well that was drilled  
14 by Tenneco Oil Company back in the early 70s.

15 And they acquired a full-diameter  
16 cylinder of rock or a conventional core. And  
17 we've been able to get the core analysis on  
18 that. And that indicates that the average  
19 permeability from some 75 separate plugs that  
20 were measured was .014 millidarcies.

21 I guess I want to make the point that  
22 we have core data from four wells. And from  
23 those four wells there's been well over 100  
24 different measurements taken on different pieces  
25 of rock material to determine the permeability.

1 And these are -- the average of these is well  
2 below the .1 millidarcy threshold that's required  
3 for a tight sand designation.

4 Q. When you look at the southeast corner  
5 of the area of application, just outside of that  
6 area there's a label that says "Noncommercial  
7 Wells." What have you discovered there?

8 A. There again, there are several wells  
9 that have been drilled and completed in the  
10 Pictured Cliffs and are indicated on their scout  
11 tickets as being drilled and abandoned or there  
12 is no production data available from the wells,  
13 indicating that they were noncommercial and  
14 haven't produced in paying quantities.

15 Q. Identify for us, then, the three data  
16 points in the Colorado side of the state boundary  
17 that is just outside your northern boundary of  
18 the application area.

19 A. All right. These are -- to the north  
20 of our area there is some Pictured Cliffs  
21 production in Colorado. I believe it's of a very  
22 similar nature to the producing area that we see  
23 in the New Mexico side in that these are marine  
24 sandstones deposited in a very similar  
25 depositional environment to what we see in New

1 Mexico.

2 And we have selected the three wells,  
3 the three closest wells to the Colorado border,  
4 which is also the boundary of our proposed tight  
5 gas area, and done some calculations. And I'll  
6 let our reservoir engineer discuss more the  
7 nature of those calculations.

8 But our determination from the best  
9 reservoir engineering analysis that we can make  
10 is that the permeability on these wells is of a  
11 similar nature to what we see in the core data  
12 that we have in New Mexico in that it's well  
13 below the .10 millidarcy threshold.

14 Q. Mr. Meek, have you made a literature  
15 search of published reliable treatises or papers  
16 that have been widely known within the industry  
17 and experts such as yours to confirm whether or  
18 not the general belief among geologists about the  
19 Pictured Cliffs geology would be consistent with  
20 your own conclusions?

21 A. Yes. In fact, most of my conclusions  
22 have been arrived at from a study of the  
23 literature. I have seen some of the rock and  
24 outcrop and in core samples, but most of my  
25 understanding of the Pictured Cliffs comes from



1 published sources.

2 Q. With that background of understanding  
3 then, looking at the individual logs and the data  
4 that you've assimilated for this application, do  
5 you find any information that you've examined  
6 that's inconsistent with the published literature  
7 about the geology of the Pictured Cliffs?

8 A. No. I think everything that I've  
9 presented is consistent with general -- the  
10 general body of scientific knowledge that's been  
11 published.

12 Q. Have you given us one example of that  
13 type of published literature with Exhibit No. 5?

14 A. Right. Exhibit No. 5 is a figure that  
15 I've taken from a master's thesis that was  
16 published at the University of Texas at Austin in  
17 1981 by a Mr. Cumella.

18 And the reason that I've presented this  
19 figure is to show that in published sources the  
20 Pictured Cliffs is regarded as having low  
21 permeability north and east of the current  
22 producing area.

23 The figure -- if I could just describe  
24 the figure -- it shows an outline of the San Juan  
25 Basin with the Pictured Cliffs outcrop forming a

1 roughly circular feature that straddles the New  
2 Mexico-Colorado border.

3 And then within the center of this  
4 circle is the Pictured Cliffs producing area,  
5 which is the same area that I represented on  
6 Exhibit 1-A, and this area is shaded. It shows  
7 the gas producing area where the Pictured Cliffs  
8 is productive.

9 It also -- I've drawn onto this figure  
10 an outline approximately locating our Tank  
11 Mountain proposed tight gas area, which is north  
12 and east of the current producing Pictured Cliffs  
13 field.

14 And then the annotation that was put on  
15 there by the author indicates that to the south  
16 the Pictured Cliffs has somewhat higher  
17 permeability but is water saturated. Then you  
18 move into the producing portion of the field.  
19 And then as you move to the northeast, you go  
20 into a low-permeability but gas-saturated area in  
21 the formation.

22 But the fact that there is outcrop  
23 around the entire San Juan Basin of the Pictured  
24 Cliffs is further evidence that the formation is  
25 continuous across the entire area.

1           And as one studies the outcrops that  
2 surround the basin, it becomes apparent that the  
3 depositional environment for the entire Pictured  
4 Cliffs horizon or sandstone formation was a  
5 relatively consistent shallow marine depositional  
6 setting, so that the nature of the Pictured  
7 Cliffs that you find out-cropping in Colorado is  
8 very similar to what you find down in the  
9 southern part of the basin in New Mexico.

10           Q.     Do you have an opinion, Mr. Meek, as to  
11 whether or not you can reach a conclusion that  
12 this application should be approved as a  
13 qualifying tight formation designated area?

14           A.     I believe that it should. I think that  
15 all of the evidence that I've been able to  
16 assimilate through reading literature and from  
17 studying the core analysis that we've been able  
18 to locate indicates that the Pictured Cliffs is a  
19 very tight formation.

20                   Most of the measured permeabilities are  
21 nearly in order of magnitude lower than the .1  
22 millidarcy threshold that we're required to  
23 meet. So you would have to improve permeability  
24 by ten-fold in order to surpass that threshold  
25 requirement.

1           So I feel very comfortable that  
2 throughout the San Juan Basin, and particularly  
3 in the Tank Mountain Area, that the permeability  
4 of the Pictured Cliffs is less than .1  
5 millidarcy.

6           MR. KELLAHIN: Thank you, Mr.  
7 Examiner. That concludes my examination of Mr.  
8 Meek.

9           We move the introduction of Exhibits 1  
10 through 5 at this time.

11           EXAMINER STOGNER: Are there any  
12 objections?

13           Exhibits 1 through 5 will be admitted  
14 into evidence at this time.

15           Couple of somewhat specific questions.

16                           EXAMINATION

17 BY EXAMINER STOGNER:

18           Q.     What is the origin of the natural gas  
19 in the Pictured Cliffs in this area, and how was  
20 the transgression or the -- how was the gas  
21 transmitted? How did it get there?

22           A.     The general view is that the gas that's  
23 produced from the Pictured Cliffs has an origin  
24 in the marine shales that underlie it, the Lewis  
25 shale in particular, and that this is the source

1 of the organic material that through the process  
2 of metamorphism became natural gas and migrated  
3 into the porous sandstone reservoir of the  
4 Pictured Cliffs.

5 Q. And that Lewis shale is more commonly  
6 the base of the Pictured Cliffs; is that correct?

7 A. That's right. Uh-huh.

8 Q. Now, in looking at the type log, your  
9 Exhibit No. 3, this well is presently a Pictured  
10 Cliffs producer, is it not?

11 A. Yes. This well has been completed in  
12 the Pictured Cliffs. It's a recently drilled  
13 well. It was drilled in 1989. And it's  
14 represented on the Exhibit 2 list. Let's see,  
15 yes, I'm showing that it has produced up until  
16 the beginning of 1991, 300 -- or let's see.

17 334 -- let's see -- thousand cubic  
18 units. Would that be the right units? I get  
19 confused on the units sometimes.

20 Q. I don't have it in front of me. MM.  
21 One M or two M's?

22 A. That would be Mmcf, yeah.

23 Q. Okay. My point is, this well or this  
24 cross-section -- I'm sorry. This log also  
25 appears on your cross-section; correct?

1 A. That's right.

2 Q. Your north-south?

3 A. That's right.

4 Q. I got the perforated interval, and it  
5 appeared that the perforations extend down from  
6 the -- right at the base or the base of the coal,  
7 or top of the Pictured Cliffs down to 3390. And  
8 then there's another set of perforations from  
9 about 3415 to 3440; is that correct, or 3430?

10 A. 3430. About 3415 to 3430.

11 Q. Okay.

12 A. That's right.

13 Q. Is this normally the productive  
14 interval in the Pictured Cliffs at the top of the  
15 upper portion of the Pictured Cliffs sandstone,  
16 or do we see wells perforated throughout the  
17 Pictured Cliffs interval?

18 A. In most cases the perforated interval  
19 is located in the upper 50 to 70 feet of the  
20 Pictured Cliffs, just below the Fruitland  
21 formation.

22 And the way that that productive  
23 interval is typically identified is that the  
24 resistivity logs, which is what I've represented  
25 on the type log in the right side of the depth

1 tract, would read greater than 20 ohms of  
2 resistivity.

3 And then also normally there is a  
4 porosity log that is run, which I haven't  
5 represented here. But these generally read a  
6 little greater than 10 percent porosity through  
7 the productive interval.

8 So that's the way that a company would  
9 determine which interval to complete is whether  
10 it met the 20-ohm resistivity and greater than 10  
11 percent porosity threshold.

12 Q. Now, the zone immediately above the  
13 Pictured Cliffs is the infamous Fruitland coal,  
14 is it not?

15 A. That's right. Uh-huh.

16 Q. On these upper-perforated intervals, is  
17 that gas that is produced from this area, is it  
18 the same Lewis shale origin gas, or does it have  
19 some other origin?

20 A. From the Fruitland coal?

21 Q. You probably want to extend it up to  
22 there. What is the origin of Fruitland coal gas?

23 A. Well, the gas that is in the Fruitland  
24 coal is generally regarded to be a source from  
25 the coal itself.

1                   During the process of coalification,  
2 one of the main by-products is the production of  
3 methane and other gases.

4           Q.       Okay.

5           A.       So that the gas that's associated with  
6 the coal seams has been self-source from the coal  
7 seams.

8           Q.       Now, does this gas from the coal seam,  
9 does it migrate down into the Pictured Cliffs?

10          A.       Well, there's been considerable debate  
11 as to whether the Fruitland has been a  
12 significant source to the Pictured Cliffs. And  
13 generally in composition of the gases is quite  
14 similar in the sense that they're both fairly  
15 dry, pure methane with very little liquids  
16 associated with them.

17                   Some of the studies that I've read  
18 where they try to determine that the source,  
19 whether it be marine or whether it be a coal  
20 source to produce gases, they look at particular  
21 isotopes that are found associated with the  
22 methane molecules.

23                   And generally the conclusions have been  
24 that most of the Pictured Cliffs gas is sourced  
25 by marine shales where the gas produced from the



1 coal seams is actually source from the coal  
2 seams.

3 I'm not really an expert in this type  
4 of analysis to determine the origin of produced  
5 gases, but I have read quite a bit of the  
6 literature. And some of it indicates that there  
7 is possibly some sourcing of the Pictured Cliffs  
8 from the coals, but it's a minor component.

9 Q. I guess what I'm leading up to, do we  
10 find, since most of the perforated interval is up  
11 at the top portion of the Pictured Cliffs and in  
12 some instances, like this particular type log,  
13 just right under the coal bed, do we find the  
14 permeabilities in that upper region different  
15 throughout the whole Pictured Cliffs? Is it less  
16 permeable, more permeable in this upper portion,  
17 or is it pretty homogeneous throughout?

18 A. Well, the best permeability in the  
19 Pictured Cliffs is in that upper portion that we  
20 find productive. That's where most of the core  
21 analysis that we've presented is taken from, that  
22 upper portion of the Pictured Cliffs.

23 So I think the data that we're  
24 presenting is representative of the productive  
25 interval in the Pictured Cliffs. It's not

1 representative of the lower permeability rock in  
2 the lower portion of the Pictured Cliffs simply  
3 because we would never acquire permeability data  
4 down there. We're not concerned about it since  
5 we never complete that portion of the formation.

6 Q. Now, you were giving an overall  
7 discussion about the trends, the shoreline trend  
8 in this cretaceous --

9 MR. STOVALL: Easy for you to say.

10 Q. -- the seaway that was in here in that  
11 particular time that I can't pronounce. And  
12 obviously, or it appears somewhat to me, that all  
13 of a sudden you've got a clear line what's  
14 productive here and I guess what you're trying to  
15 show, that this quality of rock is deposited in  
16 the shallow waters. And then when you get north  
17 of that or north and east of it, it's deeper,  
18 more a deeper marine sediment; correct?

19 A. In a sense that's the case, although  
20 what's happened is that the shoreline has moved  
21 out, remained stable for a period of time, formed  
22 the more productive benches, and then the sea  
23 levels dropped, the shorelines moved out a couple  
24 of miles. You develop another series of  
25 shoreline higher quality reservoirs.

1           And I think what we're seeing is that  
2   the development of the Pictured Cliffs horizon  
3   has reached the edge of one of these higher  
4   quality reservoir benches and they haven't found  
5   one beyond that.

6           It's possible that there is another  
7   bench that exists to the northwest between what  
8   is currently the New Mexico producing area and  
9   the bench that appears to be developing up into  
10  the Colorado side.

11          Q.       That's what I was leading up to.   Maybe  
12  a little more detail of this phenomenon that  
13  appears in Colorado which looks very localized.  
14  It looks more like a pod.   And then you've got  
15  that -- I'm referring to Exhibit 1-B, up on the  
16  Colorado-New Mexico state line, on the upper  
17  right-hand side of the exhibit --

18          A.       Uh-huh.

19          Q.       -- where there appears to be, what,  
20  about six or seven producing wells?

21          A.       Well, I think the reason that it looks  
22  like a pod up in Colorado is mainly because there  
23  hasn't been lateral development of that  
24  particular trend as you move northwest or  
25  southeast; that a similar bench probably exists;

1 it just hasn't been fully developed.

2 If you look at a more regional view of  
3 a productive area and do a -- and contour the  
4 cumulative production, there are trends in New  
5 Mexico that would line up in a north or a  
6 southeasterly direction with this Colorado  
7 production.

8 So that I think it's a very similar  
9 type of feature to what we're looking at in  
10 Colorado. Rather than being a pod, it really is  
11 a long, linear trend. It just hasn't been fully  
12 developed.

13 EXAMINER STOGNER: Okay. I have no  
14 other questions of Mr. Meek.

15 Are there -- Ms. Clancy.

16 MS. CLANCY: I've got a couple here.

17 EXAMINATION

18 BY MS. CLANCY:

19 Q. You've given a very detailed  
20 description of this finer reservoir deteriorating  
21 basically to the northeast. Your perm data that  
22 you've shown is in this -- is on the fringe of  
23 the production and then up in what we would  
24 consider the core area.

25 I've noticed that in your southwestern

1 area you do have a lot of production there, and  
2 that's supposed to be your higher quality  
3 reservoir. Did you do any work as far as what  
4 your permeabilities would be in this area? And  
5 why did you include this higher quality area in  
6 your tight formation designation?

7 A. Well, the reason that we've drawn the  
8 boundary that we have to our area that we're  
9 requesting for tight formation designation is  
10 based primarily on where we hold an interest in  
11 the oil and gas leases.

12 What our intent is, there are several  
13 open locations still within that producing area  
14 that has been developed that we would like to  
15 drill additional development wells in, so that  
16 it's our intention to develop some of those  
17 areas. And we would like those wells to also  
18 qualify for the tight gas designation.

19 Q. Okay. On your core analysis, I assume  
20 that this -- that you verified the average was  
21 taken from the upper zones, or was it taken from  
22 the entire PC formation?

23 A. Well, the cores are typically only  
24 taken from the upper portion, which is the  
25 productive interval. A typical core is about 30

1 feet of the rock formation.

2 Q. So that this permeability data would  
3 represent the higher permeability zones of the  
4 PC?

5 A. That's right. Uh-huh.

6 MS. CLANCY: That's all for me.

7 EXAMINER STOGNER: Mr. Kent.

8 MR. KENT: No questions.

9 EXAMINER STOGNER: Mr. Buckingham.

10 MR. BUCKINGHAM: No questions.

11 EXAMINER STOGNER: Ms. Salazar.

12 MS. SALAZAR: No.

13 EXAMINER STOGNER: Does anybody else  
14 have any questions of Mr. Meek? If not, he may  
15 be excused at this time.

16 Mr. Kellahin.

17 MR. KELLAHIN: Do you need a break,  
18 Debbie?

19 THE REPORTER: No, thank you. I'm fine.

20 MR. KELLAHIN: I'd like to call at this  
21 time Mr. Ben L. Sargent. Mr. Sargent is a  
22 petroleum engineer.

23 BEN L. SARGENT

24 Having been duly sworn upon his oath, was  
25 examined and testified as follows:

## EXAMINATION

BY MR. KELLAHIN:

Q. For the record, Mr. Sargent, please state your name and occupation.

A. My name is Ben Sargent, and I work for Conoco, Incorporated, in Oklahoma City.

Q. In what capacity are you employed, sir?

A. I work as a petroleum engineer over the San Juan Unit area.

Q. Summarize for us your educational background.

A. I graduated from Texas A & M University in 1980 with a bachelor of science degree in chemical engineering. And subsequent to that I was employed by Sun Oil Company/Works Energy for eleven years. And I've been working for Conoco, Incorporated, since that period of time.

Q. Describe in general the kinds of things that you did as a petroleum engineer in reviewing and analyzing the engineering details concerning the application of your company for a tight sand designation for this area.

A. Okay. I looked at the core analysis of the Pictured Cliffs area for these four cores that we've got presented in exhibits. Also, did

1 a detailed engineering study on the pressure  
2 buildup work that we did on the 106 well located  
3 within the tight gas area.

4 Q. After that I looked at some after-frac  
5 post-treatment work that was done on three wells  
6 on the Colorado side, just north of our Tank  
7 Mountain Area?

8 MR. KELLAHIN: Okay. Mr. Examiner, we  
9 tender Mr. Sargent as an expert petroleum  
10 engineer.

11 EXAMINER STOGNER: Are there any  
12 objections or questions?

13 Mr. Sargent is so qualified.

14 Q. (BY MR. KELLAHIN) Mr. Sargent, let me  
15 jump right in to the next exhibit and have you  
16 direct your attention to Exhibit No. 6. Does  
17 this represent your work product?

18 A. Yes, sir, it does.

19 Q. First of all, tell us the well  
20 involved. Where is it? If you'll look at  
21 Exhibit 1-B, we'll keep 1-B out as a reference  
22 map to help us all stay oriented as to where  
23 you're focusing your attention. All right.  
24 First of all, tell us the well involved in the  
25 test.



1           A.       Exhibit 6 represents a pre-treatment  
2 flow test of the San Juan Unit 32-9 No. 106  
3 well. It's located in the southeast quarter of  
4 17 of 31 North, 9 West.

5                   In 1991 the well was perforated in an  
6 unbalanced condition from the upper portion of  
7 the Pictured Cliffs, 3398 to 4420, also 3434 to  
8 3450.

9                   After shooting the well in an  
10 unbalanced condition, the well was shut in for 27  
11 days to allow the pressure to build up. The well  
12 was then flow-tested. And in a period of four  
13 hours, the well bled down to a rate of less than  
14 1 Mcf a day at an initial rate of 130 Mcf a day,  
15 representing a pre-treatment flow test of less  
16 than the 91 Mcf a day. In actuality the rate  
17 came in at less than 1 Mcf a day.

18          Q.       In looking at the pre-treatment flow  
19 test, are you satisfied as a reservoir engineer  
20 that that flow test was accurately and reliably  
21 conducted in the field?

22          A.       Yes, sir, it was.

23          Q.       Do you see any problems with the data  
24 gathered or the information compiled from that  
25 test?

1           A.       No, sir. The data was gathered in a  
2 consistent manner over the four-hour period.  
3 Every five minutes flow pressures were taken, and  
4 then the flow test was conducted through an  
5 orifice meter.

6           Q.       Is that flow test one that's relied  
7 upon by you and other engineers that practice  
8 your profession in making engineering  
9 calculations?

10          A.       Yes, it is.

11          Q.       For what purpose did you apply this  
12 test in making an analysis of the permeability in  
13 that well?

14          A.       In a normal case, if you had a higher  
15 permeability reservoir in a pre-treatment test,  
16 you would see substantially higher flow rates on  
17 a pre-treatment test. And this well essentially  
18 bled down to zero, which indicates a very low  
19 permeability reservoir.

20          Q.       When you look at page 2 that's attached  
21 to the Exhibit 6 summary, what have you shown on  
22 page 2?

23          A.       Page 2 is a documentation of the gas  
24 flow rate over time and also the casing pressure  
25 over time as the well was produced in this

1 four-hour period. As you can see, they both  
2 converged to zero.

3 The casing pressure bled down to zero,  
4 which indicates you're flowing against  
5 atmosphere, and the gas flow rate dropped  
6 essentially to less than 1 Mcf a day.

7 Q. Applying Mr. Meek's averaged maximum  
8 depth of the top of the Pictured Cliffs at 3500  
9 feet, have you found any production information  
10 that shows that prior to stimulation the flow  
11 rate of gas on a daily basis for any gas well in  
12 the area of application would exceed 91 Mcf of  
13 gas a day?

14 A. No, sir, I've not found any wells that  
15 would indicate that they would do that.

16 Q. Can you give us an estimate based upon  
17 your search of what the average unstimulated flow  
18 rate is for a Pictured Cliffs well in the area?

19 A. Once again, and Reed referred to this  
20 earlier, the typical well completion is to  
21 perforate and go ahead and stimulate the well  
22 without doing any pre-treatment stimulation.

23 As you can see, just to obtain a  
24 four-hour test here, you had to shut the well in  
25 for 30 days, and that's expensive for producers

1 to do. The permeability is such that you know  
2 you're going to have to fracture-stimulate the  
3 well.

4 And, typically speaking, producers  
5 don't go to the expense of obtaining  
6 pre-treatment tests that are going to show less  
7 than 5- or 1-Mcf-a-day flow rate.

8 Q. It's beyond dispute that the  
9 unstimulated well is simply not going to flow  
10 regardless of what the standard is that you apply  
11 to that formation?

12 A. That's right.

13 Q. Let's look at Exhibit 7. Would you  
14 identify for us on Exhibit 1-B the well that's  
15 involved in that test.

16 A. Exhibit 7 is once again discussing the  
17 pressure buildup and follow-up test on the San  
18 Juan Unit 106. And it is located in 17, 31  
19 North, 9 West.

20 Q. What is the data that you are  
21 analyzing?

22 A. Okay. We were looking at the flow test  
23 after buildup trying to calculate a relative  
24 permeability of the reservoir. And our  
25 conclusions, based on the 1-Mcf-a-day rate, was

1     that a permeability of .0035 millidarcies would  
2     give a rate of approximately 1 -- less than 1 Mcf  
3     a day.

4             A normal pressure fall-off test for a  
5     reservoir that's got higher permeabilities than  
6     this would generally produce at a longer period  
7     of time. However, due to the fact of the very  
8     low nature of permeability, we obtained rates  
9     essentially unmeasurable.

10            And, therefore, we applied an equation  
11     of the infinite-acting radial flow equation to  
12     this very tight reservoir to come up with the  
13     magnitude of permeability.

14            Q.     Describe for us -- or have you  
15     presented the radial flow calculation on the  
16     display?

17            A.     Yes, I have.

18            Q.     Describe for us the methodology  
19     utilized to make the calculation and show us what  
20     the end result of that calculation is in  
21     determining the permeability value.

22            A.     The methodology of the equation is to  
23     take the height of the reservoir that you've got  
24     perforated and then apply reservoir  
25     characteristics that are known for that rock and

1 look at the delta pressure that you are flowing  
2 against, your initial shut-in pressure and your  
3 final flowing pressure, and then from that and  
4 then applying that to this equation with a known  
5 rate that we measured, we came up with a  
6 permeability of .035 millidarcies applying that  
7 equation.

8 Q. And that is the permeability shown on  
9 Exhibit 15 for this well?

10 A. The permeability showed on the Exhibit  
11 15 for this well is actually the measured core  
12 permeability and not this calculated permeability  
13 from this equation.

14 Q. The measured core permeability for that  
15 well is what shown on this well?

16 A. It came in at .007 millidarcies.

17 Q. Okay. Let's turn to the core analysis  
18 then for this well, the 106 well, and that's  
19 summarized on Exhibit 8?

20 A. Yes, sir, it is.

21 Q. Describe for us what it shows.

22 A. Exhibit 8 is the core analysis on the  
23 San Juan 32-9 Unit 106 well and also the San Juan  
24 32-9 Unit 108 well, which is located in Section  
25 10 of 31 North, 9 West.

1           There were ten core measurements taken  
2 over these two wells and then the average  
3 permeability of these ten core measurements at in  
4 situ conditions came in at .007 millidarcies  
5 permeability.

6           Q.       Where within the Pictured Cliffs were  
7 the core plugs taken?

8           A.       Core plugs were taken over the  
9 perforated interval in the upper part of the  
10 Pictured Cliffs in the 106 well and the 108 well.

11          Q.       Based upon your review of the core  
12 reports, were the cores taken from that portion  
13 of the Pictured Cliffs in that wellbore that was  
14 the most likely portion to be productive?

15          A.       Yes, sir, they were. They were taken  
16 over a large area, top to bottom, over that  
17 Pictured Cliffs interval, which is generally the  
18 productive interval of the Pictured Cliffs.

19          Q.       So you're looking in the log on the  
20 well for the best possible place to complete the  
21 well. You've perforated at those points. You  
22 take your cores from those points. And despite  
23 your best effort, the core analysis shows a  
24 permeability on an average in situ basis of .007?

25          A.       That's correct.

1 Q. Anything else about the core report or  
2 the analysis?

3 A. No, sir.

4 Q. All right. Let's turn now to Exhibit  
5 9. First of all, find us the well.

6 A. Exhibit 9 is another core analysis of  
7 the Ealum Gas Unit B No. 1, which is located in  
8 Section 33 of Township 32 North, 10 West, located  
9 on the western side of the Tank Mountain Unit  
10 area.

11 Q. In reviewing the core information, what  
12 did you specifically review?

13 A. I reviewed the average permeability  
14 over the 44 measurements that were taken of the  
15 core.

16 Q. Again, what portion of the Pictured  
17 Cliffs was the core data derived from?

18 A. It was derived from the upper portion  
19 of the Pictured Cliffs.

20 Q. And in that well that was the portion  
21 of the Pictured Cliffs that was most likely to  
22 contribute production?

23 A. That is correct.

24 Q. What does the core analysis show for  
25 the average in situ permeability of the Pictured



1 Cliffs in that well?

2 A. This particular well came in at .028  
3 millidarcies perm over the average of the 44  
4 permeabilities taken from the core.

5 Q. As a reservoir engineer, do you find  
6 any defects in the data or the report that you've  
7 analyzed for the core of this well?

8 A. No, sir, I do not.

9 Q. Turn now to Exhibit 10. Locate for us  
10 on Exhibit 1-B the well from which this core  
11 analysis was derived.

12 A. Exhibit 10 is a core analysis of the  
13 Vandewart B No. 3, which is in Section 11 of 29  
14 North, 8 West, which is southeast of the Tank  
15 Mountain Area.

16 Q. Okay. Describe for us what the core  
17 analysis demonstrates.

18 A. Okay. This core analysis was taken  
19 over 72 measured permeabilities, and the average  
20 permeability for this came in at .014  
21 millidarcies perm for the interval cored.

22 Q. When you gathered together all the data  
23 points from all the cores that you've analyzed in  
24 the area of application, how many data core  
25 points are you dealing with?

1           But the actual 30 foot gives you a much  
2 better idea of what the average permeability at  
3 that reservoir is going to be versus just a  
4 one-point observation.

5           Q.     That wouldn't affect your judgment and  
6 is not significant data upon which to change your  
7 conclusion about the permeability within the area  
8 of concern?

9           A.     No, sir.

10          Q.     Let's go now to Exhibit 11. And would  
11 you identify that for me, please.

12          A.     Exhibit 11 is a summary of the nine  
13 commercial wells that were drilled within the  
14 northern Tank Mountain Area.

15          Q.     Again, take us back to Exhibit 1-B and  
16 orient us as to the location of the wells that  
17 are summarized on Exhibit 11.

18          A.     Okay. The seven wells that I'm  
19 referring to are located in Sections 23 of 32-10,  
20 33 of 32-10, 28 of 32-10, 39 of 32-10, 33 of  
21 32-10, 27 of 32-10, and 34 of 32-10. They are  
22 located in the northwest portion of the Tank  
23 Mountain Area.

24          Q.     Why is this information significant to  
25 you as an engineer when you're trying to reach a

1 conclusion about the average in situ permeability  
2 in the area of application?

3 A. When you look at the completion  
4 techniques that were used on these seven wells,  
5 the wells were perforated over the correct  
6 portion of the Pictured Cliffs. They were  
7 given reasonable fracture stimulation treatments  
8 over the Pictured Cliffs formation. And yet in  
9 some -- four of the cases they were dry and  
10 abandoned, and in the other three cases they were  
11 shut-in with no production reported.

12 And since the Pictured Cliffs in this  
13 area is known to be gas-saturated and contains  
14 gas, the conclusion you must arrive at is the  
15 wells do not have sufficient permeability to flow  
16 at commercial rates.

17 Q. In making your investigation for  
18 supporting your conclusions about the  
19 permeability, did you explore the available data  
20 that exists in Colorado's side of the boundary to  
21 look at the Pictured Cliffs well in that area?

22 A. Yes, sir. In trying to firm up the  
23 possibility of core or permeability data to the  
24 north, the only data I had available was normal  
25 production data from the well on a monthly basis

1 for the wells in Colorado to the north.

2 There's no known pressure buildup data  
3 on these wells, just post-fracture normal  
4 production reported to the state.

5 Q. What did you do with the available data  
6 for those wells from which to establish a method  
7 and a calculation by which you could reach a  
8 conclusion concerning the permeability for those  
9 wells?

10 A. Okay. Since the well is known to be --  
11 or the Pictured Cliffs is predominantly a tight  
12 reservoir, you can make the assumptions that just  
13 after a post-fracture treatment and you know the  
14 initial reservoir conditions that the well was  
15 drilled in, because you know the original  
16 reservoir pressure and you know the average  
17 flowing pressure that the wells have been flowing  
18 against at line pressure, you can again apply the  
19 infinite-acting radial flow equation with some  
20 corrections for the fracture treatments that were  
21 applied to the well to estimate some of the  
22 reservoir characteristics that you must apply to  
23 the questions to give a magnitude of permeability  
24 that would be exhibited by these wells.

25 Q. That's the same infinite-acting radial

1 flow equation subject to adjustment of the  
2 parameters that you applied in Exhibit 7 for the  
3 San Juan Unit Well 106?

4 A. That's correct.

5 Q. And you validated that calculation with  
6 the core permeability for the 106 well?

7 A. That's correct. The core permeability  
8 and the permeability calculated were within a  
9 magnitude of very low permeability.

10 Q. So having become comfortable that you  
11 can use this infinite-acting radial flow  
12 equation, you've taken that equation and applied  
13 it to the well information you had in Colorado  
14 for those three wells?

15 A. That's correct.

16 Q. Show us what the end result of the  
17 calculation is for each of those wells.

18 A. For each of those three wells, which is  
19 the Southern Ute 13-1, located northeast of 13;  
20 32 North, 9 West of La Plata County, Colorado,  
21 the calculated permeability based on the first  
22 month's average production rate on the state  
23 report was .069 millidarcies perm.

24 Q. Okay. And then we turn to Exhibit 13  
25 and pick up another of the Colorado wells?

1           A.       Exhibit 13 is the Southern Ute 24-2,  
2       located in the northwest of 24 of 32-9, La Plata  
3       County, Colorado. And that permeability  
4       calculation resulted in a permeability of .083  
5       millidarcies perm.

6           Q.       Okay. Then Exhibit 14.

7           A.       Exhibit 14 is the third well I looked  
8       at, which is in the southeast of Section 15 of 32  
9       North, 9 West, La Plata County. And that  
10       magnitude of permeability came in at .051  
11       millidarcies of permeability.

12          Q.       You've attached to each of those last  
13       three exhibits the supporting documentation that  
14       supports the calculation and shows how you  
15       developed the analysis of that permeability?

16          A.       Right. I attached a log analysis which  
17       I used for net height of the reservoir. I  
18       attached the scout ticket which I used for  
19       determining approximate frac link of the  
20       reservoir, or the fracture treatment, and then  
21       the equation I used to calculate the effective  
22       wellbore rate as used in the flow equation.

23          Q.       So if Mr. Stogner or Mr. Kent want to  
24       reverify the calculation, there is enough  
25       reference material here that they can

1 double-check the calculation?

2 A. That is correct.

3 Q. Let's turn now to Blackwood & Nichols  
4 Blanco, northeast Blanco unit area that was the  
5 subject of the Commission's approval of a tight  
6 sand designation, which I think is shown on  
7 Exhibit 1-B as area NM-7.

8 A. That's correct.

9 Q. Within that particular area have you  
10 reviewed the transcript and the exhibits  
11 presented by Blackwood & Nichols in their  
12 application in that case in which they identified  
13 two pressure buildups for two of their unit  
14 wells?

15 A. That is correct. I did review the  
16 testimony given by Mr. Blackwood, or the  
17 representative of Blackwood & Nichols for the  
18 application.

19 Q. And you looked at the pressure buildup,  
20 Exhibit 19 and Exhibit 20 in that transcript,  
21 that applied to two of their unit wells?

22 A. That is correct.

23 Q. What is the end result of the data  
24 tests in applying the calculation in terms of  
25 determining a permeability in each of those wells

1 in that unit?

2 A. In each case so the equation applied  
3 or the permeability derived from the pressure  
4 buildup, the permeability came in at less  
5 than .01 millidarcies permeability in both those  
6 exhibits that he presented to the case.

7 Q. As you look in your area of application  
8 and looked to the east, have you established data  
9 points outside of your boundary that are  
10 consistent with the permeability derived for your  
11 area of application?

12 A. Blackwood & Nichols is a good  
13 indication to the east that's below .01  
14 millidarcies perm. In our application our  
15 average of our four core-measured data points  
16 come in at .014 millidarcies perm, which is in  
17 the same magnitude as the Blackwood & Nichols  
18 reservoir.

19 Q. As we go to the north, then, you have  
20 validated for yourself the permeability range as  
21 you look at the Colorado wells north of your  
22 boundary?

23 A. That is correct. I looked at the  
24 magnitude of permeability with the known  
25 production data that I had to calculate



1 permeability.

2 Q. On the western boundary of your  
3 application area, you've got the core analysis,  
4 plus the seven noncommercial dry holes that were  
5 in that immediate vicinity?

6 A. That's correct.

7 Q. As we move to the southwest corner in  
8 the south portion of the application area,  
9 address Ms. Clancy's question about the data  
10 available from which you can conclude that an  
11 area of better production should also meet the  
12 criteria of the .1 millidarcy or less threshold?

13 A. If you look at the core that we  
14 obtained to the southeast, which is approximately  
15 12 miles away, that permeability came in at less  
16 than .1 millidarcies perm on the Vandewart B No.  
17 3, .014 millidarcies, so it's to the south.

18 And also if you look at the cores that  
19 we obtained within our area there on the border  
20 of the known productive trend, and they're coming  
21 in in the magnitude of .01 millidarcies  
22 permeability, so they're within a reasonable  
23 distance of the southwestern portion of the area.

24 Q. When you look specifically at the  
25 southwestern corner of your application area down

1 on Exhibit 1-B and you move southwest of your  
2 core in the 106 well, what's your opinion of the  
3 permeability down in the area where you have a  
4 greater number of Pictured Cliffs wells?

5 A. If you look at the cumulative  
6 production on these wells in this southwestern  
7 portion of the trend, their actual cumulative  
8 production is in the magnitude of 250 million,  
9 which is in some of the lower -- it's lower than  
10 the average Pictured Cliffs.

11 Once you get into the southwest corner,  
12 the average is coming in at 600 million for a  
13 typical Pictured Cliffs well, which indicates  
14 tighter than an average Pictured Cliffs well for  
15 permeability.

16 Q. Turn now to Exhibit No. 15 with me, Mr.  
17 Sargent. What have you summarized on Exhibit 15?

18 A. Exhibit 15 is a summary of all the  
19 measured and calculated reservoir permeabilities  
20 that were presented in this application, four of  
21 which are within the area that we're requesting  
22 and three of which are just outside the area.  
23 Actually, three are within the area, and then  
24 four are outside the area.

25 Q. Would you describe for me and identify

1 the analysis or approach that you've taken as a  
2 basis for the proposed boundary of the tight  
3 formation designated area in your application.

4 A. For the area for the application, I  
5 looked at the 106 and the 108 wells within  
6 approximately the center of the application, and  
7 then we took the Ealum No. 1, which was on the  
8 northwestern border of the application, and  
9 that's approximately six to six-and-a-half  
10 miles. And then our area of application is an  
11 approximate even radius around the center  
12 reference points, and our outside reference point  
13 to close in the area that we're asking for  
14 reference.

15 In addition to that, we have the  
16 Blackwood & Nichols to the east that's beyond our  
17 area that closes in to the east. And we have the  
18 Colorado measured -- calculated permeabilities to  
19 close in our northern boundaries.

20 Q. Let's address Exhibit 16 and talk about  
21 the requirements to assure that there is no  
22 potential risk to known freshwater aquifers.  
23 What have you done to determine the deepest known  
24 depth of potable freshwater in the area of the  
25 application?

1           A.       Okay. The general state and federal  
2 requirements require that casing be set below the  
3 Ojo Alamo, which is found at 1900 feet, and  
4 encased in cement above that point to adequately  
5 protect all freshwaters that are above 1900  
6 feet. And Conoco believes that compliance with  
7 these existing state regulations will adequately  
8 protect any freshwater aquifers that are found in  
9 the area.

10          Q.       Do you find in reviewing the  
11 information of existing wells that it is a common  
12 practice and procedure of your company and other  
13 companies operating in this area to set casing  
14 and cementing strengths in such a fashion that  
15 they have isolated out the aquifers from any  
16 exposure of contamination from production from  
17 the Pictured Cliffs formation?

18          A.       Yes, sir.

19          Q.       Are the methods utilized by you in  
20 demonstrating the average in situ permeability  
21 within the area of the application acceptable  
22 methods used by the oil and gas industry and  
23 engineers applying those disciplines to  
24 determining permeability?

25          A.       Yes, sir, they are.

1 MR. KELLAHIN: That concludes my  
2 examination of Mr. Sargent, Mr. Examiner.

3 We move the introduction of Exhibits 6  
4 through 16.

5 EXAMINER STOGNER: Are there any  
6 objections?

7 Exhibits 6 through 16 will be admitted  
8 into evidence at this time.

9 EXAMINATION

10 BY EXAMINER STOGNER:

11 Q. Mr. Sargent, on the Colorado wells, let  
12 me make sure I get this straight. Those wells  
13 were stimulated; correct?

14 A. Yes, sir, they were all  
15 fracture-stimulated.

16 Q. And then this data that you submitted  
17 on Exhibits 12, 13, and 14 were after the wells  
18 were stimulated to come up with a permeability  
19 measurement?

20 A. That's a post-stimulation rate that I  
21 used to apply the infinite-acting fluid equation  
22 to determine a magnitude of permeability.

23 Q. Can this equation be utilized for any  
24 of these wells out there?

25 A. The equation itself is an indication of

1 permeability, kind of a range of whether or not  
2 the permeability is high or low. The equation  
3 itself should be backed up with actual pressure  
4 buildup and core analysis if it's available.

5 If you look at the equation and you  
6 apply it to the 106 well, we came within a  
7 magnitude of similar permeabilities there,  
8 below .1, .01 millidarcies.

9 Once again, this is just a magnitude of  
10 permeability to try to estimate the actual rate  
11 that you're paying from the post-fracture  
12 stimulated case.

13 Q. Oh, I bet you can probably guess my  
14 next question. How come this calculation wasn't  
15 done to any of the wells in the southwestern  
16 portion?

17 A. I didn't feel it was necessary to apply  
18 that equation in the southwestern part of the  
19 area that we're requesting because we've got good  
20 core analysis, actual measured permeabilities  
21 within a reasonable six-mile radius when you look  
22 at the Ealum No. 1 and the 106 and 108 wells.

23 Q. Now, is that core analysis, are you  
24 saying that that's going to be representative to  
25 that southwestern corner, those core analyses

1 are?

2 A. Yes, sir, I think it would be  
3 representative of that area down there also.

4 Q. Then why are those producing down there  
5 and the No. 108 and 106 and the Ealum aren't?

6 A. In terms of -- well, the 106 and the  
7 108 we haven't even post-fracture stimulated, so  
8 we haven't determined whether or not they're  
9 going to be commercial wells or not. So that is  
10 an unknown yet.

11 Q. It looks like to me you've got a real  
12 sweet area down there but no information on it.  
13 Then you come out here to the outer fringes and  
14 get some core analyses. Are there any cores --  
15 I'm going to ask this to Mr. Meek too -- are  
16 there any core data representing the southwestern  
17 corner down there?

18 MR. MEEK: I have done extensive  
19 research to find any cores available in the  
20 entire area that I'm representing on that map  
21 1-B, and I've represented every core that's  
22 available.

23 EXAMINER STOGNER: I guess we have to  
24 go back to this kind of analysis then.

25 MR. STOVALL: Let me ask another

1 question, if I might. You have made an analysis  
2 that you did the 106 and the 108, looked at those  
3 cores, found them to be tight. Went up to the  
4 Ealum; that's six miles away; that had to be  
5 tight. Said okay, the 106 and the 108 are kind  
6 of in the middle so I'll draw a circle around  
7 it.

8           Yet it appears to me that based upon  
9 Mr. Meek's testimony that the line from the 106,  
10 108, up to the Ealum is a long trend. And that  
11 would indicate that there might be -- and I'm not  
12 a geologist, so I'm giving you your chance to  
13 refute it there -- but it would appear to me that  
14 that would be -- it would be consistent that they  
15 would be similar in their geologic makeup.

16           What basis do you have for other than  
17 saying I want to do it for going southwest and  
18 making the same conclusion, because you're going  
19 across this trend of the deposition now. So how  
20 do you -- Mr. Meek, do you want to step in on  
21 that one?

22           MR. MEEK: Yeah. I think the best  
23 estimate of permeability in the southwestern  
24 portion of our area is probably to make reference  
25 to the Vandewart B-3 well, the one that's



1 furthest to the south.

2 MR. STOVALL: Let me stop you right  
3 there. If I draw the line, I'm going to stay  
4 right on that same line right down the trend, and  
5 you haven't answered my question yet.

6 MR. MEEK: Well, the reason that I  
7 would make reference to that particular well is  
8 that it is immediately adjacent to a Pictured  
9 Cliffs well that has produced over 1 Bcf of gas,  
10 which is relative -- which is comparable to the  
11 amount of production that you see in the  
12 southwestern portion of our area.

13 So I think that the Vandewart B-3 well  
14 has sampled the Pictured Cliffs in one of the  
15 higher productivity areas comparable to the high  
16 productivity area that you see in the southwest  
17 portion of our proposed area. And, therefore, I  
18 think that that well represents the magnitude of  
19 permeability that you're going to see in the more  
20 productive areas.

21 MR. STOVALL: But yet you didn't go  
22 across trend, as you've defined it, to make any  
23 supporting calculations of any sort such as you  
24 did up in the north; is that right?

25 MR. MEEK: Well, if I was to draw the

1 trend line directly from the Vandewart well, it  
2 would cut right -- if I followed the same trend  
3 that I'm seeing in the trends to the south, it  
4 would cut right through the heart of the area  
5 that's in question.

6 I wouldn't say that it's exactly on  
7 trend with the other cores that we've represented  
8 as actually in a trend slightly to the south of  
9 there so that actually, you know, represents the  
10 trend that cuts right through the core of the  
11 area that you're asking me about.

12 MR. STOVALL: In other words, the  
13 answer to your question is no, you haven't done  
14 any analysis down the southwest corner of the  
15 area to determine if that assumption can be  
16 supported by any sort of technical analysis?  
17 Have you done an analysis or not? Just I want an  
18 answer yes or no.

19 MR. MEEK: I've looked at the  
20 cumulative production data --

21 MR. STOVALL: Okay.

22 MR. MEEK: -- which is the same. You  
23 see the same type of production profiles as is  
24 represented from the wells that he's done  
25 calculations on up in Colorado. We have looked

1 at the data. We haven't gone through the  
2 exercise of calculating the permeability with  
3 this infinite-acting radial flow equation.

4 But I have studied that area in terms  
5 of looking for any available core data, and there  
6 is none available in that area. There were never  
7 any cores taken, so there's no core analysis done  
8 that could be had by anybody.

9 Does that answer your question?

10 MR. STOVALL: I think so, yeah.

11 MS. CLANCY: If I can jump in here. Is  
12 there any reason if we were to go back or you  
13 were to go back and look at any of these wells  
14 and run a perm on this infinite-radial flow  
15 equation -- I mean, is there a problem with doing  
16 that and just eliminating this difference of  
17 opinion here on the adequacy of this data in  
18 proving this southwestern area?

19 MR. KELLAHIN: No. We'd be happy to do  
20 that. We just hadn't done it up to now and  
21 didn't recognize that you might have a different  
22 perception about the southwest quarter than we  
23 had, and we'll be happy to run through the  
24 calculation, and if you'll allow us to submit  
25 that type of analysis for wells in the southwest

1 quarter.

2 But I'd like to come back and ask Mr.  
3 Meek some other questions after we finish the  
4 panel's questions. I'm not sure that I heard his  
5 statements exactly like Mr. Stovall's statements,  
6 so I want to take the time to make sure I've  
7 understood what he said to you.

8 MR. STOVALL: Sounds fair to me.

9 MR. KELLAHIN: Mr. Examiner, we would  
10 request permission to submit post-hearing today  
11 an additional similar calculation that was  
12 applied in Colorado to wells that Mr. Sargent and  
13 Mr. Meek would select in that southwest corner to  
14 answer the questions that have been posed by the  
15 panel.

16 EXAMINER STOGNER: And I'm probably  
17 going to request that you include a few wells  
18 also, but I will let you know which ones before  
19 the end of the day here.

20 MR. KELLAHIN: We need to see if we've  
21 got the data in which to make the calculation.  
22 Perhaps not all the same data is available for  
23 these wells, and we need to find out.

24 MR. STOVALL: One thing I need to say  
25 now, and I'll just mention it now just to

1 preserve the dignity of it so it's of comparable,  
2 if you will, legal dignity of these -- to put a  
3 supporting affidavit so it becomes a sworn item  
4 if you're going to put it in the record.

5 MR. KELLAHIN: Certainly.

6 MR. STOVALL: Perhaps what we can do  
7 after you finish here, I think what we're going  
8 to recommend as the procedure is that we're going  
9 to break and we and the BLM staff will meet and  
10 see if there's any additional items and then go  
11 back on the record and make the specific -- you  
12 know, any specific requests we might have and  
13 accept any recommendations you would have for  
14 additional information.

15 EXAMINER STOGNER: I tell you what, I  
16 have no other questions of Mr. Sargent at this  
17 time.

18 Mr. Kent.

19 MR. KENT: Yes, I have a few.

20 EXAMINATION

21 BY MR. KENT:

22 Q. We'll start with the easy ones. I  
23 think it's basically lack of access to  
24 information on my part. But the well, the Ealum  
25 B No. 1, which is used in Exhibit 9, has that

1 well been renamed? I could not find a record of  
2 a well by that name, and I could not find it on  
3 your computer printout that you left with us  
4 after the meeting.

5 Do you know if that well has been  
6 renamed?

7 A. To my knowledge it hasn't. Reed  
8 might --

9 MR. MEEK: I can answer that question.  
10 There is a discrepancy in some of the public  
11 records on that well. The scout ticket that's  
12 available from the petroleum information -- is  
13 the main source we get scout ticket data from --  
14 calls that well the Com. -- Gas Com. No. 2.

15 MR. KENT: Okay.

16 MR. MEEK: It has the exact same legal  
17 location as the well where we have a well log.  
18 And the log header names the well the Ealum Gas  
19 Com. No. 1.

20 And when we contacted Amoco regarding  
21 the core to that well, they located the core in  
22 their warehouse. They hadn't done any core  
23 analysis on it. And subsequently sent that core  
24 out to be analyzed. And their reference on the  
25 core analysis sheet was to the Ealum No. 1. So

1     that's the way we've referred to it in all of our  
2     documents here.

3           Q.     (BY MR. KENT, DIRECTED TO THE WITNESS)

4                   Okay.   Also in Exhibit 13, the Southern  
5     Ute 24-2 well, again my records show that as  
6     being a Mesaverde completion.   Are my records  
7     just incomplete?   Has it been completed in the  
8     Pictured Cliffs?

9                   I'm wondering where the data in Exhibit  
10    13 came from, since my records show only a  
11    Mesaverde completion on that well.

12           A.     If you look at the scout ticket on the  
13    well, the well was supposedly tested, and I'm  
14    looking here.   And I may have made a mistake  
15    here, but I don't think so.   The perforations  
16    that we're showing for the Pictured Cliffs are  
17    from 3772 to 3820.   And the Mesaverde is 5927 to  
18    6254.

19                   So the scout ticket is showing Pictured  
20    Cliffs completion and then Mesaverde completion.  
21    And then production data from the state, which  
22    I've attached in the last sheet, shows the  
23    production data from the Pictured Cliffs as  
24    reported by the state.

25           Q.     My records were just incomplete on

1 that. On Exhibit 8, your core analysis exhibit,  
2 in the middle where the actual analysis is,  
3 there's samples, 1 through 8 and then 9 through  
4 14, for the two different wells?

5 A. That's correct.

6 Q. When I looked at the back pages that  
7 actually had the analysis there, I noticed that a  
8 couple of them were missing. When I did my cut  
9 and paste, I came up with sample 4 on the 106  
10 well was missing and samples 9 and 12 and 14 on  
11 the 108 well. Do you know what happened, why  
12 they're not included or weren't analyzed?

13 A. No, sir. I saw the same thing as far  
14 as they were missing. This data was obtained  
15 from Amoco via core lab, and I don't know why  
16 those are not included in the report.

17 MR. MEEK: If I might comment on that,  
18 it's not uncommon that when you submit a set of  
19 cores or a core to a core lab that for one reason  
20 or another, several of the cores are in such poor  
21 condition that they don't feel like they they can  
22 get a valid measurement on that particular  
23 sample.

24 I know in the case of the Ealum B No.  
25 1, maybe you didn't notice, but there are several



1 samples that were taken but there is no  
2 measurement reported with those. And that's  
3 because they were of such low permeability that  
4 in the time period that we had, which was a  
5 period of about a week-and-a-half, they weren't  
6 able to obtain complete measurements on those  
7 particular samples so they're not included in the  
8 core.

9           So I would guess that the reason that  
10 these particular samples aren't reported is one  
11 of those two reasons: that they didn't feel that  
12 the core was in good enough condition to actually  
13 get a valid measurement or that the measurements  
14 that they made because of the nature of the rock  
15 were invalid so they didn't report them.

16           But there has been -- certainly been no  
17 attempt to conceal any kind of data or anything,  
18 you know, in our documents.

19           Q.     One more question. On Exhibit 7 on  
20 your calculation, on your calculation I notice  
21 that when you did this, you used a skin factor of  
22 zero on there.

23           Did you look at using any other values  
24 or an attempt -- I was wondering because of the  
25 difference in your calculated value and your

1 measured core value since you happen to have a  
2 core on this well of, you know, it's about  
3 half -- your calculated value appears to be about  
4 half of what you measured. Did you do anything  
5 other than assuming zero damage there on the skin  
6 factor?

7 A. The well was completed in a fashion  
8 that would normally give you a zero value. The  
9 fact that it was perforated in an under-balanced  
10 condition generally removes most of your skin  
11 damage that you see from initial perforation.  
12 Therefore, that skin was assumed to be zero.

13 Once again, I want to refer to the fact  
14 that this equation just kind of gives you a  
15 magnitude of permeability. And its actual number  
16 is based on several assumptions that you're  
17 making here, such as, the flow rate of less than  
18 1 Mcf a day; the time factor, you've got your  
19 flow test of four hours when you compute your  
20 time in there.

21 The actual measured core data is going  
22 to be -- is much better and that's why we  
23 referred to that in our actual application in  
24 terms of the result that we're reporting.

25 Q. So you feel fairly comfortable with the

1 completion technique that was used will give you  
2 close to a --

3 A. Close to a zero skin.

4 MR. KENT: Okay. That's it. No more  
5 questions for me.

6 EXAMINER STOGNER: Any more questions  
7 for Mr. Sargent? Mr. Kellahin, any redirect?

8 MR. KELLAHIN: No, sir.

9 EXAMINER STOGNER: Anybody else have  
10 any further questions of this witness?

11 MR. STOVALL: Put Mr. Meek back on I  
12 believe; is that correct?

13 MR. KELLAHIN: Let's take a short  
14 break, if I might.

15 EXAMINER STOGNER: We'll take about a  
16 five-minute recess at this time.

17 (A recess was taken.)

18 EXAMINER STOGNER: Mr. Stovall, I  
19 believe you have a statement at this time.

20 MR. STOVALL: During the break, we had  
21 some discussions with the BLM and with counsel  
22 for the applicant. Let me first state to the  
23 witnesses for the applicant, Mr. Meek and Mr.  
24 Sargent, that I have been advised during the  
25 break that the -- I understand that the BLM in

1 your previous discussions expressed some real  
2 concerns about the undeveloped area which focused  
3 your intention in that area as far as developing  
4 information.

5 And given that information, I'm a  
6 little less critical of you perhaps for not  
7 having developed the information to the southwest  
8 where we have now all of a sudden expressed  
9 concern to you.

10 Having said that as sort of a form of  
11 apology to you for getting a little hard on you,  
12 let me say that what we have discussed is that in  
13 fact that is a problem, there is not a scientific  
14 basis that satisfies either the BLM or OCD with  
15 respect to the conclusions; that what you find  
16 along the trend line is applicable to what we'll  
17 call the heart of production, or the sweet spot  
18 of the proposed area.

19 What we have discussed and what Mr.  
20 Kellahin has agreed to, I think in principle  
21 although we need to define the details, is that  
22 we need some data, some analysis that says that  
23 that presumption is supported by the best  
24 information available, allow that information to  
25 be -- tests or analysis to be done post-hearing

1 and submitted, as I say, and supported by an  
2 affidavit to give it the appropriate dignity with  
3 the testimony that's on the record.

4 I think what the Examiner and the BLM  
5 have agreed is that representative wells from  
6 each of the production contour areas be  
7 analyzed. We'll let the applicant select the  
8 well within those contour areas.

9 What we recommend is that you identify  
10 the wells on which you can do the analysis to say  
11 yes, this works, no, these are the better wells  
12 to do what -- we've got the right information,  
13 they meet the criteria for analysis purposes --  
14 recommend you submit those to both agencies for  
15 this preliminary approval so you don't test wells  
16 that they would later come back and say those  
17 aren't the right wells, go test a different one,  
18 so you do all the work on things that we're going  
19 to accept as being meaningful and representative,  
20 and then do the analysis and submit the results  
21 and conclusions.

22 As I say, pick the areas within the  
23 production contours. If you don't mind, Mr.  
24 Kellahin, I'll ask your witnesses since they're  
25 the ones who are actually going to do the work,

1 do you understand what we mean by that and what  
2 we're looking for in that area?

3 MR. SARGENT: Yes, I do.

4 MR. MEEK: Yes.

5 MR. STOVALL: Okay. Good.

6 Mr. Kellahin, do you want to go into  
7 the question of leaving it open to adjust the  
8 application if you find it's not possible to  
9 submit data in a timely manner? Is that  
10 something you want to just --

11 MR. KELLAHIN: I think we'll leave that  
12 for further discussion. In the event we are  
13 unable to provide the data in the fashion that  
14 satisfies your concerns about the permeability,  
15 then we want to preserve the right to amend the  
16 application to delete acreage that may not  
17 satisfy the criteria at this time simply because  
18 we don't have enough information. But we leave  
19 that to later discussions.

20 MR. STOVALL: My recommendation to the  
21 Examiner will be that this record be left open  
22 for a period of -- how long do we need initially  
23 would you say?

24 MR. KELLAHIN: Let's say not more than  
25 15 days.

1 MR. STOVALL: To identify the wells?  
2 What about getting the data in? It's actually  
3 going to be part of the record getting the data  
4 in as well.

5 MR. KELLAHIN: It may take us longer to  
6 do that, but let's talk about not less than 15  
7 days.

8 MR. STOVALL: I was thinking more in  
9 terms of 30; is that acceptable?

10 MR. MEEK: Thirty days.

11 MR. KELLAHIN: Thirty days.

12 MR. STOVALL: Or the next hearing  
13 within approximately the 30-day time frame --

14 MR. KELLAHIN: Yes, sir.

15 MR. STOVALL: -- which, I believe,  
16 would be January 25th approximately.

17 EXAMINER STOGNER: 23rd, I believe.

18 MR. STOVALL: Okay. That's my  
19 recommendation, Mr. Examiner.

20 Mr. Buckingham, do you concur in what  
21 we've --

22 MR. BUCKINGHAM: I concur.

23 MR. STOVALL: I want to recognize that  
24 this is a different sort of beast, and we're not  
25 going to adhere to a formal procedure, and this

1 more fluid process would be better to accomplish  
2 the result for everybody. That's important.

3 EXAMINER STOGNER: In this particular  
4 area, I have one more comment. There is a thumb  
5 that sticks up just to the north and east of the  
6 word "trend" at points. I would like a  
7 representative well in there. That appears to be  
8 one of the more sweet spots.

9 I believe you can identify that, Mr.  
10 Kellahin.

11 MR. KELLAHIN: Yes, sir.

12 EXAMINER STOGNER: I would like that  
13 area included. That's the only particulars I  
14 would have.

15 MR. KELLAHIN: We'll analyze the areas  
16 of contour and submit the preliminary list of  
17 wells to do the calculations on and obtain your  
18 approval to go forward then.

19 MR. STOVALL: I think we'll give our  
20 commitment to you to respond quickly when we get  
21 that list.

22 Allen, can you do the same? When they  
23 tell you which wells they'd like to look at, you  
24 can look at it fairly quickly and say those are  
25 okay, do it, or we're missing some wells?



1 MR. BUCKINGHAM: Yes, I think we'd be  
2 able to do that.

3 EXAMINER STOGNER: Mr. Kellahin, one  
4 further thing. I believe you were going to  
5 submit me a breakdown of the number of acres in  
6 the federal, state, and private sector in this  
7 area.

8 MR. KELLAHIN: Yes, Mr. Examiner. In  
9 order to expedite the process today, we would  
10 like to waive calling Mr. Kline, the landman, and  
11 submit his verification of the acreage quantities  
12 within the area of application by affidavit.

13 EXAMINER STOGNER: That would be fine.

14 MR. KELLAHIN: That concludes our  
15 presentation today, Mr. Examiner.

16 EXAMINER STOGNER: Does anybody else  
17 have anything further in this case at this time?

18 If not, then that concludes what we're  
19 going to do on this particular case today. And  
20 the record will be left open pending the  
21 additional information. Thank you.

22 MR. KELLAHIN: Thank you very much.

23 EXAMINER STOGNER: Let's take a  
24 ten-minute recess before our next case, ENRON.

25 (The proceedings were concluded.)

## 1 CERTIFICATE OF REPORTER

2  
3 STATE OF NEW MEXICO )  
4 COUNTY OF SANTA FE ) ss.  
5

6 I, Debbie Vestal, Certified Shorthand  
7 Reporter and Notary Public, HEREBY CERTIFY that  
8 the foregoing transcript of proceedings before  
9 the Oil Conservation Division was reported by me;  
10 that I caused my notes to be transcribed under my  
11 personal supervision; and that the foregoing is a  
12 true and accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a  
14 relative or employee of any of the parties or  
15 attorneys involved in this matter and that I have  
16 no personal interest in the final disposition of  
17 this matter.

18 WITNESS MY HAND AND SEAL DECEMBER 21,  
19 1991.  
20

21  
22   
23 \_\_\_\_\_  
24 DEBBIE VESTAL, RPR  
25 NEW MEXICO CSR NO. 3

APPLICATION OF  
CONOCO INC.  
FOR DESIGNATION OF THE  
TANK MOUNTAIN AREA OF THE  
PICTURED CLIFFS SANDSTONE  
AS A TIGHT FORMATION

SAN JUAN AND RIO ARriba COUNTIES  
NEW MEXICO

BEFORE EXAMINER STOGNER

OIL CONSERVATION DIVISION

Conoco EXHIBIT NO. \_\_\_\_\_  
CASE NO. 10425

NMOCD Case No. 10425

December 20, 1991

TANK MOUNTAIN TIGHT GAS AREA

LIST OF EXHIBITS

<u>Exhibit Number</u>	<u>Exhibit Name</u>	<u>Exhibit Purpose</u>
1A	Pictured Cliffs Field Map	Show the location of the Tank Mountain tight gas area relative to area of established Pictured Cliffs production.
1B	Tank Mountain area Detail Map	Show the location, cumulative production, and permeability data from wells in and around the Tank Mountain Area.
2	Tank Mountain Tight Gas Area Wells	List Pictured Cliffs gas wells and cumulative production data in the Tank Mountain Area.
3	Type Log Amoco Prod. Co. San Juan 32-9 Unit #102 NW 17 T31N R9W	Show log character of the Pictured Cliffs Formation in the Tank Mountain Area.
4-A	North-South Cross Section	Show the continuity of the Pictured Cliffs Sandstone from north to south across the Tank Mountain area.
4-B	West-East Cross Section	Show the continuity of the Pictured Cliffs Sandstone from west to east across the Tank Mountain area.
5	Map of Pictured Cliffs gas production and permeability trends	Show that published studies regard the Pictured Cliffs to be a low permeability formation in the Tank Mountain Area.

6	Pre-treatment test of San Juan 32-9 Unit #106	Show that the Pictured Cliffs production rate before stimulation does not exceed 105 MCFD.
7	Plot of pressure buildup on San Juan 32-9 #106	Show that the average in situ permeability through the Pictured Cliffs pay section is expected to be 0.1 millidarcy or less.
8	Core analysis from the San Juan 32-9 Unit #106 & #108	Show that the average in situ permeability through the Pictured Cliffs pay section is expected to be less than 0.1 millidarcy in the center of the Tank Mountain area.
9	Core analysis from the Ealum Gas Com B #1	Show that the average in situ permeability through the Pictured Cliffs pay section is expected to be less than 0.1 millidarcy on the west side of the Tank Mountain Area
10	Core analysis from the Vandewart B #3	Show that the average in situ permeability through the Pictured Cliffs pay section is less than 0.1 millidarcy on trend to the southeast of the Tank Mountain area.
11	Scout tickets from non-commercial wells in the northern part of the Area	Show that the Pictured Cliffs did not produce at commercial rates in the undeveloped portion of the Tank Mountain area, due to low permeability.
12	Post stimulation permeability calculations on the S. Ute 13-1	Show that the permeability is less than 0.1 millidarcy immediately north of the Tank Mountain area implying that permeability is low across the entire area.
13	Post stimulation permeability calculations on the S. Ute 24-2	Show that the permeability is less than 0.1 millidarcy immediately north of the Tank Mountain area implying that permeability is low across the entire area.
14	Post stimulation permeability calculations on the S. Ute 15-4	Show that the permeability is less than 0.1 millidarcy immediately north of the Tank Mountain area implying that permeability is low across the entire area.
15	Summary sheet of all permeability measurements and calculations	Summarize all permeability data presented in this application.
16	Fresh Water Remarks	Show that Conoco believes that development drilling for the Pictured Cliffs in the Tank Mountain area will not adversely affect fresh water aquifers.

## **PICTURED CLIFFS SANDSTONE** **GEOGRAPHICAL AND GEOLOGICAL DESCRIPTION OF THE FORMATION**

### **Geographic Description**

The Tank Mountain area is located in San Juan County, New Mexico adjacent to the Colorado boarder. The area includes the following sections: T30N R9W sections 1-6; T30N R10W sections 1-6; T31N R9W all sections; T31N R10W sections 1-4, 9-16, 21-28, 33-36; T32N R9W all sections; and T32N R10W sections 9-16, 21-28, 33-36. Tank Mountain is the name of a prominent topographic feature located near the center of the area. The area includes the San Juan 32-9 Unit which is a Federal Unit operated by Meridian Oil Inc.

### **Geologic Description**

#### **Location**

The Tank Mountain Area is located in the north central San Juan Basin, a major gas and oil producing region which covers over 6000 square miles in Northwest New Mexico and Southwest Colorado. Hydrocarbon production in San Juan Basin is primarily from four Cretaceous age formations including the Dakota, Mesaverde and Pictured Cliffs Sandstones, and coal seams in the Fruitland Formation. The Tank Mountain area includes several hundred wells which produce gas primarily from either the Mesaverde, Fruitland, or Pictured Cliffs horizons.

#### **Stratigraphic and Structural Description**

In the Tank Mountain Area the top of the Pictured Cliffs Sandstone is found at an average measured depth (depending on topography) of 3,500 feet (3,160 feet above sea level). The average thickness is 150 feet. Structural dip is negligible at less than 25 feet per mile. The geologic age of the Pictured Cliffs is Campanian (Upper Cretaceous). It is the youngest in a series of Upper Cretaceous marine sandstone deposits found in the San Juan Basin. The Pictured Cliffs was deposited in marginal marine (shoreface) environments and can be described as a coarsening upward sequence. A gradual transition from the underlying Lewis Shale begins with 30-60 feet of thin beds of very fine sandstone interbedded with gray marine shale. The beds gradually become thicker and coarser grained and the upper part of the Pictured Cliffs is characterized by 40-100 feet of medium to thick bedded, fine grained sandstones interbedded with siltstones and shales. Common sedimentary structures found in the thick sandstone beds in the upper part include cross-bedding and burrows characteristic of the marine environment.

The Pictured Cliffs is overlain by the Fruitland Formation which is composed of coal seams, silty shales and sandstones of terrestrial origin. The top of the Pictured Cliffs is generally defined as the base of the first coal seam or shale in the Fruitland Formation. The contact between the Pictured Cliffs and Fruitland however is somewhat transitional. Thin coal seams occasionally appear below the thick bedded marine sandstones and marine sandstones occasionally interfinger above the thick coal seams of the basal Fruitland.

#### **Texture and Composition**

The texture or grain size of the Pictured Cliffs Sandstone is best described as fine to very fine grained. The average composition of framework grain types is 50% rock fragments, 40% quartz, and 10% feldspar. The sand composition is classified as a litharenite or feldspathic litharenite. The sandstone also contains significant amounts of diagenetic minerals which have formed in the intergranular pore spaces. The formation of these minerals following the deposition of the sandstone has contributed greatly to the low permeability nature of the rock. These minerals

include clays such as illite-smectite, dolomite, siderite, calcite, quartz overgrowths, and minor amounts of kaolinite. The existing porosity in the Pictured Cliffs is largely the result of dissolution of unstable framework grains. Most of the original porosity present at the time of deposition has been destroyed by compaction and the formation of diagenetic minerals in the intergranular spaces.

#### Gas Production and Reservoir Characterization

The Tank Mountain Area includes 133 wells which produce from the Pictured Cliffs, all of these are located in the southwestern third of the area. The northern portion of the area does not currently produce from the Pictured Cliffs but completions have been attempted on only a limited number of wells. The Pictured Cliffs throughout the area is considered a low permeability reservoir and all wells require fracture stimulation to achieve commercial rates of production.

There is a strong northwest oriented trend to the Pictured Cliffs Production. This trend is illustrated in Exhibit 1B by contouring the cumulative production from existing Pictured Cliffs wells. There are several "benches" of higher productivity separated by areas of lower productivity. The northwest orientation to these trends was created at the time of deposition when the shore line of the Cretaceous Seaway crossed this area in a northwest direction. Each bench represents a sea level stillstand as the sea regressed out of the area in a stepwise fashion. The best quality reservoir rock was deposited in the shallow water near the shoreline. The production in the southwestern portion of the proposed tight gas area is from one of the higher productive trends. The undeveloped area to the northeast of this trend is expected to be a lower productivity area. Several non-commercial wells have been drilled north of the current producing area and are indicated by the dry hole symbols on Exhibit 1B


The most common type of data available in the Tank Mountain Area for studying the Pictured Cliffs is from induction resistivity, electric, gamma-ray, spontaneous potential and density well logs which are run on most wells. The productive zone in the Pictured Cliffs is typically found in the upper 150 feet and may range from 0 to 70 feet in net thickness. It is typically identified on logs by density porosity greater than 8% and resistivity greater than 20 ohm meters. Average porosity of this productive zone is 12-14%. Saturation calculations indicate gas to be present in the formation along with average water saturations of 50%. The typical Pictured Cliffs well produces dry methane gas with little or no well head condensate and no water. No Pictured Cliffs well in the area is known to produce volumes of oil or condensate greater than one barrel per day.

#### Permeability Measurements and Engineering Calculations

Permeability in the Pictured Cliffs is considered to be tight (less than 0.1 millidarcy). Permeability measurements however are available on a limited number of wells due to the high cost of obtaining cores and the knowledge that all wells will require stimulation to produce. The low permeability nature of the Pictured Cliffs in the Tank Mountain Area is established with core data from four (4) wells, a pre-stimulation pressure buildup and flow test on one well, and a non-commercial well all located within or on trend with the area. Permeability calculations were made on the three closest Pictured Cliffs wells north of the area in La Plata County, Colorado to demonstrate that the permeability is less than 0.1 millidarcies. The average permeability calculation for these wells is 0.068 millidarcies. The location of the data is presented on Exhibit 1B and the data are presented in Exhibits 12-14. All available core data within the area is presented. This core data includes 126 measurements on cores from four wells. The average measured permeability is 0.016 millidarcies for the 126 core measurements.

Calculations of reservoir permeability were made on three wells between one and three miles north of the Tank Mountain Area. To estimate a reservoir permeability from a new well where several reservoir characteristics are known the normal Darcy equation is not applicable. The well has not reached pseudosteady state and is still producing in a transient condition. During the transient period, the transient equation is recommended to predict the inflow performance for a well. The pressure behavior of a reservoir during the transient period is essentially the same as that of an infinite acting reservoir. The transient equation used is the infinite acting radial flow equation that is presented in Exhibits 12 through 14.





# PROPOSED PICTURED CLIFFS FM TIGHT SANDS AREA

(FROM U.S.G.S. BASE MAP PREPARED FOR B.L.M., SANTA FE, NEW MEXICO,  
ENTITLED - STATE OF NEW MEXICO LAND STATUS MAP 1990)

## LEGEND

- PUBLIC LANDS
- STATE LANDS
- PRIVATE LANDS

BEFORE EXAMINER STOGNER	
OIL CONSERVATION DIVISION	
<b>CONOCO</b>	EXHIBIT NO. _____
CASE NO.	<b>10425</b>