

NEW MEXICO OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
STATE OF NEW MEXICO
CASE NO. 10476

IN THE MATTER OF:

The Application of Yates Petroleum Corporation for amendment of Division Order No. R-2178, as amended, to include a carbon dioxide injection pilot project, two unorthodox injection well locations, and to rescind Division Order No. R-7821, Eddy County, New Mexico.

BEFORE:

MICHAEL E. STOGNER

Hearing Examiner

State Land Office Building

May 14, 1992

REPORTED BY:

DEBBIE VESTAL
Certified Shorthand Reporter
for the State of New Mexico

ORIGINAL

[illegible]

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel

State Land Office Building

Santa Fe, New Mexico 87504

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.

Post Office Box 2208

Santa Fe, New Mexico 87504-2208

BY: WILLIAM F. CARR, ESQ.

I N D E X

Page Number

Appearances 2

WITNESSES FOR THE APPLICANT:

1. ROBERT STEPHEN FANT
Examination by Mr. Carr 4
Examination by Examiner Stogner 25
Examination by Mr. Stovall 40
Further Ex. by Examiner Stogner 41

Certificate of Reporter 45

E X H I B I T S

Page Identified

Exhibit No. 1 8
Exhibit No. 2 22
Exhibit No. 3 21

1 EXAMINER STOGNER: Call the next case,
2 second one on the docket, first page, 10476.

3 MR. STOVALL: Application of Yates
4 Petroleum Corporation for amendment of Division
5 Order R-2178, as amended.

6 EXAMINER STOGNER: Call for
7 appearances.

8 MR. CARR: May it please the Examiner,
9 my name is William F. Carr with the Santa Fe law
10 firm, Campbell, Carr, Berge & Sheridan. I
11 represent Yates Petroleum Corporation, and I have
12 one witness.

13 EXAMINER STOGNER: Any other
14 appearances? Will the witness, please, stand to
15 be sworn.

16 **ROBERT STEPHEN FANT**

17 Having been duly sworn upon his oath, was
18 examined and testified as follows:

19 EXAMINATION

20 BY MR. CARR:

21 Q. Will you state your name for the
22 record, please?

23 A. Robert Stephen Fant.

24 Q. Where do you reside?

25 A. I reside in Artesia, New Mexico.

1 Q. By whom are you employed and in what
2 capacity?

3 A. I'm employed by Yates Petroleum
4 Corporation as a petroleum engineer.

5 Q. Have you previously testified before
6 the New Mexico Oil Conservation Commission?

7 A. No, I have not.

8 Q. Would you briefly summarize your
9 educational background and review your work
10 experience for Mr. Stogner?

11 A. Okay. I graduated from Texas Tech
12 University with a bachelor of science in
13 petroleum engineering in 1984. Upon graduating I
14 entered the employment of Arco Oil & Gas Company
15 in Midland, Texas. I served in the reservoir and
16 operations engineering group.

17 I had areas of responsibility in
18 southeast Lea County, New Mexico, followed by an
19 area of responsibility in southwest Kansas. And
20 my final two years with Arco I served -- I was
21 the operations reservoir engineer for a CO₂
22 enhanced oil recovery project in southern
23 Oklahoma.

24 Q. Have you previously testified before
25 regulatory agencies in other states?

1 A. Yes, sir.

2 Q. And what states have you been qualified
3 in?

4 A. Both Texas and Kansas.

5 Q. Are you familiar with Yates' efforts to
6 implement and enhance recovery project for CO₂
7 injection in the west Loco Hills Grayburg No. 4
8 Sand Unit?

9 A. Yes, sir.

10 Q. Is this your primary responsibility
11 with Yates?

12 A. Yes. That was my primary
13 responsibility upon being hired.

14 Q. And so you were actually hired by Yates
15 to implement this and other CO₂ projects?

16 A. Yes, sir.

17 Q. Are you familiar with the application
18 filed in this case and the wells that are
19 involved in this matter?

20 A. Yes, sir.

21 MR. CARR: We tender Mr. Fant as an
22 expert witness in petroleum engineering.

23 EXAMINER STOGNER: Mr. Fant is so
24 qualified.

25 Q. (BY MR. CARR) Would you briefly state

1 what Yates seeks with this application?

2 A. We are seeking the authority to
3 implement a CO₂ enhanced oil recovery pilot
4 project in a portion of the West Loco Hills
5 Grayburg No. 4 Sand Unit.

6 Q. Will you be doing this through wells at
7 standard or unorthodox locations?

8 A. The wells we seek to drill, two
9 injection wells, will be at unorthodox locations
10 in Section 7, Township 18 South, Range 30 East.
11 Well No. 9 we propose at 1980 feet from the north
12 line and 40 feet from the west line. That's Unit
13 E. And Well No. 10, which is 2455 feet from the
14 south line and 50 feet from the west line, and
15 that is Unit L. We also seek the rescission of
16 Order No. R-7821 from February of 1985.

17 Q. And that order previously authorized a
18 pilot project in this area?

19 A. Yes, sir.

20 Q. Why are these wells at unorthodox
21 locations?

22 A. The wells are at unorthodox locations
23 to fill out the patterns that we seek to inject
24 into, the injection patterns.

25 Q. Are they also moved to get off a county

1 road?

2 A. They were also moved from their
3 originally proposed locations because of
4 conflicts on the surface with the county road and
5 power lines.

6 Q. Now, Mr. Fant, Yates is not seeking
7 certification in this case of this project under
8 the New Mexico Enhanced Oil Recovery Act, are
9 they?

10 A. No, sir.

11 Q. Let's just initially identify what has
12 been marked as Yates Petroleum Corporation
13 Exhibit No. 1.

14 A. That is the C108 application in this
15 matter.

16 Q. By way of background, could you advise
17 Mr. Stogner as to when the West Loco Hills
18 Grayburg No. 4 Sand Unit was approved?

19 A. It was originally approved in 1958. I
20 believe that would be October of 1958 on
21 application of NuMont Oil Company for a pilot
22 waterflood. That's Exhibit 1, page 8.

23 Q. And that was Order No. R-1267?

24 A. Yes, sir.

25 Q. When was this project actually expanded

1 and the waterflood approved?

2 A. The waterflood was expanded by order of
3 2178 in January of 62. That's Exhibit 1, page 9.

4 Q. What we're doing today is seeking to
5 amend that order to include carbon dioxide
6 injection?

7 A. Yes, sir.

8 Q. When did waterflood operations commence
9 in this unit?

10 A. Waterflood operations commenced in July
11 of 1963. Primary recovery for the unit was
12 approximately 9 million barrels of oil.
13 Waterflood recovery, ultimate waterflood recovery
14 is expected to be an additional 14 million
15 barrels, for total recovery of 21 million
16 barrels.

17 Q. Where are you in the life of this
18 waterflood project? Have you recovered virtually
19 all the 14 million barrels at this time?

20 A. Yes, sir.

21 Q. What is the current production status
22 from this waterflood?

23 A. Currently we're producing approximately
24 130 barrels of oil per day.

25 Q. Could you refer to page 10 in Exhibit

1 No. 1, the plat. And by referring to this,
2 review the proposed project for Mr. Stogner.

3 A. Page 10.

4 Q. Would you go ahead, please.

5 A. Page 10 of Exhibit 1 is a plat showing
6 the essentially two areas of review and the
7 proposed pilot project. In the center we have
8 two injection patterns indicating the wells that
9 comprise the pattern with triangles for the
10 proposed injection well locations; an inner
11 circle of one-half mile radius showing the area
12 of review for the project; and a two-mile radius
13 also for the project.

14 Q. Now, what we have is two inverted
15 five-spot injection patterns; correct?

16 A. Yes, sir.

17 Q. The southernmost pattern encompasses
18 how many acres?

19 A. Twenty-two-and-one-half acres.

20 Q. North of that how many acres are
21 involved?

22 A. The northern pattern encompasses ten
23 acres.

24 Q. On the western side of the pilot
25 project, there is a spot where there is no well

1 indicated. What is the reason for that?

2 A. We propose to drill that location as a
3 producer when we see CO₂ breakthrough in any of
4 the wells in the patterns.

5 Q. Could you summarize Yates' efforts to
6 implement a CO₂ project in this area?

7 A. Briefly in 19 -- in the period of 1971
8 to 1974, the CO₂ project was originally
9 considered. There were no sources of CO₂ at that
10 time, and a micellar pilot project was proposed.
11 In January of 1981 Yates proposed a CO₂ project
12 within the unit.

13 In April of 1984 the working interest
14 owners of the unit were balloted and approved a
15 CO₂ pilot project. In February of 1985 the OCD
16 approved a pilot project. That was Order No.
17 R-7821. In October of 1985 Yates reduced the
18 size of the pilot project down to one pattern.

19 In December of 1985 Yates began work
20 for that pilot project. In April of 1986 work on
21 that pilot project terminated due to economic
22 considerations.

23 Q. How does the project, which is under
24 consideration here today, compare to the project
25 that the Division reviewed and approved in 1985?

1 A. There are several differences. To
2 begin with the injection wells have had to have
3 been moved from their original locations for
4 surface considerations. As a result of that
5 movement, the wells have changed not only just
6 physical location, but sections: township and
7 range and well name.

8 As a result of moving those, the area
9 of review has shifted encompassing different
10 wells that are within the area of review that
11 have to be considered. The original order, or
12 the R-7821 Order, was for two 22-1/2 acre
13 inverted five-spot patterns.

14 What we propose in this application is
15 a 22-1/2-acre inverted five-spot and a ten-acre
16 inverted five-spot. We propose a ten-acre. It
17 will allow us to receive data much quicker,
18 obtain more data in a short period of time, and
19 proceed with the project at a more rapid pace.

20 Q. Now, in addition to this, could you
21 review for Mr. Stogner the changes that you have
22 made in the basic operations of the project?

23 A. After reviewing the original proposal,
24 I realized that, you know, in my experience that
25 it would not work under the original proposal.

1 So many changes have been implemented within the
2 actual operational aspects of the flood.

3 The original or the 1984 or 1985
4 approved order showed -- was approved for
5 injection of CO₂ for a day and then water for one
6 day. Now, operationally for me that will not
7 work. I propose to inject CO₂ for two months
8 followed by water for one month.

9 Furthermore, the injection rates, the
10 approved injection rate was 40 tons of CO₂ per
11 day. I believe we should seek 60 tons per day of
12 CO₂ average rate. The water rates were 200
13 barrels a day. I propose 400 barrels per day in
14 this one.

15 The injection pressures sought in the
16 original order were 1200 PSI. I feel that we
17 will more likely see, and from an engineering
18 standpoint, we need up to 2,000 PSI upon proof
19 that it will not damage the formation.

20 Q. Now, Mr. Fant, when you compare the
21 C108 that was filed back in 1984 with the
22 Division concerning a pilot CO₂ project within
23 this unit and you compare that to the one that's
24 before the Division today, in your opinion are we
25 talking about the same project or a different

1 project?

2 A. No, sir. I feel we are talking about
3 different projects. They are dramatically
4 different in their operational aspects.

5 Q. It is more than just having to move the
6 wells, the injection wells to a new location?

7 A. Yes, sir, much more.

8 Q. In fact, the overall approach and the
9 project which you're proposing here today differs
10 from what was previously approved not only in
11 volumes and pressures but in the overall approach
12 to the project in terms of the way you are going
13 to be cycling the injection of CO₂ and water?

14 A. Yes, sir. It's dramatically different.

15 Q. Why is Yates now trying to implement a
16 CO₂ project into the unit?

17 A. With the tax incentives that have
18 become available under the Enhanced Oil Recovery
19 Act, the economics of the project have improved.
20 Furthermore, we are well into the life of the
21 waterflood project, and I feel we need to do
22 something with the wells.

23 Now, this is becoming almost
24 essentially a point of we need to do something
25 with the wells or we will never be able to do

1 anything with the project.

2 Q. There is a time when it's most
3 efficient to implement a CO₂ flood in the life of
4 a reservoir; is that not correct?

5 A. That is correct.

6 Q. If you go much beyond this point in
7 time, are you sort of missing that window within
8 which it can be effectively implemented?

9 A. Yes, sir. We would be missing that.

10 Q. What recoveries are you projecting for
11 this particular pilot project?

12 A. The projections are approximately
13 65,000 barrels of oil for the pilot project over
14 three years.

15 Q. And then if this pilot project is
16 successful, what are Yates' plans in terms of
17 expanding the project and anticipated recovery?

18 A. We are projecting a five-stage
19 expansion of the pilot project throughout the
20 Loco Hills, West Loco Hills Unit. We hope to
21 recover approximately 14 million barrels of oil
22 over the next 25 years.

23 Q. In your opinion if the CO₂ flood is not
24 implemented in this unit, will these 14 million
25 barrels ultimately be lost and never recovered?

1 A. They will be lost and not recovered.

2 Q. Now, what happens if the pilot project
3 fails? What are you looking at in that
4 circumstance?

5 A. We would be facing an approximate
6 104-well plugging program at a cost of around \$4
7 million.

8 Q. All right. Let's go now to page 10,
9 Exhibit 1, the plat. And you have previously
10 indicated that is an orientation plat that shows
11 the proposed pilot project?

12 A. Yes, sir.

13 Q. It shows the two-mile radius and also
14 the one-half-mile radius showing the area of
15 review?

16 A. Yes, sir.

17 Q. Shows the leasehold ownership in the
18 area?

19 A. Yes, sir.

20 Q. Other than the Yates group, is Enron
21 the leasehold operator within the area of review?

22 A. Yes, sir.

23 Q. Let's go now to pages 11 through 16 of
24 Exhibit No. 1. Could you identify those for Mr.
25 Stogner?

1 A. Okay. Pages 11 through 16 are a
2 well-by-well tabulation of the well type,
3 construction, date drilled, location, depth, and
4 record of completion of each and every well
5 within the one-half-mile area of review for this
6 project.

7 Q. So this is the tabular information
8 required by form C108?

9 A. Yes, sir.

10 Q. All right. Let's go now to pages 17
11 through 20. Would you identify those?

12 A. Pages 17 through 20 are the schematic
13 drawings of all plugged and abandoned wells
14 within the one-half-mile area of review as
15 requested by the C108 application. It shows the
16 schematic of plugging at the time that they were
17 plugged.

18 Q. And there are only four plugged and
19 abandoned wells in the area?

20 A. Yes, sir.

21 Q. In your opinion, having reviewed the
22 plugging information, are the wells adequately
23 plugged so as to avoid their becoming channeled
24 for the migration of fluids from the injection
25 interval?

1 A. Yes. Based upon this data, yes.

2 Q. Okay. Let's go now to page 7 of this
3 exhibit and move back to that. Could you
4 identify and review that for the Examiner?

5 A. Page 7 is a schematic drawing of our
6 proposed injection well completions. I would
7 like to make one proposed -- two proposed
8 amendments to this. We had originally planned
9 for 9-5/8-inch surface casing and 7-inch
10 production casing in these wells.

11 Since that time, upon my review, I have
12 proposed 8-5/8 inch surface casing and 5-1/2 inch
13 production casing. It is my opinion that
14 this will provide a better isolation of the
15 injection zones by providing more cement sheath
16 around the production casing.

17 Q. Now, you're going to use line tubing?

18 A. Internally plastic-coated tubing, yes,
19 sir.

20 Q. And will the annular space on this well
21 be filled with an inner fluid and a gauge placed
22 at the surface so that pressure in the annular
23 space can be tested to comply with the Federal
24 Underground Injection Control Program?

25 A. Yes, sir.

1 Q. Now, you have indicated you're going to
2 be injecting into what formation?

3 A. The Grayburg No. 4 Sand.

4 Q. And what will be the source of the
5 carbon dioxide that you're proposing to inject in
6 this well?

7 A. Carbon dioxide will be trucked in from
8 Denver City. It will be food quality, over 99
9 percent pure liquid CO₂.

10 Q. Again, would you review the volumes
11 that you propose to inject?

12 A. We propose to inject 60 tons of CO₂ per
13 day per well for two months in a cycle followed
14 by a one-month injection period of water at a
15 rate of 400 barrels per day per well average
16 rates.

17 Q. Okay. What would be the maximum
18 injection rate you would consider for both CO₂
19 and water?

20 A. I would propose 66 tons per day of CO₂
21 maximum rate and 500 barrels of water per day.

22 Q. Okay. Will the system be an open or
23 closed system?

24 A. It will be a closed system.

25 Q. To inject these maximum volumes, what

1 pressure are you anticipating you will need?

2 A. I believe we will need anticipated
3 pressure of up to 2,000 PSI.

4 Q. Now, this pressure exceeds a pressure
5 limitation of 2/10 pound per foot of depth to the
6 top of the injection interval, does it not?

7 A. Yes, sir, it does.

8 Q. Do you recommend that prior to
9 injection you establish that formation can
10 receive the injectants under this pressure by OCD
11 witness step-rate test?

12 A. Yes, sir, I propose that.

13 Q. Would you request that the order also
14 provide that should you need to go above 2,000
15 pounds, that a procedure be established that that
16 increase could be approved administratively again
17 after witness step-rate test to establish that a
18 higher pressure would not cause formation parting
19 or separation?

20 A. Yes. I would propose that.

21 Q. Are you going to be reinjecting
22 produced water from this unit back into the unit?

23 A. No. The produced water from this pilot
24 project will not be reinjected into the pilot.

25 Q. Do you anticipate any compatibility

1 problems with the water you're going to be
2 injecting?

3 A. No, sir. This is the additional water
4 that has been injected since the inception of the
5 project.

6 Q. What is the source of that water?
7 Where are you getting it?

8 A. It is from the Maljamar water system.

9 Q. What is Yates Exhibit No. 3 in this
10 case?

11 A. It is a water analysis of the produced
12 water and injected water.

13 Q. This is the same water that's been
14 injected throughout the life of this waterflood?

15 A. Yes, sir.

16 Q. Are there any freshwater zones in the
17 area?

18 A. There is one freshwater zone in the
19 area.

20 Q. What is that?

21 A. That is the Roessler Formation in
22 approximately 360 feet of depth.

23 Q. Are there any freshwater wells within a
24 mile of either of the proposed injection wells?

25 A. No, sir, there are no freshwater wells.

1 Q. Now, you are going to be drilling both
2 of the injection wells?

3 A. Yes, sir.

4 Q. You will provide logs of those wells to
5 the Division as soon as they are obtained?

6 A. Yes, sir.

7 Q. Could you identify what has been marked
8 as Yates Exhibit No. 2?

9 A. This is the affidavit of mailing
10 showing the copies of notice to offsetting
11 property owners and other working interest owners
12 in the unit area and the surface owner and
13 royalty owners.

14 Q. The only surface owner is the Bureau of
15 Land Management; is that correct?

16 A. Yes, sir.

17 Q. And the only leasehold operator within
18 one mile or within the area of review is Enron?

19 A. Yes, sir.

20 Q. And notice has been provided not only
21 of the application by copy of the application,
22 but notice of today's hearing has also been
23 provided to both of these parties?

24 A. Yes, sir.

25 Q. Have you reviewed this proposal with

1 other governmental agencies?

2 A. Yes, sir.

3 Q. And what is the status of your
4 negotiations with both the BLM and State Land
5 Office?

6 A. The BLM defers approval until the OCD
7 acts, and the State Land Office has approved the
8 plan of development.

9 Q. Have you examined available geologic
10 and engineering data on this area?

11 A. Yes, sir, I have.

12 Q. As a result of that examination, have
13 you found any evidence of open faults or other
14 hydrologic connections between the injection zone
15 and any underground source of drinking water?

16 A. No, sir.

17 Q. In your opinion would granting this
18 application and implementation of the proposed
19 CO₂ flood be in the best interests of
20 conservation, the prevention of waste, and the
21 protection of correlative rights?

22 A. Yes, sir, it will.

23 Q. Is it your recommendation that Division
24 Order R-7821, which approved the pilot project
25 that was abandoned back in 1986, that that order

1 be rescinded?

2 A. Yes, sir.

3 Q. Will approval of this proposed project
4 be sought pursuant to the New Mexico Enhanced Oil
5 Recovery Act at a later date and after rules have
6 been adopted by this Division for such a
7 procedure?

8 A. Yes, sir.

9 Q. Were Exhibits 1 through 3 prepared by
10 you or compiled under your direction?

11 A. Yes, sir.

12 MR. CARR: At this time Mr. Stogner, we
13 move the admission of Yates Petroleum Corporation
14 Exhibits 1 through 3.

15 EXAMINER STOGNER: Exhibits 1 through 3
16 will be admitted.

17 MR. CARR: That concludes my direct
18 examination of Mr. Fant.

19 MR. STOVALL: One question just in
20 terms in anticipation of a question I might get
21 from the court reporter. You referred to a
22 micellar project.

23 MR. CARR: M-i-c-e-l-l-a-r.

24 THE WITNESS: Yes, sir.

25 MR. STOVALL: That's what I wrote

1 down. All right.

2 MR. CARR: It means soap, I think.

3 EXAMINER STOGNER: I have a few
4 questions.

5 EXAMINATION

6 BY EXAMINER STOGNER:

7 Q. After breakthrough do you anticipate
8 any problems with the salability of natural gas
9 with the CO₂ cut natural gas?

10 A. Natural gas is not sold from the unit
11 at this time. We have no gas sales. There is
12 essentially no gas production from the unit. The
13 GOR is below salable quantities.

14 Q. So any CO₂ that does break through will
15 be in solution in the oil; is that correct?

16 A. Yes, sir.

17 Q. Okay. Now, did I hear you right that
18 the produced water would not be reinjected; is
19 that correct?

20 A. Yes, sir.

21 Q. Why isn't it?

22 A. The produced water we plan to use is
23 the Maljamar water system. It is cleaner water,
24 and it will require some less cleaning up. We
25 will bring that in and use that water as the

1 make-up water for the pilot project.

2 Q. And where will the produced water from
3 this project be injected or disposed of?

4 A. It will be reinjected in the remaining
5 portion of the West Loco Hills Unit where we are
6 currently injecting water at this time.

7 Q. Now, will this water contain any
8 carbonic acids due to the CO₂ injection if there
9 is breakthrough?

10 A. No appreciable amounts.

11 Q. Okay. Now, you talked about 2,000 PSI
12 maximum pressure. Is that on both the
13 hydrostatic head of the CO₂ and the water?

14 A. Yes, sir.

15 Q. Have you done calculations of what the
16 bottom-hole pressure would be with a 2,000 pound
17 surface pressure of the CO₂ and the water pool?

18 A. Yes, sir, I have done those
19 calculations. I'll have to dig them out here.

20 Q. If you would. That would save me some
21 calculating.

22 A. It would be, the bottom-hole pressure
23 would be approximately 3,000 PSI with water at
24 those rates. This is accounting for friction
25 also. And it would be approximately 3,100 PSI

1 injection pressure with the CO₂, based upon the
2 hydrostatic head of CO₂, our expected
3 temperatures and pressure.

4 Q. Did I hear that right? 3,100 for CO₂
5 and 3,000 for water?

6 A. Yes, sir.

7 Q. That doesn't sound right. I thought
8 water was heavier than CO₂.

9 A. My apologies. You are correct. It is
10 the reverse of that.

11 Q. All right.

12 A. Right.

13 Q. Both those calculations include
14 friction?

15 A. Yes, sir. I had my CO₂ and my water
16 sides mixed up.

17 Q. Now, the maximum injection rate, you
18 said, was 66 tons. Is that per well --

19 A. Per well.

20 Q. -- or project-wide?

21 A. Per well.

22 Q. Per well. Would both wells be taking
23 half, or is there another percentage breakout of
24 injection?

25 A. With the projected proposed injection

1 cycling, we would propose -- I am proposing two
2 months of CO₂ injection followed by a month of
3 water on an out-of-phase cycle. So you would
4 have two months with one well on CO₂ and the
5 other well on water and then one well with both
6 wells on CO₂ and neither well on water. You
7 would have the two out-of-phase with each other.

8 Q. Okay. So one would be on CO₂ at all
9 times?

10 A. There would be at least one well on CO₂
11 at all times. From an operational standpoint
12 that is much preferable to have a much more
13 continuous operation.

14 Q. That's 500 barrels of water per well?

15 A. Per well, per day, yes, sir.

16 Q. You talked about the injection would be
17 into the Grayburg No. 4 Sand. Do you have that
18 shown on a log by chance?

19 A. I do not have it here at this time.
20 That would be defined by the type log within the
21 unit agreement as referenced in the C108
22 application.

23 MR. CARR: If you would like, Mr.
24 Stogner, we could provide a copy of that to you.

25 EXAMINER STOGNER: Yes, if you would,

1 please.

2 THE WITNESS: Okay.

3 Q. (BY EXAMINER STOGNER) Now, your
4 designation of that No. 4 Grayburg Sand, would
5 the injection intervals take in all of that
6 particular interval in both the injection wells?

7 A. Yes, sir. It would encompass the
8 Grayburg No. 4 Sand, which is the entire unitized
9 interval.

10 Q. Let's see, in looking at page 7, the
11 perforations are to be at 2800 feet, plus the TD
12 is 2850.

13 A. That is an approximate number on those
14 perforations.

15 Q. Okay. How big of a sand thickness are
16 we looking at in this Grayburg?

17 A. Approximately 24 feet.

18 Q. Twenty-four feet.

19 A. That would be a good number for a
20 field-wide average and in this area also.

21 Q. Will there be any rework necessary for
22 the producing wells that are going to be
23 influenced by this injection as far as the
24 reperforations or squeezes or anything?

25 A. The producing wells within the area are

1 all open-hole completions at this time, so there
2 would not be any reperforating required. We have
3 continued to work on these wells and repair the
4 wellbores to establish mechanical integrity of
5 these wellbores as witnessed by OCD
6 representatives from Artesia.

7 Q. What is the open-hole interval in most
8 of these wells? How big of a zone are we talking
9 about?

10 A. Primarily the open-hole area is
11 approximately -- they are open-hole from
12 approximately 2725 feet to the base of the Loco
13 Hills Sand of the -- excuse me, the Grayburg No.
14 4 Sand.

15 Q. And that would show up on the
16 tabulation of the well data starting on page 11;
17 is that correct?

18 A. Yes, sir. That is available in all of
19 that.

20 Q. What zone lies immediately above the
21 Grayburg No. 4, and will that be influenced any?

22 A. The Grayburg carbonate zones lie
23 immediately above the zone, and we should not --
24 with the new injection wells that we are
25 drilling and the repair of the old wells, we will

1 have isolation from those members. And they will
2 not -- CO₂ should not enter those zones.

3 Q. So you have a Grayburg carbonate
4 immediately above and immediately below the No.
5 4?

6 A. Yes, we have Grayburg immediately
7 beneath it. My geologic column is a little bit
8 off at this point.

9 Q. What I'm leading up to is you've got 24
10 foot of sand up here that you're going to be
11 injecting CO₂ in, and then you've got producing
12 wells that are open-hole. Any of these open-hole
13 intervals, are they going to act as conduit of
14 CO₂?

15 A. No, sir. They are nonporous zones,
16 nonproductive zones.

17 Q. When were most of these wells, the
18 producing wells immediately surrounding this
19 area, when were they completed?

20 A. Most of their original completions were
21 between approximately 1940 and 1945.

22 Q. With nitroglycerin shots, I would
23 assume, for stimulation?

24 A. In most instances, yes, sir.

25 Q. Is waterflooding being initiated in any

1 other zones in this waterflood project, which
2 surrounds this area, in anything else but the
3 Grayburg No. 4?

4 A. No. The waterflooding in the West Loco
5 Hills Unit is isolated to the Grayburg No. 4 Sand
6 Unit, sand member.

7 Q. Do you have an approximate length of
8 time in which you'll have CO₂ injection in this
9 pilot project? Of course, that depends on the
10 success rate, I'm sure.

11 A. We propose to inject 27,200 tons into
12 the pilot. That will take approximately eleven
13 months based on the injection cycles that I am
14 proposing.

15 Q. Now, you say eleven months. That is
16 when both wells are drilled and ready to take CO₂
17 water?

18 A. Yes -- well, no. That is eleven months
19 from the first date of CO₂ injection.

20 Q. Do you plan to have both wells drilled
21 and ready to inject simultaneously, or will you
22 have one drilled and injected while the other one
23 is being drilled?

24 A. Our proposals are at this time to drill
25 the wells sequentially but not to begin injection

1 until both wells have been completed and
2 step-rate tests have been run. And then both
3 wells will essentially be placed on injection at
4 the same time but drilled sequentially.

5 Q. Will it be necessary once these wells
6 are drilled, the proposed injectors, to put a
7 pump on them and take any fluids that -- will it
8 be necessary to pump them before you start
9 injecting?

10 A. You mean pump them from a producing
11 standpoint?

12 Q. Yes. To maybe drain whatever liquids
13 are in the No. 4 zone in the immediate area, or
14 do you propose just to start injecting?

15 A. Certainly within the completion
16 procedures, completion phases of these wells, we
17 will be producing back somewhat some of the
18 water. We will be producing that, and we will be
19 analyzing the return fluids from those.

20 But our plans at this time are not
21 to -- do not include placing these wells on pump,
22 as you put it, to produce the wells to withdraw
23 large amounts of fluid from the No. 4 sand
24 member.

25 Q. Now, when I look at the map, I've got

1 shaded in the -- I don't know what you'd call
2 that -- looks like a flask bottle pattern?

3 A. Keyhole, as some people call it.

4 Q. Okay, keyhole.

5 MR. STOVALL: I like the flask myself.

6 Q. (BY EXAMINER STOGNER) Flask, keyhole,
7 whatever. What are the closest water-injection
8 wells, and do they show up on this map that are
9 outside this area?

10 A. Well, that are outside of the keyhole?

11 Q. Yes.

12 A. I mean the flask?

13 Q. Exactly.

14 A. Well, there are several water-injection
15 wells that we have proposed to maintain pressure
16 in the bounding areas to maintain the CO₂ within
17 our project, such as the Tract 1, Well No. 4 in
18 the southwest of the southwest of Section 7; Well
19 No. 7 -- Tract 1, Well No. 7 and that well is
20 almost in the center of the northwest quarter
21 section.

22 I'm going to have to pull out a
23 slightly different map to provide you with the
24 file.

25 Q. What I'm leading up to, will these

1 wells continue to inject water -- and I think you
2 answered my question -- to maintain the pressure
3 around the area to keep the CO₂ within the
4 confined bounds?

5 A. Yes, sir. We are bounding this pilot
6 with what, for lack of a better term, we are
7 calling barrier injectors to prevent the
8 migration of CO₂ outside of the pilot project
9 area.

10 Q. Now, will these barrier injection
11 wells, will the injection, injectability as far
12 as volumes and pressures, will those change any,
13 or will you monitor those, or how will that be
14 watched?

15 A. Most certainly they will be monitored
16 for both rate and pressure, you know, basically
17 with metering of the volumes going in and
18 recording of the pressure for those injection
19 volumes.

20 Q. Now, the barrier injection wells, is
21 that freshwater, or is that reinjected water?

22 A. That water will be produced water from
23 the entire West Loco Hills Unit.

24 Q. But the water that is to be injected in
25 these two wells is the freshwater; is that

1 correct?

2 A. That is the freshwater from the
3 Maljamar water system.

4 Q. And why do you use freshwater as
5 opposed to reinjected water again?

6 A. It is the freshwater -- the other focus
7 it gives us is the ability to track the
8 breakthrough of our specific water. It allows us
9 to understand whether channeling is occurring and
10 what our sweep -- a better idea of what our sweep
11 efficiency is within this reservoir under this
12 new process. It is a measurement, a data
13 gathering and measurement process.

14 Q. I want to go back and ask some
15 questions, and you answered a few of them earlier
16 in your testimony about the old proposal back in
17 85, Order No. R-7821. I'm a little confused.
18 Was there actually work done in preparation of
19 this particular project that this order -- when I
20 say "this order," R-7821 authorized?

21 A. There was work performed on that
22 project in terms of repairing wells, and they
23 actually started repairing the wells in the pilot
24 area in order to have wellbores with mechanical
25 integrity -- they would do this prior to actually

1 implementing the flood. So that basically was
2 step 1 of implementing that project, was to
3 repair existing wells.

4 Before that was completed, though, oil
5 prices dramatically fell in early -- late 1985,
6 early 1986. And before they were actually able
7 to drill wells, the project had to be -- that
8 project was terminated.

9 Q. Let me make sure I've got the wells
10 that are being influenced here.

11 A. Okay.

12 Q. The two injection wells will be the No.
13 9 and No. 10. And they're both located at the
14 far western boundary of Section 7; is that
15 correct?

16 A. Yes, sir.

17 Q. All right. Starting with this flask
18 shape --

19 A. Uh-huh.

20 Q. -- I look in the northeast portion of
21 it, there's a well No. 4. That's an existing
22 well?

23 A. Are you speaking of the northwest
24 corner?

25 Q. Yes. I'm sorry. The northwest

1 corner.

2 A. Yes. That is well No. 4 of Tract 13.

3 Q. Of Tract 13. So that would be the Loco
4 Hills Grayburg Unit, Tract 13, Well No. 4?

5 A. Yes, sir.

6 Q. And then I move over east now to the
7 northeast quarter. That looks like a No. 2?

8 A. Yes, sir.

9 Q. Okay. And then I move down south.
10 That appears to be a No. 8 well?

11 A. Yes, sir.

12 Q. That's Tract 22?

13 A. No, sir. These wells are within Tract
14 1.

15 Q. Tract 1, okay. Now then, I angle off
16 to the west -- I'm sorry, to the east a little
17 bit, and continuing down south to Well No. 3.

18 A. Yes, sir.

19 Q. What's the identity of that well?

20 A. That well is Tract 1, Well No. 3.

21 Q. This is still in Tract 1?

22 A. Yes, sir.

23 Q. Okay. And then I go immediately west
24 to a No. 1?

25 A. Yes. That's Tract 6, Well No. 1.

1 Q. Okay. Now, we close that flask up,
2 moving to the north, looks like north, northeast,
3 but there is no well there?

4 A. Yes, sir.

5 Q. But that is your proposed producing
6 well once it is established or you're
7 accomplishing what you want; is that correct?

8 A. Once breakthrough occurs in any of the
9 existing wells.

10 Q. Okay. Now, you described this as a
11 22-acre inverted five-spot and a ten-acre
12 inverted five-spot?

13 A. Yes, sir.

14 Q. I guess I'm not seeing that. Are you
15 referring to Wells No. 4, 2, 8, and the proposed
16 producing well as the ten-acre?

17 A. Yes, sir, that is the ten-acre pattern.

18 Q. And that would be dedicated to the No.
19 9, or those would all be influenced by the No. 9
20 injector well?

21 A. Yes, sir.

22 Q. And the No. 8 and the proposed well
23 would also share in any breakthrough from the
24 proposed 10 injection well; is that correct?

25 A. Yes, sir.

1 Q. Now, have these well locations that
2 you've given me for these injection wells, have
3 they been staked and permitted with the BLM?

4 A. No, sir, they have not been staked or
5 permitted. But we have been out and spotted the
6 locations for feasibility to make sure that we
7 can do them from a feasibility standpoint on the
8 surface.

9 EXAMINER STOGNER: Okay. Does anybody
10 else have any further questions of this witness?

11 MR. STOVALL: Just one out of curiosity
12 as much as anything.

13 EXAMINATION

14 BY MR. STOVALL:

15 Q. You're talking about 60,000 pounds of
16 CO₂; is that correct?

17 A. Sixty tons.

18 Q. I mean, tons. Excuse me.

19 A. Yes.

20 Q. And you're trucking it in?

21 A. Yes, sir.

22 Q. How many trucks a day is that, just out
23 of curiosity?

24 A. Sixty tons is approximately three
25 trucks per day.

1 Q. Okay. I had no concept of how much a
2 truck of CO₂ was.

3 A. A tank of CO₂ is approximately 20
4 tons.

5 FURTHER EXAMINATION

6 BY EXAMINER STOGNER:

7 Q. So you're going to have six trucks for
8 the project since you need -- you said three
9 trucks a day for each well?

10 A. Yes, sir.

11 Q. Okay. And that would be
12 seven-day-a-week injection?

13 A. Yes, sir.

14 Q. Okay. Now, your water, I assume, is
15 being piped in?

16 A. Yes, sir.

17 [A comment was made off the record.]

18 Q. I'm assuming that if you come in later
19 and request the tax credit, you will have some
20 economics at that time?

21 A. [Nodded.] Yes, sir.

22 EXAMINER STOGNER: He's shaking his
23 head yes. Very sadly, I might add.

24 Are there any other questions of this
25 witness?

1 MR. STOVALL: Mr. Boneau is smiling,
2 Dr. Boneau. No questions.

3 EXAMINER STOGNER: Mr. Fant, you may be
4 excused.

5 Mr. Carr, do you have anything
6 further?

7 MR. CARR: We have nothing further in
8 this case. And we will provide the log to you as
9 quickly as we can get back to Artesia and get it
10 to you.

11 EXAMINER STOGNER: If the log is in the
12 immediate area, that's fine. If it is not,
13 perhaps, in addition, if you could provide
14 showing the No. 4 on one of the logs, if there is
15 a complete log on one of these existing producing
16 wells that is immediately being influenced.

17 I realize they're probably TD'd as
18 such. We may not have a full Grayburg No. 4.
19 But if you could provide that, and, Dr. Boneau,
20 if you know, and of course, Mr. Fant, I direct
21 that to you, too.

22 DR. BONEAU: There's a reasonably
23 modern log on 13-11, which is pretty close. It's
24 a little bit to the west.

25 EXAMINER STOGNER: I believe that is

1 shown on the map just directly west of the
2 proposed producing well to be drilled. It looks
3 like less than a quarter-of-a-mile, the No. 11
4 that you were referring to, Dr. Boneau.

5 DR. BONEAU: Yes, sir. That's been
6 drilled within, like, the last -- within our
7 lifetime, within the last ten or fifteen years.
8 It has a log that young engineers like us can
9 read.

10 EXAMINER STOGNER: If you could provide
11 that log as opposed to the type log --

12 DR. BONEAU: That would be my
13 suggestion as a log that might be useful to the
14 Examiner.

15 MR. CARR: We will do that.

16 EXAMINER STOGNER: I would appreciate
17 that. Thank you, Dr. Boneau, and thank you, Mr.
18 Fant.

19 MR. STOVALL: Dr. Boneau's unsworn
20 testimony about logs that we can read.


21 EXAMINER STOGNER: "Young engineers."

22 MR. STOVALL: Which part don't I fit,
23 Mr. Stogner?

24 EXAMINER STOGNER: If there's nothing
25 further in Case 10476, I'll take this case under

1 advisement. And this hearing is adjourned before
2 we say anything else.

3 [And the proceedings were concluded.]
4
5
6
7
8
9
10
11

12 I do hereby certify that the foregoing is
13 a true and correct copy of the
14 the transcript of the hearing on the 10476,
15 heard by me on 14 May 1992.
16  Matthew E. Horn, Director
17 of the Criminal Division
18
19
20
21
22
23
24
25


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4) ss.
COUNTY OF SANTA FE)

5
6 I, Debbie Vestal, Certified Shorthand
7 Reporter and Notary Public, HEREBY CERTIFY that
8 the foregoing transcript of proceedings before
9 the Oil Conservation Division was reported by me;
10 that I caused my notes to be transcribed under my
11 personal supervision; and that the foregoing is a
12 true and accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a
14 relative or employee of any of the parties or
15 attorneys involved in this matter and that I have
16 no personal interest in the final disposition of
17 this matter.

18 WITNESS MY HAND AND SEAL May 14, 1992.
19
20

21 
22 _____
23 DEBBIE VESTAL, RPR
24 NEW MEXICO CSR NO. 3
25