

1 NEW MEXICO OIL CONSERVATION DIVISION

2 STATE LAND OFFICE BUILDING

3 STATE OF NEW MEXICO

4 CASE NO. 10478

5  
6 IN THE MATTER OF:

7  
8 The Application of Merrion Oil  
9 and Gas Corporation for pool  
10 creation and temporary special  
11 pool rules, Sandoval County,  
12 New Mexico.

13  
14 BEFORE:

15  
16 DAVID R. CATANACH

17 Hearing Examiner

18 State Land Office Building

19 May 28, 1992

20  
21  
22 REPORTED BY:

23 DEBBIE VESTAL

24 Certified Shorthand Reporter  
25 for the State of New Mexico

ORIGINAL

## A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel  
State Land Office Building  
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

TANSEY, ROSEBROUGH, GERDING & STROTHER, P.C.

Post Office Box 1020  
Farmington, New Mexico 87401-1020

BY: TOMMY ROBERTS, ESQ.

FOR BENSON MONTIN GREER DRILLING CORPORATION:

KELLAHIN, KELLAHIN & AUBREY

Post Office Box 2265  
Santa Fe, New Mexico 87504-2265  
BY: W. THOMAS KELLAHIN, ESQ.

FOR SEYMOUR S. SMITH:

PADILLA & SNYDER

Post Office Box 2523  
Santa Fe, New Mexico 87504  
BY: ERNEST L. PADILLA, ESQ.

FOR ROBERT L. BAYLESS:

MR. KEVIN McCORD

FOR GOLA OIL COMPANY:

MR. CHARLES M. GOAD

## I N D E X

## Page Number

Appearances

2

WITNESSES FOR THE APPLICANT:

## 1. STEVEN S. DUNN

Examination by Mr. Roberts 8

Examination by Mr. Padilla 31

Examination by Examiner Catanach 42

Examination by Mr. Stovall 49

Further Ex. by Examiner Catanach 53

Further Ex. by Mr. Stovall 53

Further Ex. by Mr. Roberts 64

## 2. DOUG ENDSLEY

Examination by Mr. Roberts 64

Examination by Mr. Padilla 73

Examination by Examiner Catanach 74

Examination by Mr. Stovall 77

## I N D E X (CONTINUED)

Page Number

WITNESS FOR BENSON MONTIN GREED DRILLING:

1.	ALBERT R. GREER	
	Examination by Mr. Kellahin	80
	Examination by Mr. Padilla	108
	Examination by Examiner Catanach	118
	Examination by Mr. Stovall	120
	Further Ex. by Examiner Catanach	122
	Further Ex. by Mr. Stovall	122
	Further Ex. by Examiner Catanach	127
	Further Ex. by Mr. Stovall	128
	Certificate of Reporter	138

## E X H I B I T S

Page Identified

MERRION OIL & GAS CORPORATION:

Exhibit No. 1	10
Exhibit No. 2	14
Exhibit No. 3	18
Exhibit No. 4	22
Exhibit No. 5	27
Exhibit No. 6	67
Exhibit No. 7	67

BENSON MONTIN GREER DRILLING CORPORATION:

Exhibit No. 1	86
---------------	----

1                   EXAMINER CATANACH: At this time we'll  
2 call Case 10478.

3                   MR. STOVALL: Application of Merrion  
4 Oil & Gas Corporation for pool creation and  
5 temporary special pool rules, Sandoval County,  
6 New Mexico.

7                   EXAMINER CATANACH: Are there  
8 apperances in this case?

9                   MR. ROBERTS: Mr. Examiner, my name is  
10 Tommy Roberts. I'm with the Tansey law firm in  
11 Farmington, New Mexico. I'm appearing on behalf  
12 of the applicant, Merrion Oil & Gas Corporation,  
13 and I have two witnesses to be sworn.

14                  EXAMINER CATANACH: Other appearances?

15                  MR. KELLAHIN: Mr. Examiner, I'm Tom  
16 Kellahin of the Santa Fe law firm of Kellahin,  
17 Kellahin & Aubrey appearing on behalf of Benson  
18 Montin Greer Drilling Corporation and I have one  
19 witness. And we appear in support of the  
20 applicant.

21                  MR. PADILLA: Mr. Examiner, Ernest L.  
22 Padilla, Padilla & Snyder, Santa Fe for Seymour  
23 S. Smith.

24                  EXAMINER CATANACH: Seymour S. Smith?

25                  MR. PADILLA: S-e-y-m-o-u-r. Mr. Smith

1 is a lease owner in Sections 21 and 36 of 19  
2 North, 3 West.

3 MR. STOVALL: Does Mr. Smith have a  
4 position with respect to this application that  
5 you are here advocating?

6 MR. PADILLA: We're not advocating  
7 necessarily, neither are we opposing  
8 necessarily. In fact, Mr. Smith had very late  
9 notice due to the Chicago flood and was unable to  
10 prepare for this hearing, and I was hired  
11 essentially on Tuesday of this week.

12 EXAMINER CATANACH: You won't have any  
13 witnesses?

14 MR. PADILLA: I have no witnesses.

15 EXAMINER CATANACH: Can I get the three  
16 witnesses to --

17 MR. McCORD: Mr. Examiner.

18 EXAMINER CATANACH: Oh, I'm sorry.

19 MR. McCORD: I'm Kevin McCord from  
20 Farmington, New Mexico. I'm here representing  
21 Robert L. Bayless. I have a short statement in  
22 support of the application.

23 EXAMINER CATANACH: Any other  
24 appearances?

25 Will the witnesses, please, stand to be

1 sworn in.

2 [The witnesses were duly sworn.]

3 MR. STOVALL: That was the first time  
4 the Chicago flood has ever appeared before the  
5 Oil Conservation Commission actually in New  
6 Mexico.

7 MR. ROBERTS: Mr. Examiner, if I may,  
8 I'll call Mr. Dunn.

9 STEVEN S. DUNN

10 Having been duly sworn upon his oath, was  
11 examined and testified as follows:

12 EXAMINATION

13 BY MR. ROBERTS:

14 Q. Would you, please, state your name and  
15 your place of residence for the record, please,  
16 Mr. Dunn.

17 A. I'm Stephen S. Dunn, and I live in  
18 Farmington, New Mexico.

19 Q. And what is your occupation?

20 A. I work for Merrion Oil & Gas as a  
21 petroleum engineer.

22 Q. Would you, please, describe your  
23 general job responsibilities for Merrion Oil &  
24 Gas Corp?

25 A. My primary responsibility is general

1 supervision of the production of oil and gas  
2 which includes drilling.

3 Q. How long have you been employed by Mr.  
4 Merrion?

5 A. Sixteen years.

6 Q. Are you familiar with the activities of  
7 Merrion Oil & Gas in the area which is the  
8 subject of this application?

9 A. Yes, I am.

10 Q. Are you familiar with the application  
11 in this case?

12 A. Yes, I am.

13 Q. Have you testified on any prior  
14 occasion before the New Mexico Oil Conservation  
15 Division?

16 A. Yes, I have.

17 Q. In what capacity?

18 A. As a petroleum engineer.

19 MR. ROBERTS: I would tender Mr. Dunn  
20 as an expert in the field of petroleum  
21 engineering.

22 EXAMINER CATANACH: Mr. Dunn is so  
23 qualified.

24 Q. (BY MR. ROBERTS) Mr. Dunn, would you  
25 briefly describe the purpose of the application

1 in this case?

2 A. Merrion Oil & Gas asks the Division for  
3 the creation of a new pool, which we propose to  
4 call Rock Mesa, for the production of oil from  
5 the fractured Mancos Shale Formation within  
6 portions of Townships 18 and 19 North, Range 3  
7 West, Sandoval County, New Mexico, and also the  
8 setting of temporary special rules that would  
9 include provisions for 640-acre oil spacing  
10 designated well locations and special allowables.

11 Q. May I ask you to refer to what's been  
12 marked as Exhibit No. 1 and ask you to identify  
13 it?

14 A. Exhibit No. 1 are the temporary special  
15 rules and regulations that we propose for the  
16 Rock Mesa fractured Mancos Shale Oil Pool in  
17 Sandoval County.

18 Q. Would you summarize the major  
19 provisions of the rule?

20 A. Rule No. 1 sets out the pool boundaries  
21 as an attachment, Exhibit A, and also provides  
22 that acreage within one mile offsets surrounding  
23 the proposed pool would be subject to the special  
24 rules.

25 Q. Mr. Dunn, let me stop you there. With

1     respect to Rule 1, is it not correct that the  
2     area that you now propose to be included in the  
3     proposed pool is different than the area that was  
4     originally applied for?

5             A.     That is correct. We have reduced the  
6     area substantially to approximate -- well, it's  
7     within the two-township region that we originally  
8     applied for.

9             Q.     Refer to Proposed Rule No. 2 and tell  
10    the Examiner what the elements of that rule are.

11            A.     Rule No. 2 provides for a standard  
12    proration unit of a 640-acre single governmental  
13    section and also provides for a second well on a  
14    proration unit if the first well cannot produce  
15    more than 50 barrels of oil per day after 180  
16    days of production.

17                   In addition, Rule 2 provides for  
18    administrative approval of nonstandard units.

19            Q.     Mr. Dunn, you mentioned the criteria  
20    for the drilling of the second well and you  
21    indicated that part of that criteria was a well,  
22    the first well cannot drill or cannot produce  
23    more than 50 barrels of oil per day.

24                   Is there not also an additional element  
25    of that criteria?

1           A.       That is correct. Both oil rate and gas  
2 rate are specified in the proposed rule, and the  
3 gas rate threshold is 300 Mcf per day. If a well  
4 exceeds either of those two criteria, that would  
5 negate the permission to drill a second well in  
6 that proration unit.

7           Q.       Okay. Let's move on to proposed rule  
8 3.

9           A.       Rule No. 3 provides that a well may not  
10 be located closer than 990 feet to a unit  
11 boundary. It also provides for an allowable  
12 penalty for a nonstandard surface location and  
13 provides that a second well on the proration unit  
14 cannot be in the same quarter section.

15          Q.       Continue on.

16          A.       Rule No. 4 provides for a top unit  
17 allowable of 800 barrels of oil per day with a  
18 corresponding 2,000 to 1 limiting gas-oil ratio.  
19 It also provides for an allowable penalty formula  
20 for a nonstandard bottom-hole location.

21                 Rule No. 5 provides for a required  
22 bottom-hole pressure test to be run on any new  
23 well within 30 days of first production and to be  
24 filed with the Division.

25                 Rule No. 6 establishes the vertical

1 limits of the pool from 500 feet below the top of  
2 the Point Lookout to the base of the Greenhorn  
3 Formation.

4 And Rule No. 7, the final rule,  
5 identifies these special rules as temporary and  
6 proposes two years for the temporary period.

7 Q. Could you briefly and in general terms  
8 tell the Examiner how and why these proposed  
9 special pool rules were developed?

10 A. The temporary rules as slightly  
11 modified are the work product or the result of a  
12 committee, industry committee, that was called  
13 together at the request of Frank Chavez, the OCD  
14 District Director in Aztec in, as I understand  
15 it, 1988.

16 The members of that committee comprised  
17 representatives from several oil companies that  
18 were extensively involved in fractured Mancos  
19 shale-oil development back during that period of  
20 time, namely Amoco, Mobil, Mesa Grande, Mallon,  
21 and Benson Montin Greer Drilling Corporation.

22 The purpose of the committee was to, as  
23 I understand it, develop a general spacing  
24 requirement for the San Juan Basin east side  
25 fractured Mancos production.

1           And we have reviewed these rules and  
2 find them to be reasonable and therefore have  
3 proposed them here for adoption for our proposed  
4 pool.

5           Q.       And do you propose that these rules be  
6 incorporated in an order that's issued in this  
7 case?

8           A.       Yes, I do.

9           Q.       Now, turn your attention to what's been  
10 marked as Applicant's Exhibit No. 2. Please  
11 identify that exhibit.

12          A.       Exhibit No. 2 is in three parts. Part  
13 1 is a leasehold ownership plat depicting  
14 leasehold ownership in the region of the pool in  
15 Townships 19 North, 3 West and 18 North, 3 West,  
16 the northern two tiers of the section are shown  
17 in 19 North.

18               The pool boundary is identified on the  
19 ownership plat in a red marking, I guess you call  
20 it a crosshatch. And the various leases within  
21 the pool boundary and offsetting the pool  
22 boundary within one mile are also shown with  
23 their lease numbers.

24          Q.       Could you briefly describe the color  
25 coding on this exhibit, on this part 1?

1           A.       Okay.  There's a legend at the bottom  
2 of the leasehold ownership plat that basically  
3 splits up the leases into the following  
4 categories.

5                   We have a coloration, I call it black  
6 stipple pattern, that is the Grosser lease.  And  
7 the reason that particular one was set out  
8 separately is that Merrion Oil & Gas has entered  
9 into an agreement to purchase that lease.  It has  
10 not been finalized, so we felt it appropriate to  
11 show it separate, although it will soon be part  
12 of the Merrion Oil controlled acreage.

13                  We show in yellow the Merrion Oil  
14 leases.  And when I refer to "Merrion Oil," I'm  
15 talking about, that's a general term we use for  
16 Merrion Oil & Gas Corporation and its affiliates,  
17 which would include among others J. Gregory  
18 Merrion personally.

19                  We show open acreage in a red stipple  
20 pattern.  That would be acreage not under lease.  
21 We show Yates' leases in a green stipple pattern,  
22 and again that term "Yates" stands for the Yates  
23 companies and its affiliates.

24           Q.       And when you refer to Yates Companies  
25 and its affiliates, are you referring to the

1 Yates Companies in southeast New Mexico?

2 A. That is correct.

3 Q. Okay.

4 A. The blue stipple pattern refers to the  
5 Jordan Oil leases. And the Jordan Oil leases are  
6 subject to a farm-in to Robert L. Bayless and  
7 Benson Montin Greer Drilling Corporation. And  
8 each of those -- the Yates, the Merrion, and the  
9 Jordan acreage positions within that area are in  
10 support of this application. That's the main  
11 reason for identifying them separately.

12 The remaining interests in the area are  
13 identified with a, I guess, a purple stipple  
14 pattern there. We did not break those out in the  
15 legend.

16 Q. You indicated that the acreage that's  
17 designated as the Grosser lease, the Jordan Oil  
18 leases, the Merrion Oil leases, and the Yates  
19 leases are in support of this application.

20 Do you know the percentage of that  
21 acreage controlled by those entities that are in  
22 support of the application?

23 A. If you'll refer to Exhibit 2, part 2,  
24 that's really the purpose of that exhibit, is to  
25 give the Examiner a feel for how much of the

1 acreage is in support of the Rock Mesa Pool  
2 creation.

3 And it appears to me to be around 80  
4 percent. I did not add it up. But the  
5 exceptions would be open acreage which is neither  
6 in support or otherwise and then the others,  
7 which we have no knowledge of whether they  
8 support or otherwise. But that's about 22  
9 percent.

10 So it would be about 78 percent is in  
11 support of the proposed pool.

12 Q. Mr. Dunn, is this any fee acreage  
13 contained within the boundaries of the proposed  
14 pool?

15 A. Again, referring to Exhibit 2, part 3,  
16 the purpose of this exhibit is to show the  
17 Division that only federal and state acreage are  
18 involved, and the bulk is federal acreage.

19 The state acreage is 640 acres, namely  
20 Section 16 of 19 North, 3 West.

21 Q. Now, let's have you refer to what's  
22 been marked as Applicant's Exhibit No. 3, and  
23 I'll ask you to identify the exhibit.

24 A. Exhibit No. 3 is a general well  
25 location map that shows the entire Townships 18

1 North, 19 North, Range 3 West, the area of our  
2 original application and what we advertised for  
3 hearing.

4 Also shown on this exhibit is the  
5 proposed boundaries that we are now supporting  
6 and that they are within the area for which we  
7 advertised.

8 The purpose of this exhibit or what it  
9 shows is that there is an accumulation of wells  
10 in the eastern portion of our proposed pool  
11 area. That particular accumulation of wells is  
12 the Media Entrada Field, which Merrion Oil & Gas  
13 operates.

14 And the majority of those wells were  
15 and are Entrada producers. And, as you can see,  
16 all but -- well, I don't know if it's obvious,  
17 but there's only one remaining Entrada producer  
18 out of that whole conglomeration.

19 One of things that I wanted to show  
20 with this exhibit is that there are a number of  
21 wells in the area but only five, which are  
22 indicated by red dots, that tested the Mancos on  
23 the fringes of our proposed pool area.

24 Also shown on this exhibit is our  
25 proposed initial test well in the northeast

1 quarter of Section 32 of 19 North, 3 West. And,  
2 in addition, a fault trace that we believe plays  
3 a major role in our decision to drill where we  
4 are proposing and will be discussed in follow-up  
5 testimony by Doug Endsley, our geologist.

6 Q. What, if anything, does the prior well  
7 history tell you with respect to the proposed  
8 640-acre spacing for the area?

9 A. Neither confirms it nor denies it.  
10 Basically the previous production, those wells  
11 were drilled in the late 60s. They show a  
12 significant oil show in the area out of the  
13 fractured Mancos. And we cannot conclude from  
14 that information that 640-acre spacing is  
15 indicated, nor is it otherwise reduced.

16 Q. To what extent are the proposed  
17 horizontal boundaries of the pool based on  
18 geologic factors?

19 A. Geology plays a role in the sense that  
20 we have an idea where we -- well, we have an idea  
21 that we'd like to test here. We believe that  
22 there's a reasonable expectation of oil in  
23 fractures in the Mancos. And the basis for that  
24 is the fault trace that is shown on Exhibit 3;  
25 and therefore geology does play a role.

1           However, due to the limited amount of  
2 data we have, we cannot say that this is the only  
3 area that we would reasonably expect oil  
4 production.

5           Q.     What other factors, if any, were  
6 considered in establishing the proposed  
7 horizontal boundaries of the pool?

8           A.     Well, I think in general we were  
9 approximating our geology, our geologic idea.  
10 And originally what we had proposed was to use  
11 the township boundary basically because it's to  
12 the south of the Rio Puerco area and provides a  
13 convenient break-off in that sense.

14                  And also, because of the limited amount  
15 of data, we just don't know what portion of this  
16 two-township area may eventually be productive.  
17 But we feel that we've shrunk it down to an area  
18 now that will allow us to test our idea. And so  
19 that's really the basis for it.

20           Q.     Are you currently working to establish  
21 a voluntary unit for this area?

22           A.     We are. We have filed application with  
23 the Bureau of Land Management to unitize the  
24 identical boundary or bounded area that we  
25 propose for a pool. And the BLM has given us

1 favorable indications. And that application is  
2 currently in the process, going through their  
3 process of approval.

4 Q. Would you describe your initial plan of  
5 operation or development of this area?

6 A. What we would propose to do is to drill  
7 our initial well, as I said, in the northeast  
8 quarter of Section 32. And we plan to do that  
9 within six months following approval of our unit  
10 at a minimum. We've actually targeted to try to  
11 drill a well sometime in September of this year.  
12 And, of course, we won't do anything until the  
13 unit is approved.

14 And following the drilling and  
15 completion of that well, assuming we get  
16 favorable results, we'll pick a second well based  
17 on the results of the first where we would drill  
18 it.

19 And again we will continue to drill on  
20 a minimum of six-month intervals. That is a  
21 requirement of the BLM exploratory unit  
22 agreement. So we would use that as our minimum.  
23 If we would get encouragement, we would  
24 accelerate that schedule.

25 Q. Let me ask you now to refer to what's

1     been marked as Applicant's Exhibit No. 4 and ask  
2     you to identify that exhibit.

3           A.     Exhibit No. 4 is a spacing economic  
4     exhibit to support our temporary 640-acre oil  
5     spacing. And it's a fairly busy exhibit, but I  
6     thought I would go down through and tell you what  
7     I've done on this thing.

8           I've compared three well spacings,  
9     160-acre, 320-acre, and 640-acre spacing. I've  
10    chosen --

11          Q.     Let me ask you there, why did you  
12    select those particular spacings scenarios?

13          A.     Well, it represents kind of a range of  
14    routinely drilled spacings in the area. So that  
15    was the main reason, was to try to give a view of  
16    what the possibilities are as far as economics  
17    go.

18          Q.     Why did you not run this scenario under  
19    a 40-acre spacing?

20          A.     I could have, but because the 160-acre  
21    spacing is so uneconomic, there's no need to. It  
22    does not change the conclusion.

23          Q.     Why don't you continue on and discuss  
24    the parameters used in your analysis.

25          A.     Okay. Oil reserves per well, I used an

1 average expected recovery of 125 barrels per  
2 acre. And this number was based upon data that I  
3 received from Al Greer, who I consider an expert  
4 in fractured Mancos oil reservoirs.

5 And it represents 5 percent of the  
6 recovery on average through solution gas drive of  
7 the oil in place. And the oil in place will  
8 range fairly widely from 1,500 to 3,000 barrels  
9 per acre. And I consider the 5 percent recovery  
10 through solution gas drive to be very reasonable  
11 based on my experience in the San Juan Basin.

12 I calculated a reserve deduction of 1/8  
13 royalty, which I consider again to be very  
14 conservative because I made no deductions for  
15 overrides, which is pretty unusual, and I in  
16 particular made no provisions for deducting any  
17 costs due to lease acquisition.

18 I calculated the income based on a  
19 current oil price of \$19 per barrel. And I  
20 estimated a well life. The purpose of estimating  
21 the well life is in order to calculate an  
22 operating cost to apply to the economics and also  
23 to provide a basis for discounting to bring it  
24 back to present value.

25 Q. What underlying assumptions do you make

1 with respect to this parameter regarding  
2 estimated well life? I assume there are some  
3 assumptions that you've made.

4 A. Well, there's two basic assumptions  
5 that are critical: One is you've got to assume  
6 an initial oil rate. And, as you can see at the  
7 bottom of the exhibit, I used 100 barrels of oil  
8 per day per well for each of the scenarios.

9 And probably more critically is what is  
10 indicated under Note 3 that the estimated well  
11 life assumes that all wells in the proposed pool  
12 are drilled and completed simultaneously. And  
13 the reason you make that assumption is that you  
14 need to ensure that no one well is draining an  
15 area larger than the proposed spacing or the  
16 assumed spacing.

17 Again I went on and calculated state  
18 taxes at 8 percent, which is conservative again.  
19 They're a little more than 8 percent. I rounded  
20 it off for ease of calculation. Operating costs  
21 I assumed at \$1200 per month per well, which  
22 again I feel, based on our experience in this  
23 area, is probaly a low-side number but  
24 realistic.

25 I threw in a plug and abandonment cost

1 per well of \$20,000, which is based on  
2 experience, and then calculated an unrisk-net  
3 revenue dollar for each of the well spacings and  
4 discounted that unrisk-net revenue at 10 percent,  
5 which I felt the 10 percent number was relatively  
6 reflective of what you might be able to obtain in  
7 alternative investment.

8 I then risk adjusted the net revenue,  
9 discounted, using a 75 percent success factor.  
10 What that means is that if you drill four wells,  
11 one of them would be a dry hole. And I think  
12 that's probably a reasonable assumption  
13 considering we don't have much data and it's  
14 probably optimistic.

15 Then estimated drilling and lease  
16 equipment costs for average depth well of 3700  
17 feet at \$75 a foot. And again that's a  
18 conservative number based on the way that I  
19 typically would drill a well. It does include  
20 some fluff in there to account for the fact we  
21 would be using some sort of non-damaging  
22 circulating fluid, like air mist drilling.

23 And it does not take into account if we  
24 needed to put a large stimulation, a large frac  
25 job on the well. That in and of it itself could

1 run upward of \$100-, \$150,000, and I did not  
2 account for that.

3 Eventually I came down and calculated a  
4 profit for each well before federal income taxes  
5 and then calculated the discounted return on  
6 investment. And for the 160-acre case, I found  
7 that we would actually lose money on our  
8 investment and therefore concluded that's an  
9 unsatisfactory option.

10 And on the 320-acre spacing that we  
11 would return a 26 percent discounted return on  
12 the investment. And that by oil field standards  
13 is fairly marginal. And finally on 640-acre  
14 spacing that we would receive a satisfactory  
15 return of 138 percent on our investment.

16 My conclusion from this exhibit and  
17 what I'm trying to demonstrate here is that in  
18 order to encourage an operator to get out there  
19 and take that risk and drill that first well, we  
20 need to see spacing on the 640-acre range  
21 initially to get us to drill that first well.  
22 And then based upon the data we would develop  
23 from there, the economics could be refined.

24 But we believe at this point 640-acre  
25 is what's necessary for us to justify

1 economically drilling in the air.

2 Q. It is not your purpose or the  
3 presentation of the information on this exhibit  
4 to address the issue of the maximum or optimum  
5 area of drainage, is it?

6 A. No, we do not know what that is, and we  
7 won't know until we get in there and start  
8 digging holes in the ground.

9 Q. Refer to what's been marked as Exhibit  
10 No. 5 and identify that exhibit. Explain its  
11 significance to this application.

12 A. Okay. Exhibit No. 5 is in two parts,  
13 and each part is multi-page. Part 1 is an  
14 alphabetical listing of those entities that we  
15 attempted to notify concerning the hearing here  
16 today.

17 On that notification list is the name  
18 and address of each entity, the lease number that  
19 they're involved with or that they control, and  
20 then also -- rather a receipt was returned on the  
21 certified mail notification.

22 Part 2 again is a multi-page exhibit  
23 that is arranged alphabetically to correspond  
24 with part 1 of the return receipts that Merrion  
25 Oil & Gas received back from our mailing.

1           Q.       Mr. Dunn, let me have you refer back to  
2       Exhibit No. 2 and, if you would, identify the  
3       geographic areas that were the focus of your  
4       notification efforts.

5           A.       Exhibit No. 2 does not cover the entire  
6       area. Our notification efforts covered all of 18  
7       North, all of 19 North, Range 3 West, and then  
8       the one-mile offsets around those two townships.

9           Q.       Now, did you conduct a good faith  
10      effort to find the correct address of all the  
11      parties entitled to receive notice?

12          A.       Yes, we did.

13          Q.       And has notice been given at the  
14      correct addresses pursuant to that effort?

15          A.       Yes.

16          Q.       And in your opinion have the notice  
17      rules of the Rule 1207 of the OCD's Rules and  
18      Regulations been complied with?

19          A.       Yes, they have.

20          Q.       I want you to refer once again to  
21      what's been marked as Applicant's Exhibit No. 1,  
22      which are the Proposed Temporary Special Rules  
23      and Regulations for the Rock Mesa Mancos Shale  
24      Oil Pool.

25                   Rule 7 establishes the temporary nature

1 of the proposed rules. What is the basis for the  
2 request that these rules and regulations be  
3 temporary in nature and specifically for a  
4 two-year period of time?

5 A. Well, we realize that at this point in  
6 time there's very little information available to  
7 tell us what the appropriate spacing should be,  
8 and we feel it is wise due to the sparse nature  
9 of data to space on a large enough spacing to  
10 encourage development, drilling, and acquiring  
11 additional data that could then be used to  
12 determine appropriate spacing.

13 And therefore we've proposed two years  
14 as that period of time that then protects the  
15 Division in the sense that if it appears that 640  
16 acres are too large that we could go the other  
17 direction and we could go to smaller spacing.

18 However, we feel it's not justified  
19 initially economically to do that, nor is it  
20 possible to go from smaller spacing to larger  
21 spacing later on. So that's why we propose to  
22 start with larger spacing.

23 Q. In your opinion would the granting of  
24 this application result in the protection of  
25 correlative rights, and if your answer is yes,

1 how would that happen?

2 A. My answer is yes. And correlative  
3 rights would be protected since all spacing units  
4 within that area would be uniformly spaced and  
5 regulated in accordance with these rules. It  
6 would be uniformly applied; therefore, each  
7 interest owner's rights are protected.

8 Q. And in your opinion would the granting  
9 of this application result in the prevention of  
10 waste?

11 A. Yes, I do. I think it would, number  
12 one, would prevent economic waste in that if we  
13 as operators cannot see the economics, we're not  
14 going to go out there and test the area. It  
15 also -- I should restate that. Not economic  
16 waste.

17 It could prevent waste in the sense  
18 that if we don't go out there and test that area,  
19 we may not develop the reserves. And secondly,  
20 when we do test the area, it could prevent the  
21 drilling of unnecessary wells which would be the  
22 economic waste that is so vital to us as  
23 operators.

24 Q. Were Exhibits 1 through 5 either  
25 prepared by you or at your direction and under

1 your supervision?

2 A. They were.

3 MR. ROBERTS: I move the admission of  
4 Applicant's Exhibits 1 through 5.

5 EXAMINER CATANACH: Exhibits 1 through  
6 5 will be admitted as evidence.

7 MR. ROBERTS: I have no other questions  
8 of this witness on direct.

9 EXAMINER CATANACH: Mr. Kellahin, any  
10 questions?

11 MR. KELLAHIN: No questions. Thank  
12 you.

13 EXAMINER CATANACH: Mr. Padilla?

14 MR. PADILLA: I have a few, Mr.  
15 Examiner.

16 EXAMINATION

17 BY MR. PADILLA:

18 Q. Mr. Dunn, I would direct your attention  
19 to your Exhibit No. 3.

20 MR. STOVALL: Which one is that, Mr.  
21 Padilla?

22 MR. PADILLA: It's the one showing the  
23 fault line.

24 MR. STOVALL: Okay.

25 Q. (BY MR. PADILLA) Mr. Dunn, do you have

1 any information on the Mancos wells that are  
2 shown on this exhibit as far as gradient is  
3 concerned? Did you get my question?

4 A. Yes, I did. I would say that we have  
5 information as regards the amount of oil that the  
6 wells have produced. As far as the area that  
7 they have drained, we do not have any information  
8 on that.

9 Q. Are these wells currently producing  
10 oil?

11 A. They are all plugged and abandoned.

12 Q. Did you find any information at all,  
13 whether there was any type of communication  
14 between, say, the Flint No. 1 and the Medio No. 1  
15 wells shown on the east side or the two  
16 easternmost wells?

17 A. We have no information in that regard.  
18 Let me make one correction. There is a well on  
19 Exhibit 3 shown in green, which is called the  
20 Bowling Federal 5-22. That is a water disposal  
21 well used by the Entrada Unit. And it is a -- it  
22 is disposing of water into the Mancos Interval.

23 Q. But you're essentially saying that you  
24 have no information at all to say whether there's  
25 any communication between any of those Mancos

1 wells?

2 A. That's correct. I have no information  
3 with respect to communication.

4 Q. How long did these wells produce?

5 A. In rough terms they were drilled in --  
6 I think the majority of them were drilled in 69,  
7 somewhere in that range. And some of them  
8 essentially produced for a couple of months.

9 The noted exception would be the  
10 Federal Media 7, which is in the southwest of the  
11 northeast quarter of Section 22, which produced a  
12 little over 20,000 barrels of oil from a natural  
13 completion before it ceased production and  
14 eventually was plugged.

15 Q. Do you have any information at all,  
16 either core data or any of that kind of  
17 information as to whether -- as to how tight the  
18 formation is?

19 A. I do not. I know that there were some  
20 side-wall cores taken, but I don't have that  
21 information.

22 Q. Do you have any information whether  
23 there's any natural fracturing in this area?

24 A. I have an opinion. My opinion is that  
25 Federal Media 7 probably being a natural

1 completion would not have produced that much oil  
2 absent fracturing. The well log quality is  
3 extremely poor.

4 But that is merely a qualitative kind  
5 of analysis. I have no hard data to substantiate  
6 that.

7 Q. Mr. Dunn, what kind of drilling  
8 activity -- or let me ask this a different way.  
9 How much further drilling would you have to have  
10 out there before you could determine whether  
11 640-acre or 160- or 320-acre spacing would be  
12 appropriate?

13 A. Well, I don't know if I can answer that  
14 question directly. I would say that in the  
15 two-year temporary period, we would attempt to  
16 define just that issue and to be able to come  
17 back to the Division at the end of that period  
18 and provide information that if we want to  
19 continue with 640s would justify that.

20 Q. Why did you choose your proposed  
21 location to drill first?

22 A. Well, the primary reason is to test our  
23 theory that the fault located on that side of the  
24 block of acreage could have created substantial  
25 fracture in that area.

1           Q.       Where would your second objective be,  
2 or do you have that yet?

3           A.       Well, it would be determined based on  
4 the results of that first well. If we drilled in  
5 and found a fully well developed fracture system  
6 along that fault, I would recommend that we  
7 continue to extend along that fault trace.

8           Q.       Assuming that you obtain favorable  
9 information from this proposed location in  
10 Section 32, where would you recommend that a  
11 second well be drilled?

12          A.       Well, there's several possible ways to  
13 go. You could go north into 29. You could go  
14 into Section 20, 21. You could choose to go  
15 south into Section 5 of 18 North, 3 West.

16                   In general I'd say in a north-south  
17 direction would be my offhand feeling.

18          Q.       Mr. Dunn, would you propose to do some  
19 kind of interference testing between the wells  
20 if, say, assuming the first well is a successful  
21 well and you continue developing this area, do  
22 you have plans to do interference testing to  
23 determine what actual drainage is?

24          A.       Well, we don't have firm plans at this  
25 point, but I certainly would think it would be

1     reasonable to do some interference testing to  
2     help us evaluate the nature of the reservoir and  
3     the expected communication across the 640-spacing  
4     areas.

5           Q.     Your Exhibit No. 2, Part 3 shows that  
6     you have 94 percent, 94.11 percent of federal  
7     acreage. Have you had any meetings with the  
8     Bureau of Land Management regarding the proposal  
9     here today?

10          A.     We have proposed -- yes, we have. We  
11     have proposed an exploratory unit to coincide  
12     with this pool area. It's the same boundaries.

13          Q.     But you're proposing to the BLM a  
14     federal exploratory unit. Have you also proposed  
15     to the BLM the 640-acre spacing?

16          A.     No, not per se. If the unit is  
17     approved, at that point the spacing due to the  
18     pooling of interests within that unit would not  
19     be an issue to them.

20          Q.     In terms of future development, it  
21     would be an issue, wouldn't you say so?

22          A.     It would be an issue in the sense that  
23     they would want us to fully develop that unit.  
24     As long as we can show them we're fully  
25     developing that unit with even one well, I think

1 they would be satisfied.

2 Q. Now, you stated with respect to Exhibit  
3 No. 4, that's your economic exhibit, that that  
4 was not designed at all to reflect any type of  
5 opinion on drainage or any of that sort of thing;  
6 is that correct?

7 A. Well, it does reflect -- it does not  
8 reflect an opinion as to what we might drain in  
9 this area. It is by its creation, it does assume  
10 a drainage for each case. But no, it's not  
11 intended to reflect that we will drain 160, 320,  
12 or 640 in our proposed pool area.

13 Q. The crux of your case is really based  
14 on Exhibit No. 4; isn't that true?

15 A. I'm not sure I understand what you're  
16 asking.

17 Q. Well, you're saying that, as I  
18 understand, that 640-acre spacing is optimum not  
19 because of drainage but because of economics; is  
20 that correct?

21 A. What I'm saying, I hope I'm saying this  
22 with Exhibit No. 4, is that we believe based on  
23 what we know at this point that 640-acre spacing  
24 makes sense to us economically to justify going  
25 out there and starting the initial drilling.

1           Q.       Do you have a number of leases out  
2 there, Mr. Dunn, that have expiration dates  
3 within the next two years?

4           A.       I cannot answer that. I don't know.

5           Q.       Let me ask you --

6           A.       I've got before me a listing of unit  
7 acreage that I cannot confirm the accuracy of it,  
8 but it does show a range of expiration dates from  
9 93, mid-93, up to 1998.

10          Q.       The unit agreement would hold those  
11 leases if it's approved by the Bureau of Land  
12 Management?

13          A.       That's correct, as long as there's  
14 diligent development under the terms of the unit.

15          Q.       And it doesn't make any difference  
16 whether spacing is 40 acres or 640 acres?

17          A.       I think that's fair.

18          Q.       Let me ask you about the Rule No. 2 on  
19 Exhibit No. 1. As I understand it, a second well  
20 can be drilled in the proration unit if a well  
21 produces less than 50 barrels of oil per day and  
22 less than 300 Mcf per day. I mean, it's got to  
23 be dual tests; is that correct?

24          A.       That's the way I understand it, and  
25 that's after 180 days of prior production. And I

1     assume -- I was not involved in the committee  
2     that developed these rules, but I assume Al Greer  
3     could speak to that when he testifies. I think  
4     it's reasonable.

5           Q.     Under what circumstances can a person  
6     ask for a nonstandard proration unit outside of  
7     this rule? In other words, suppose somebody  
8     wanted to ask for an exception to standard  
9     proration rules, is it your contemplation that an  
10    application would be made to the Oil Conservation  
11    Division and ask for reduced spacing on the basis  
12    of geology or some other criteria?

13          A.     I'm not sure I understood that.

14          Q.     Assuming these rules were adopted by  
15    the Oil Conservation Division and assuming that  
16    640-acre spacing would be adopted, how would an  
17    operator ask for an exception to those 640-acre  
18    spacing rules?

19                 And let me give you an example. Let's  
20    just say someone wanted to ask for 160-acre  
21    spacing; how would that be done?

22          A.     There's no provision for that in here.  
23    That's, I think, covered by the temporary nature  
24    of the rules to allow time to develop this on a  
25    larger spacing to ensure that that kind of thing

1 doesn't happen in the interim and create  
2 competitive pressure to drill it on 160s before  
3 we've had time to determine what might be an  
4 optimum spacing.

5 Q. Well, suppose you only drill the first  
6 well and maybe a second well and somebody else  
7 wants to drill a well out there and develop their  
8 own acreage. These rules shouldn't prevent  
9 someone from drilling their own leases; isn't  
10 that correct?

11 A. That's correct.

12 MR. STOVALL: Let me jump in here and  
13 say with respect to a nonstandard proration unit,  
14 the Division has an established practice for  
15 that. And I will express my opinion, as the  
16 Division counsel, that such an application would  
17 be handled in the same way as any other  
18 nonstandard proration unit would.

19 These rules aren't unique in that  
20 regard. The applicant can come in and justify  
21 their nonstandard proration unit just as they  
22 would in any other pools.

23 Does that answer your question? Your  
24 question is as to the procedure?

25 MR. PADILLA: I guess that answers my

1 question.

2 Q. (BY MR. PADILLA) I guess the question  
3 I did want to know is someone, a lease owner out  
4 there who did not enter into the unit agreement  
5 that you're proposing, could drill his own wells  
6 out there irrespective of the unit agreement;  
7 correct?

8 A. That would be my understanding.

9 Q. Now, in terms of -- you used a phrase  
10 here, competitive -- you didn't want some type of  
11 competitive advantage until you figured out what  
12 spacing was appropriate?

13 A. I didn't use the word "advantage."

14 Q. I don't think you did. But you used  
15 the word competitive with something.

16 A. Right. What I was trying to convey is  
17 that I could see a danger in having too dense a  
18 drilling too quick, and it could result, it could  
19 result in drilling unnecessary wells.

20 Q. You're not proposing that Merrion Oil &  
21 Gas should be the only operator in this area?

22 A. No.

23 MR. PADILLA: I don't think I have  
24 anything further, Mr. Examiner.

25 EXAMINATION

1 BY EXAMINER CATANACH:

2 Q. Mr. Dunn, what's the advantage of  
3 spacing a whole unit area on 640 as opposed to  
4 drilling a well and stepping out and extending  
5 the pool boundaries as normally done by the  
6 Division?

7 A. Well, the primary advantage is to  
8 prevent somebody coming in and drilling on a  
9 denser spacing a couple of proration units away,  
10 maybe more than a mile away from the existing  
11 pool but still within our area of interest, and  
12 in creating a situation where you've got a  
13 smaller spacing.

14 And if you're successful in those  
15 efforts, it would require that those operators  
16 who have drilled on a larger spacing would have  
17 to drill infill wells that may or may not be  
18 necessary in order to protect themselves from  
19 drainage.

20 Q. Why was the proposed pool boundary  
21 contracted from your original application?

22 A. The primary reason was that in  
23 discussing the two-township area with the oil  
24 division, they had concerns about the size of the  
25 area and the lack of data, which we freely admit,

1 the lack of data to indicate what proper spacing  
2 is.

3 So we felt we could, you know, live  
4 with a smaller area and still test our idea and  
5 still be protected from the, as I put it earlier,  
6 competitive drilling possibilities.

7 Q. The proposed pool boundary has its  
8 basis in part in geologic evidence or geologic  
9 factors?

10 A. That is correct, only in the sense  
11 that, you know, it covers an area that we feel we  
12 have a geologic idea. I don't want to lead you  
13 to believe that that is a magic boundary that  
14 would condemn everything outside there. We just  
15 don't know.

16 It could be that both townships, the  
17 entire thing could be productive in the fractured  
18 Mancos Shale. But geology did play a role in the  
19 sense that we went to an acceptable contraction.

20 Q. Mr. Dunn, what's the spacing in other  
21 Mancos pools in the San Juan Basin?

22 A. It varies, but I'm familiar with Rio  
23 Puerco, which is 320-acre spacing. I believe in  
24 the San Isidro Shallow Horizontal Unit, there's a  
25 provision where you can go to 640s.

1           In Gavilan Mancos, I believe it's  
2   640-acre spacing with a provision for or allowing  
3   two wells within that 640-acre area except in a  
4   buffer zone bordering Puerto Chiquito and the  
5   Canado Hitos Unit area. I believe Puerto  
6   Chiquito is 640 acres.

7           Q.     So basically in other Mancos pools in  
8   the San Juan Basin, it's effectively 320-acre  
9   spacing?

10          A.     Well, I would say that varies because  
11   the Puerto Chiquito, I think, if you look at the  
12   actual drilling there, in actuality the way  
13   they've drilled it, the spacing is larger than  
14   640. So there's an exception. But other than  
15   that, in general, 320s, yes.

16          Q.     Do you feel like your area has  
17   different geologic properties than these other  
18   Mancos areas?

19          A.     Well, we just don't know. I would  
20   assume that they could be similar. In fact, I  
21   would, you know, speculate they probably are.  
22   But we don't know, and we certainly, what we  
23   would propose is that temporarily we be allowed  
24   to take a look at that issue and then come back  
25   to you and justify what the proper spacing should

1 be.

2 Q. You mentioned, I believe, a well in  
3 Section 22, the No. 7, that produced some 20,000  
4 cumulative barrels of oil?

5 A. That's correct.

6 Q. How long did that well produce?

7 A. It was on the range of three or four  
8 years, something like that.

9 Q. Why can't you use the data from that  
10 well to determine a spacing, to determine a  
11 drainage?

12 A. Well, I guess there's probably several  
13 issues. One, we don't know how the well was  
14 handled during the completion other than what is  
15 reported in the records, so it's difficult for us  
16 to say whether that well is representative of the  
17 area.

18 It could be that they had, even though  
19 they had fractures, it could have been severely  
20 damaged by drilling it with mud instead of, say,  
21 aerated fluid. That's a possibility.

22 There's no pressure tests, interference  
23 testing, or anything of that nature available to  
24 us to help us determine areal extent.

25 Really about the only conclusion I

1     could draw from that data is that the significant  
2     oil was produced in my view from Mancos, and it  
3     probably had to come from fracturing.

4             But it doesn't really help me determine  
5     how far out that well was draining. I just don't  
6     know.

7             Q.     With respect to the proposed rules,  
8     were you on the committee that initially  
9     developed these rules?

10            A.     No, I was not. Members of that  
11     committee were Mobil, Amoco, Mesa Grande, Mallon,  
12     and Benson Monte Greer Drilling Corporation, in  
13     which Al Greer is here today to speak to that  
14     committee and its deliberations.

15            Q.     Can you tell me what the purpose of  
16     that committee organization was and what they  
17     were supposed to do and --

18            A.     Well, it's my understanding that this  
19     committee came about shortly after a period of  
20     time where there was a lot of conflict concerning  
21     the development of the Gavilan area. And there  
22     was a lot of disagreement about how that should  
23     be properly spaced and drilled and it being a  
24     fractured Mancos shale pool.

25                   And this committee was brought together

1 as a combination effort of the OCD and industry  
2 and particularly those companies that have been  
3 involved in that area to try to come up with some  
4 sort of a strategy or a reasonable way to develop  
5 fractured Mancos shale in general to allow an  
6 orderly development that would prevent waste and  
7 protect correlative rights.

8 Q. Are the rules that you proposed here  
9 today, are there any significant differences  
10 between these and the ones the committee came out  
11 with, or are these the ones essentially that the  
12 committee came out with?

13 A. They're essentially the same. One  
14 change that we proposed was that in Rule 3  
15 there's a requirement for a directional survey of  
16 any well drilled closer than 1090 feet to a  
17 proration unit boundary before an allowable is  
18 assigned to it.

19 The reason for that, I would suspect,  
20 is that deviation from 1090 could easily exceed  
21 100 feet at a bottom-hole location. So you could  
22 be closer than 990 feet to an outer boundary at a  
23 bottom-hole location.

24 We added the provision that the  
25 requirement for the directional survey could be

1 waived by the director upon written consent by  
2 the offset operators.

3 The reason for that being it may be  
4 that you may be offsetting -- you may be the  
5 offsetting operator. And it may not be of  
6 concern to you to run that log and you could save  
7 some money by not having to run it if it was  
8 mutually agreeable.

9 Q. These rules, Rule No. 2 is really  
10 effectively giving you authority for 320-acre  
11 spacing. I mean, it provides for an infill well;  
12 is that your understanding?

13 A. I think that's essentially correct in  
14 the case where you drill a doggie well, one  
15 that's less than 50 barrels of oil a day and less  
16 than 350 Mcf of gas a day.

17 Q. Do you know what the significance of  
18 those two figures are, 50 barrels a day and 350  
19 cubic feet -- Mcf a day?

20 A. I do not, and I'll defer that to Al  
21 Greer. I think it's, you know, a reasonable  
22 number, though. I certainly have no problems  
23 with those numbers.

24 Q. Rule No. 2 also contains a provision  
25 where a nonstandard proration unit would have to

1 be published on the hearing docket. That's a  
2 little bit more stringent than our current  
3 rules. What is your understanding about that  
4 provision? Do you know why that was put in  
5 there?

6 A. I don't know why it was made more  
7 stringent.

8 EXAMINATION

9 BY MR. STOVALL:

10 Q. From reading that provision, let's see  
11 if this would be your understanding, Mr. Dunn, is  
12 that it would appear that perhaps, maybe Mr.  
13 Greer can clarify this as having been on the  
14 committee, but with no objection, no operators  
15 objected within 20 days after being notified or  
16 10 days after -- does that appear to be an  
17 alternative procedure or two different ways to  
18 object?

19 I'm not sure I understand how we would  
20 implement that. Would we put everyone on the  
21 docket, or would we put select ones on the docket  
22 and if nobody objected within 10 days, then it  
23 could be approved administratively? How would  
24 you interpret that? Or would you say that it  
25 probably should be clarified?

1           A.       I guess, I'm certainly not an expert in  
2 why the committee came up with this. But what  
3 I'm reading here is that a nonstandard proration  
4 unit resulting for a correction in land survey  
5 may be approved administratively.

6           Q.       That sentence addressed the fact that a  
7 lot of those surveys --

8           A.       Right.

9           Q.       -- in the San Juan Basin are not  
10 640-acre sections; is that correct? Is that your  
11 understanding?

12          A.       That's my interpretation of that  
13 provision there. And then it goes on to say, "To  
14 obtain such approval, the applicant shall furnish  
15 the director with the appropriate plats and  
16 request the application be published on the  
17 hearing docket as an administrative application."

18                 And then it goes on to provide that,  
19 "If written consents are received or no offset  
20 operator has objected to the nonstandard unit,"  
21 and I assume it refers to for that reason within  
22 20 days --

23          Q.       Let me ask you another question.  
24 Looking at that I have some concerns with the way  
25 that's written, as far as publishing it on a

1 docket and then treating it administratively. I  
2 think once you put it on a docket, you've got to  
3 give people the opportunity to appear at a  
4 hearing.

5           What would be your opinion, from an  
6 operator's standpoint, as going to a more normal  
7 procedure more consistent with the OCD practices,  
8 within the tolerance you go administrative unless  
9 you get an objection and outside the tolerance  
10 you go to hearing?

11       A.     I have no objection to that  
12 whatsoever. I think I should point out to you  
13 what we did here was try not to deviate too much  
14 from the committee's recommendations because we  
15 felt like they did a lot of work and they had a  
16 basis for it and that it was a work product that  
17 perhaps the Division would look on favorably.

18           But we have no objection to, you know,  
19 altering that procedure to coincide with the more  
20 usual practice of the Division.

21       Q.     Let me ask you another question, which  
22 may be more specific to this specific pool. Are  
23 you familiar enough with the land out there and  
24 the surveys to have an opinion as to whether  
25 there are going to be any grossly

1 out-of-proportion units to which this would  
2 apply, say, greater than 648 or 650 acres or less  
3 than 632?

4 Are there any major survey deviations  
5 out here as there occur in other parts of the  
6 basin?

7 A. I don't think I could answer that. I  
8 don't know.

9 Q. Okay.

10 A. I could tell you that from the summary  
11 of the acreage, it does not appear so. The  
12 summary of the acreage, namely that we're adding  
13 up a number, 17 full sections for this pool area,  
14 comes out fairly close to what you would  
15 calculate for 640-acre per section. So I  
16 wouldn't think so in the pool itself.

17 MR. STOVALL: Mr. Roberts, do you  
18 have any knowledge, or are you comfortable enough  
19 to --

20 MR. ROBERTS: I don't have any  
21 knowledge about it. And just let me suggest that  
22 both of you may get more satisfaction out of the  
23 questions you ask if you would direct them to Mr.  
24 Greer in terms of what the proposed rules say. I  
25 think he's going to be able to answer the

1 questions more readily than Mr. Dunn is.

2 Although Mr. Dunn has introduced the  
3 exhibit, he just did that for the purpose of  
4 getting it into the record early. And so if that  
5 would work with you, that would probably be more  
6 efficient.

7 MR. STOVALL: Actually I asked Mr. Dunn  
8 because he hasn't seen them and really hasn't had  
9 a chance to understand them. I'm interested in  
10 how he interprets them reading them kind of  
11 fresh. I appreciate that.

12 I have no more questions on that  
13 issue. I do have some other questions but not on  
14 that.

15 FURTHER EXAMINATION

16 BY EXAMINER CATANACH:

17 Q. Mr. Dunn, you do agree with all of  
18 these rules with the way they're written and you  
19 don't have any problem adopting them for the  
20 pool?

21 A. That's correct, I do not.

22 EXAMINER CATANACH: Okay. Go ahead,  
23 Bob.

24 FURTHER EXAMINATION

25 BY MR. STOVALL:

1           Q.       While we're on the rules, let me go  
2 back to -- well, let me ask you a preliminary  
3 question first. This is a different approach for  
4 the Division to space a large area on less  
5 density, greater well spacing.

6                   Prior to drilling wells in establishing  
7 information, the practice is to go from small and  
8 build up. And this is kind of changing that; is  
9 that correct?

10          A.       That is correct. The usual procedure  
11 is the opposite.

12          Q.       Am I correct in understanding in what  
13 you've said is that the reason that Merrion is  
14 proposing this and is supported by the other  
15 operators is given the knowledge of fractured  
16 Mancos in general there's a recognition that you  
17 can end up with too dense a well spacing early on  
18 and it's better to -- it's in the interest of  
19 conservation to prevent the drilling of  
20 unnecessary wells to start large and then look to  
21 see if you need to go smaller?

22          A.       I think that's a good summary. The  
23 fracture Mancos shale is by its nature a special  
24 animal. It produces from fractures. And you're  
25 capable of draining large areas with one well.

1 And so it can be easily over-drilled if you're  
2 not careful.

3 So in recognition of the nature of the  
4 reservoir, it's not usual, so therefore we think  
5 it should be treated a little differently than  
6 you would normally for a regular sandstone  
7 reservoir, say.

8 Q. And if I understand the term  
9 competitive drilling or competitive operations,  
10 as you've used it, essentially what you're saying  
11 is if you drill a well and it offsets -- and your  
12 offset neighbor looks at it and says, "That's a  
13 good well. I'm probably getting drained," then  
14 that neighbor has to go drill a well on whether a  
15 spacing is appropriate that for that area because  
16 that's how the ownership of the production is  
17 determined; is that correct?

18 A. That's correct.

19 Q. And if that density is smaller, if that  
20 spacing is smaller, say if it's 40 or 80 or even  
21 160, if you drill a good well on that smaller  
22 spacing, then whoever offsets you may even under  
23 federal requirements may be obligated to drill  
24 another well just to protect their legal  
25 interests and not necessarily to recover

1 additional reserves; is that correct?

2 A. I think that's right.

3 Q. Now, you have proposed a federal unit  
4 with boundaries which are the same as your  
5 proposed pool; is that correct?

6 A. That is correct.

7 Q. If that unit is approved -- first off,  
8 do you know whether you're proposing a divided or  
9 undivided unit, or do you understand the  
10 difference? I realize that's getting into land  
11 questions and you're not a landman. But do you  
12 understand the difference?

13 A. I do not know what we've applied for.  
14 I would defer that question to Al Greer; he does  
15 know.

16 Q. Is it your understanding from an  
17 operator's standpoint that if the unit agreement  
18 is approved and it is determined that 640 is too  
19 wide, that the problems normally inherent in  
20 down-sizing spacing units can be addressed  
21 through the unit agreement to provide that  
22 equities will be protected through the unit  
23 agreement if increased density is going to be  
24 appropriate?

25 A. I don't know if I'm qualified to answer

1     that question.

2           Q.     Okay. With respect to Rule No. 3, it  
3     provides wells 990 from the outer boundary and 10  
4     feet from an interior line. I know there's been  
5     some discussion in the northwest about reducing  
6     the interior line distance requirements from, I  
7     think it's 330 feet in most cases, to some lesser  
8     distance at least with respect to quarter-quarter  
9     sections. Are you aware of that, or do you  
10    understand the general concept of that?

11          A.     Yes. I think isn't it -- well, it  
12    depends on whether you're gas well or oil well  
13    spacing.

14          Q.     Correct.

15          A.     But in general this 10 feet is much  
16    less than what is provided for in statewide  
17    spacing.

18          Q.     And the objective here, if I understand  
19    correctly, is to give you more flexibility as to  
20    drilling locations within a proration unit --

21          A.     That is correct.

22          Q.     -- to not narrow your little window.

23                 Given the fact that you don't know what  
24    you're going to find out here when you start  
25    drilling on this, what would your opinion be

1 with, say, looking at quarter sections? Probably  
2 not likely to go any smaller than 160 in this  
3 area, isn't that correct, that you wouldn't be  
4 interested in drilling on anything less than 160?

5 A. Well, I couldn't envision it going even  
6 to 160s frankly, but I would think that might be  
7 a reasonable minimum.

8 Q. Would it be appropriate perhaps to say  
9 that -- revise that to say not closer than, say,  
10 330 feet to a quarter section line to keep you  
11 within a window within a quarter section so if  
12 you do infill drilling or down-sizing and you've  
13 got a little more centralization within the  
14 quarter sections; would that make sense?

15 A. Well, I have -- the 10 feet gives you a  
16 bigger window to pick your location without  
17 having to come back to the Division to request an  
18 exception. It's just to me a time saver.

19 I certainly have, if the Division feels  
20 strongly they want to make it consistent with  
21 prevailing rules, I have no problem with that.  
22 It would just require that, you know, we would  
23 have to request an exception to that for whatever  
24 reason.

25 Q. The concern is not making it consistent

1 so much with the existing rules --

2 A. With future spacing?

3 Q. -- but thinking in terms of the fact  
4 that there may be some down-sizing or infill  
5 drilling.

6 A. Oh, I see.

7 Q. And I'm not concerned with respect to  
8 within a quarter section and quarter-quarter  
9 section boundaries but within a quarter section.  
10 Does it give you enough flexibility to, say, go  
11 330 from the interior line of a quarter section,  
12 would you think --

13 A. Well --

14 Q. -- or is there another distance greater  
15 than 10?

16 A. Well, offhand I think it would give us  
17 enough flexibility, but again I don't fully  
18 comprehend why 10 feet, to be quite honest, and I  
19 think that's something that the committee came up  
20 with. It's certainly something that we could  
21 support.

22 But I would defer to Mr. Greer to maybe  
23 give you some insight as to why 10 feet and not  
24 330, say. I understand with you're saying, if  
25 you space it now with an interior line, that

1 bears some resemblance to future possible  
2 spacing. You don't have problems with wells  
3 located in unusual spots for that spacing.

4 Q. You could get real cluster drilling  
5 actually with a 10-foot margin if you did some  
6 infill?

7 A. Sure could.

8 Q. Looking at Exhibit 2, Part 1, your map,  
9 I think you've indicated that you've given notice  
10 to everybody in the two townships plus some  
11 surrounding lands; is that correct?

12 A. That's correct.

13 Q. Your scale here or your legend does not  
14 identify the red, which apparently is Indian  
15 allotted, is that correct, the red stipple or  
16 orange, I guess?

17 A. Yeah. There's an orange stipple that  
18 is Indian allotted, that's correct.

19 Q. Do you know if those are leased or  
20 unleased tracts?

21 A. I do not know. Do not know.

22 Q. Your notice then, I notice the Bureau  
23 of Indian Affairs is on your notice list. Is  
24 that to whom you gave notice for the purpose of  
25 those tracts?

1           A.       I believe that's correct.

2           Q.       I think that's it with one -- let me  
3 just look real quick at my notes.

4           A.       I might say that it says on Exhibit 5,  
5 Part 1, which is the listing, the notification  
6 list under Bureau of Indian Affairs, that all  
7 Indian allotted lands are listed next to Bureau  
8 of Indian Affairs. That would indicate to me  
9 that our intent was to notify the Bureau of  
10 Indian Affairs as a representative for those  
11 allotted leases.

12          Q.       I would express some concern  
13 particularly within this narrower area that you  
14 may not have given notice to the owners of  
15 working interest in the Indian allotted leases if  
16 in fact any of them are leased, and that's  
17 something that you might be concerned with.

18                    Another issue I'll raise with respect  
19 to notice and, Mr. Roberts, I direct your  
20 attention to it as well, I'm assuming you have  
21 not given notice to royalty owners but for the  
22 fact that you've given notice to the Bureau of  
23 Land Management really as a working interest  
24 owner in the unleased tracts; is that correct?

25          A.       That is correct. We notified the

1 Bureau of Land Management due to the unleased  
2 acreage.

3 Q. According to your exhibit, the Bureau  
4 and the State are really the royalty owners in  
5 all of the lands; is that correct?

6 A. That's correct, within the pool  
7 boundaries, the state and the feds.

8 Q. Are there at the present time any  
9 Mancos wells operating with the possibility of  
10 outstanding Division orders whose spacing might  
11 be affected by this, or did I hear you correctly  
12 that all Mancos wells have been abandoned?

13 A. That's correct, with the exception of  
14 the disposal well which we operate. There are no  
15 productive Mancos producers in this area.

16 Q. And I assume there's no Division order  
17 on the disposal well?

18 A. I don't believe so.

19 MR. STOVALL: I would advise you, Mr.  
20 Roberts, in light of the Uden order with regard  
21 to spacing, my interpretation in taking a fairly  
22 narrow approach is that the provisions of that  
23 decision from the Supreme Court requiring notice  
24 to royalty owners probably could be limited to  
25 royalty owners in existing spacing units for

1     which there is a Division order in which there is  
2     vested interest, if you will, in the spacing  
3     union.

4             However, since we have not yet adopted  
5     rules with regard to that, I would recommend that  
6     you review and discuss the risks of not notifying  
7     royalty owners, if any, and presumably you could  
8     apply the same interpretation to overrides in the  
9     entire area. I'm not going to make any  
10    recommendations that additional notice be given,  
11    but it certainly is a consideration.

12            And the other thing that I would ask is  
13    that you just simply prepare an affidavit to the  
14    effect that Mr. Dunn has testified with respect  
15    to having given notice to the parties listed on  
16    5, Part 1 and 5, Part 2, just stating that notice  
17    is in compliance.

18            MR. ROBERTS: He's testified to that.

19            MR. STOVALL: He has testified to  
20    that. I'm kind of establishing a practice of  
21    having an affidavit associated with the notice in  
22    the files.

23            MR. ROBERTS: I thought that was an  
24    alternative to the rule.

25            MR. STOVALL: Well, technically it is,

1 but I would appreciate an affidavit to put it  
2 together.

3 And I have no further questions.

4 EXAMINER CATANACH: Is there anything  
5 else of that witness?

6 MR. ROBERTS: Mr. Examiner, I have one  
7 question on redirect.

8 FURTHER EXAMINATION

9 BY MR. ROBERTS:

10 Q. Mr. Catanach asked you about the well  
11 that produced 20,000 barrels. Is it possible  
12 that that well drains greater than 640 acres?

13 A. It's possible.

14 MR. ROBERTS: I don't have any other  
15 questions.

16 EXAMINER CATANACH: Anything else? The  
17 witness may be excused.

18 MR. ROBERTS: Call Doug Endsley.

19 DOUG ENDSLEY

20 Having been duly sworn upon his oath, was  
21 examined and testified as follows:

22 EXAMINATION

23 BY MR. ROBERTS:

24 Q. Would you state your name and your  
25 place of residence for the record?

1           A.       Doug Endsley. I live in Farmington,  
2 New Mexico. For the record, since I didn't bring  
3 a card, the spelling is E-n-d-s-l-e-y.

4           Q.       What is your occupation?

5           A.       I'm a petroleum geologist.

6           Q.       How long -- who are you employed by?

7           A.       Merrion Oil & Gas.

8           Q.       How long have you been employed by  
9 Merrion?

10          A.       Nine years.

11          Q.       Could you give us a general description  
12 of your job responsibilities?

13          A.       I'm the geology manager. I oversee all  
14 geological operations in the company.

15          Q.       Are you familiar with the activities  
16 and operations of Merrion Oil & Gas in the area  
17 that is the subject of this application?

18          A.       I am.

19          Q.       And are you familiar with this  
20 application?

21          A.       I am.

22          Q.       Have you testified on any prior  
23 occasions before the Oil Conservation Division?

24          A.       I have not.

25          Q.       Would you briefly describe your

1 post-high school educational background?

2 A. I have a BS from Fort Lewis College in  
3 Durango.

4 Q. And briefly describe your occupational  
5 background subsequent to the completion of your  
6 formal education.

7 A. I've worked for an independent  
8 geologist for three years, and I've worked for  
9 Merrion for nine.

10 Q. Do you have any professional  
11 certifications or registrations or affiliations?

12 A. I'm a Certified Professional  
13 Geologist. That certification number is 4703.

14 Q. What have been your responsibilities  
15 with respect to this area that is subject to this  
16 application?

17 A. I've pretty much come up with the  
18 geologic model that we're trying to explore  
19 here.

20 MR. ROBERTS: Mr. Examiner, I would  
21 tender Mr. Endsley as an expert in the field of  
22 petroleum geology.

23 EXAMINER CATANACH: Mr. Endsley is so  
24 qualified.

25 Q. (BY MR. ROBERTS) Mr. Endsley, would

1 you refer to what's been marked as Applicant's  
2 Exhibit No. 6 and identify it?

3 A. Exhibit No. 6 is a type log from the  
4 Media Entrada Unit. And its purpose is to  
5 demonstrate the vertical limits that the  
6 committee set out in Rule No. 6 in Exhibit No. 1.

7 Q. Would you identify the well in the  
8 location?

9 A. It's the Media Entrada Unit No. 3, and  
10 I notice on the exhibit that it shows it's in the  
11 southwest of the northwest of Section 14. It's  
12 actually the northwest of the southwest of  
13 Section 14, 19 North 3, West.

14 Q. And while we're talking about the  
15 location of the well, can you refer to Exhibit  
16 No. 7 and point out the location of the well on  
17 that exhibit?

18 A. Well, I suppose I can, for the sake of  
19 you guys down at the other end of the table, in  
20 the southwest quarter of Section 14, you'll see a  
21 little M-E-U No. 3 there in the northwest portion  
22 of that quarter section. And that's the well  
23 that I've used as a type log.

24 MR. STOVALL: The injection well or the  
25 one next to it?

1           THE WITNESS: It's the injection well,  
2 but let me clarify that. That was an Entrada  
3 injector, not a Gallup injector.

4           MR. STOVALL: I'm mostly concerned with  
5 the symbol. That helps to identify it.

6           THE WITNESS: Okay.

7           Q.       (BY MR. ROBERTS) Now, Mr. Endsley,  
8 referring again to Exhibit No. 6, will you,  
9 please, identify the significant markers,  
10 geologic markers there?

11          A.       Okay. What I've done is I've just gone  
12 in and highlighted the main formations within the  
13 interval. The first one is the Point Lookout.  
14 That's a fairly interpretive top. But that's  
15 where I've chosen to place it. The Mancos  
16 shale. I've got the 500 feet below the top of  
17 the Point Lookout that's set forth by the  
18 committee.

19                 I've got the Mancos A, Mancos B, Mancos  
20 C, and Mancos D. That terminology actually  
21 originated with Gary Williams in their Rio Puerco  
22 Unit. I've identified the Greenhorn and then the  
23 base of the Greenhorn.

24          Q.       Is the base of the Greenhorn Formation  
25 a point upon which there is agreement among

1 petroleum geologists?

2 A. That's correct, there's a large  
3 conductivity kick associated with the base of the  
4 Greenhorn that you can't see right here because  
5 I've got this black line blocking it off. But  
6 it's a well-known marker, easily identifiable.

7 Q. Now, you indicated that the top of the  
8 Point Lookout Formation is fairly interpretive, I  
9 think, is how you've characterized it. How did  
10 you identify the top of the Point Lookout?

11 A. Well, I just picked the largest sand  
12 body below the last coal in the Menefee. The  
13 Menefee is not shown on this particular exhibit.  
14 But by definition the Point Lookout is the first  
15 sand below the last coal in the Menefee  
16 Formation. And in essence I just stuck to that.

17 Q. How would you characterize the interval  
18 identified as the Rock Mesa Fractured Mancos  
19 Shale Formation in terms of porosity and  
20 permeability?

21 A. I haven't included a density log, but  
22 you can see in this area there is no inherent  
23 matrix porosity, and I'm assuming that there's no  
24 inherent matrix permeability. So consequently  
25 with that in mind, in order for these things to

1 produce, they should produce from fractures.

2 Q. Okay. What was the basis for selecting  
3 this interval to be designated as the Rock Mesa  
4 Fractured Mancos Shale Formation?

5 A. More than any reason was just to stay  
6 consistent with what the committee had come up  
7 with in 1988.

8 Q. In your opinion is it reasonable to  
9 define this formation by reference to this  
10 particular interval?

11 A. Yes.

12 Q. Now, I would like for you to refer to  
13 your Exhibit No. 7 and identify that exhibit.

14 A. Exhibit No. 7 is just a repeat of  
15 Exhibit No. 3 only I've included structure  
16 contour lines. And those are time structure  
17 contour lines from seismic control that we have  
18 in the area.

19 Q. Are the boundaries of the proposed pool  
20 illustrated on this exhibit?

21 A. That's correct.

22 Q. And how are they illustrated?

23 A. The heavy bold black line.

24 Q. And Exhibit No. 3 also showed this  
25 fault trace line. Mr. Dunn identified it. How

1 was that fault located?

2 A. We have seismic control that's not  
3 shown on this map. We have over 3,000 miles of  
4 seismic in this area. And the fault is  
5 well-defined. Where it's solid on this map, it's  
6 well-defined on the seismic; where it's dashed,  
7 the data quality is not quite as good and we're  
8 inferring it through there. We can see an  
9 offset, but it's not as clear as it is to the  
10 south.

11 Q. In what way does the data depicted on  
12 this exhibit justify the proposed horizontal  
13 boundaries of the pool?

14 A. In essence what I was trying to  
15 illustrate here was the steepening of the dip on  
16 the east side of the fault, which necessitates  
17 the fractures that we think we're going to be  
18 after. The geologic model is such that the  
19 down-thrown side of the fault we feel is more  
20 highly fractured than the up-thrown side of the  
21 fault.

22 So consequently we gave ourselves a  
23 little wider eastern edge to the pool boundaries  
24 than we did to the western edge. The western  
25 edge we in essence just picked a half a mile

1 limit to the west and said that, you know, that  
2 it's probably not as highly fractured on that  
3 side of the fault but we needed a buffer zone in  
4 there to test.

5 Q. Is there anything magic about these  
6 proposed boundary lines?

7 A. No, sir, there's not. This is purely a  
8 geologic concept, and it doesn't necessitate that  
9 this is the only place that it would be  
10 productive.

11 Q. Is it likely in your opinion that there  
12 are other subsurface faults outside the  
13 boundaries as illustrated on this exhibit?

14 A. Yeah, I know that there are.

15 Q. In your opinion do the proposed  
16 boundary lines in any way reflect on the  
17 potential productivity of those lands outside the  
18 boundaries?

19 A. No, I don't.

20 Q. Mr. Endsley, were Exhibits No. 6 and 7  
21 either prepared by you or at your direction and  
22 under your supervision?

23 A. That's correct.

24 MR. ROBERTS: I would move admission of  
25 Applicant's Exhibits 6 and 7.

1 EXAMINER CATANACH: Exhibits 6 and 7  
2 will be admitted as evidence.

3 MR. ROBERTS: I have no other questions  
4 of this witness on direct.

5 EXAMINER CATANACH: Mr. Padilla.

6 EXAMINATION

7 BY MR. PADILLA:

8 Q. Mr. Endsley, looking at your Exhibit  
9 No. 7, is the reason that you drew the contour  
10 lines through the upper half of the pool area  
11 through the fault line is that you didn't -- you  
12 weren't sure whether it extended that far north?

13 A. That's correct. We have, like I said,  
14 the data quality up there is starting to  
15 deteriorate. We think we can see offset in  
16 there, but we're not sure.

17 Q. You mentioned some seismic information  
18 upon which you based these contour maps or your  
19 contours. Did you have any seismic lines running  
20 through this area?

21 A. This area is inundated with seismic  
22 lines. This area was heavily shot by Flawn in  
23 1975 roughly in their search for Entrada fields,  
24 and we have access to all that data.

25 Q. In terms of drainage, does this

1 structure have anything to do with drainage?

2 A. Only in the sense that the structure  
3 may affect the degree of fracturing.

4 MR. PADILLA: I have nothing further.

5 EXAMINATION

6 BY EXAMINER CATANACH:

7 Q. Mr. Endsley, you said the top of the  
8 Point Lookout is somewhat subjective?

9 A. That's correct. It's interpretive.

10 Q. Do you think that's going to be a  
11 problem in this area as far as defining the pool  
12 limits? Or let me ask you this. Should the pool  
13 rules utilize this type log as a reference?

14 A. Well, if I can offer an opinion, I  
15 don't think that it was -- using the top of the  
16 Point Lookout wasn't necessarily the best marker  
17 to use. If it had been up to me, which it  
18 wasn't, I would have used the top of the Mancos  
19 Shale and some vertical distance below that since  
20 the Mancos Shale is a much more easily  
21 identifiable formation than the top of the Point  
22 Lookout.

23 The depositional nature of the Point  
24 Lookout is such that it doesn't necessarily have  
25 a distinct top in all parts of the basin.

1           Q.     Is it likely there's going to be any  
2 production encountered in the Upper Mancos  
3 portion?

4           A.     I would --

5           Q.     Above?

6           A.     I won't rule it out, but it certainly  
7 wouldn't be -- from what we've seen so far, it  
8 certainly wouldn't be a real strong possibility.  
9 And I think that's why they picked 500 feet below  
10 the top of the Point Lookout.

11                   This specific interval that I've  
12 identified as Mancos A through D is actually the  
13 equivalent of the Niobrara or the Gallup or any  
14 other terminology that you would want to use and  
15 it's traditionally the productive interval.

16          Q.     So it's possible you could have Mancos  
17 production out of your proposed pool boundary,  
18 the vertical limits of the pool?

19          A.     It's possible. It may not be probable,  
20 but it's possible.

21          Q.     Would you suggest using the top of the  
22 Mancos as the pool boundary, the top of the  
23 vertical limits?

24          A.     To me that makes more sense, but that's  
25 just an opinion. The reason I say that is from

1     experience over in another area in the basin, the  
2     Canyon Largo Unit, we have established some minor  
3     production below the base of the Point Lookout  
4     and above this particular limit that's been  
5     established here from the Mancos Shale.

6             But those are siltier, almost sandy  
7     areas that we're getting the production from, so  
8     they're not fractured. It's not fractured  
9     production per se.

10            Q.     Is it likely on the west side of that  
11     fault that you would have -- would it be  
12     significantly less production because it's less  
13     fractured?

14            A.     That's the theory that I'm subscribing  
15     to right now. I think that there's going to be a  
16     certain area along the fault that would be  
17     affected. The fault is not only exhibiting  
18     vertical displacement, but there's lateral  
19     displacement along the fault as well. And  
20     consequently you're going to have a little more  
21     fracturing take place because of the left lateral  
22     displacement along the fault.

23            So I believe that there will be an area  
24     along the up-thrown side of the fault that's  
25     fractured, but it's not going to be as highly

1 fractured as it would be on the down-thrown side  
2 of the fault. And that's well documented in the  
3 literature. I mean, this isn't something I just  
4 dreamed up; this is in the literature.

5 Q. It still could be productive on the  
6 west side?

7 A. It still could be, that's correct.

8 EXAMINER CATANACH: I believe that's  
9 all I have.

10 Bob, do you have anything?

11 MR. STOVALL: I did but I can't  
12 remember what it was. It wasn't important.  
13 Yeah, I do have one.

14 EXAMINATION

15 BY MR. STOVALL:

16 Q. Are you familiar with the San Isidro  
17 Unit Area --

18 A. I am.

19 Q. -- in the operations up there? Is this  
20 comparable to it? different? The fault goes in a  
21 different orientation, does it not, or the fold?

22 A. That's correct. This particular fault  
23 that we're chasing here is a north-south oriented  
24 fault. The fault in the San Isidro Unit is more  
25 of an east-west running fault.

1           Rather than actually offsetting the  
2       beds that they're producing, they have drape  
3       across that deep-seated basement fault and the  
4       rocks are broken accordingly. This is actually a  
5       vertical displacement through the interval that  
6       we're trying to produce or wanting to produce  
7       from.

8           Q.       So you think it will produce  
9       differently than that area, or can you draw any  
10      analogies from it that are helpful to you?

11          A.       The only analogy that I can draw is  
12      that it's the same package of rocks that they  
13      produce from that we're targeting here. As far  
14      as the mechanics of the production, I can't offer  
15      an opinion.

16          Q.       Just to clarify my own mind, your  
17      question with respect to the top, you've kind of  
18      got -- there were two parts to the question  
19      really: Number one, if I heard you correctly,  
20      the top of the Mancos, as you've marked it, is  
21      easier to identify in a log; is that correct,  
22      just pure identification?

23          A.       That's correct.

24          Q.       And you've also stated that there is  
25      the potential that there's some perhaps minor

1 production from the area between the top of the  
2 Mancos and the top of the A zone?

3 A. Actually it's between the top of the  
4 Mancos and the 500 feet below the Point Lookout  
5 top that the committee picked. We have had  
6 production within that interval in other parts of  
7 the basin. It's minor, but it has produced.

8 Q. Having expressed your opinion that the  
9 top of the Mancos would be a better marker, is  
10 that opinion based upon both of those factors,  
11 both the ease of identification and the potential  
12 for recovery from that zone?

13 A. That's my opinion.

14 MR. STOVALL: Okay. I have nothing  
15 further.

16 EXAMINER CATANACH: Anything further?

17 The witness may be excused.

18 MR. STOVALL: You didn't give Mr.  
19 Kellahin a chance.

20 EXAMINER CATANACH: I asked if there  
21 was anything further.

22 MR. KELLAHIN: I have a witness.

23 EXAMINER CATANACH: Let's take a couple  
24 of minutes here, Tom, before we start on this.

25 [A recess was taken.]

1                   EXAMINER CATANACH: Call the hearing  
2 back to order. And, Mr. Kellahin, you may  
3 proceed with your witness.

4                   MR. KELLAHIN: Thank you, Mr.  
5 Examiner. At this time I'd like to call Mr. Al  
6 Greer

7                   ALBERT R. GREER

8 Having been duly sworn upon his oath, was  
9 examined and testified as follows:

10                   EXAMINATION

11 BY MR. KELLAHIN:

12           Q.       Mr. Greer, would you, please, state  
13 your name and occupation?

14           A.       Albert R. Greer. I'm a petroleum  
15 engineer.

16           Q.       Where do you reside, sir?

17           A.       Farmington.

18           Q.       Are you one of the principals in Benson  
19 Montin and Greer Drilling Corporation?

20           A.       Yes, sir.

21           Q.       And does your company have a working  
22 interest position in the proposed area that  
23 Merrion seeks to have spaced by this Examiner?

24           A.       Yes, sir. We have an interest in the  
25 acreage identified as Jordan.

1           Q.     Have you had experience with fractured  
2 Mancos reservoirs in the San Juan Basin of New  
3 Mexico?

4           A.     Yes, sir.

5           Q.     Describe for us what particular areas  
6 that you draw that experience from.

7           A.     I've studied West Lindrith, Gallup,  
8 Dakota, West Puerto Chiquito, East Puerto  
9 Chiquito, Gavilan, and I made a cursory study of  
10 Rio Puerco.

11          Q.     Did you participate as an expert  
12 witness before the Commission in what is  
13 characterized as the Gavilan Mancos hearings?

14          A.     Yes, sir.

15          Q.     And you have made presentations to the  
16 Bureau of Land Management and to this Commission  
17 with regards to your own operations in the Canada  
18 Hito Unit?

19          A.     Yes, sir.

20          Q.     Is that fractured Mancos reservoir  
21 production?

22          A.     Yes, sir.

23          Q.     Have you published any technical papers  
24 with regards to Mancos reservoirs?

25          A.     Yes, sir.

1 Q. Describe for us what your publications  
2 are.

3 A. Well, I've coauthored papers for the  
4 AAPG, one ten, fifteen years ago, then another  
5 one last year on West Puerto Chiquito and little  
6 summary studies for the Geological Society in  
7 northwest New Mexico.

8 MR. KELLAHIN: Mr. Examiner, we tender  
9 Mr. Greer as an expert petroleum engineer.

10 EXAMINER CATANACH: Mr. Greer is so  
11 qualified.

12 Q. (BY MR. KELLAHIN) Mr. Greer, before we  
13 get into the specifics of the proposed rules and  
14 some of the details of your study, I'd like for  
15 you to give us an overview as a reservoir  
16 engineer of the reservoir characteristics that  
17 you in your opinion would have believed to be  
18 appropriate for the Mancos reservoir that this  
19 area is seeking to space.

20 What are the critical elements, and  
21 what is that description?

22 A. The potential productive zone here is a  
23 member of the Mancos formation, fractured shale.  
24 And the fractured shale on the east side of the  
25 San Juan Basin is characterized by low volumes of

1 oil in place. And it's extremely misleading to  
2 attempt to analyze the reservoir from the  
3 standpoint of productivity of wells.

4 A well, for instance, that produces a  
5 certain volume of oil from a sand reservoir will  
6 have an order of magnitude greater oil in place  
7 than a well with the same capacity producing from  
8 fractured shale. And this misleading  
9 characteristic has led to many problems with  
10 respect to spacing.

11 The wells will bring large areas where  
12 they're connected with a fracture system, and  
13 most of these pools have a very clear-cut  
14 fracture system within the pools. Some wells are  
15 well connected with the fracture system, some are  
16 not. But so far that's been a characteristic of  
17 all these pools.

18 Q. Does the matrix in the reservoir  
19 contribute significant oil to ultimate recovery  
20 in these fractured Mancos reservoirs?

21 A. Well, matrix porosity, as we ordinarily  
22 think of it, is like a sand porosity. And it's  
23 my opinion that that does not contribute to  
24 production in these fractured Mancos reservoirs.

25 Q. Can a knowledgeable reservoir engineer

1     such as yourself take information utilized from a  
2     fractured Mancos reservoir and apply conventional  
3     sand reservoir methodology to determining  
4     recoverable oil in the Mancos Reservoir?

5           A.     No, sir. It's just, as Steve Dunn  
6     said, it's just a different animal.

7           Q.     How do you as a reservoir engineer  
8     satisfy yourself then about appropriate spacing  
9     when you're dealing with a new area of potential  
10    Mancos production as proposed for the Rock Mesa  
11    area?

12          A.     Well, we found despite the fact that  
13    there is a wide range of recoveries on, say, a  
14    per well basis of wells in these different pools,  
15    there's a smaller range of recoveries on a per  
16    acre basis. And when we look at the pore volume  
17    of the reservoir, it's even more nearly similar,  
18    like an only 2-to-1 ratio of hydrocarbon pore  
19    space.

20          Q.     Does that information translate and  
21    become applicable to an area like the Rock Mesa  
22    that's proposed here?

23          A.     Yes, sir. What it means in general and  
24    in figures that we've come up with for solution  
25    gas drive, which is about the only type of

1 recovery we can expect in this area, we're  
2 looking at 5 to 6 percent of the oil in place as  
3 being recoverable.

4 And the oil in place runs from with  
5 hydrocarbon pore space roughly 1,500 to 3,000  
6 barrels an acre, somewhere around 1,000 to 2,500  
7 barrels an acre. And so this all means that  
8 we're looking at about 100 to 150 barrels an acre  
9 of recoverable reserves. And that's for high  
10 capacity wells, low capacity wells, they just are  
11 in that range.

12 Q. Let me direct your attention to Mr.  
13 Dunn's exhibit in which he has the spreadsheet on  
14 economics. It's Exhibit No. 4. Have you  
15 reviewed that spreadsheet prior to today's  
16 hearing, Mr. Greer?

17 A. Yes, sir.

18 Q. In your opinion is that an effective  
19 and economic way to space this particular area so  
20 that you have effective and efficient wells  
21 drilled at appropriate spacing?

22 A. Yes, sir. It shows very clearly that  
23 if one starts out on 320-acre spacing that the  
24 best you can look for is marginal economics. And  
25 it just doesn't make sense to start off with a

1 handicap in which there's no real incentive for  
2 an operator the make a profit. 640 acres, as he  
3 shows here, is the only way to start out.

4 Q. Mr. Dunn in the first line of his  
5 spreadsheet identifies a volume of oil recovery  
6 per well of 125 barrels.

7 A. Per acre?

8 Q. Yes, sir. Do you see that number?

9 A. Yes, sir.

10 Q. Is there a reasonable engineering basis  
11 for that number in your opinion?

12 A. Yes, sir. That's midway between 100 to  
13 150 barrels an acre that we found throughout the  
14 east side fractured Mancos reservoir for solution  
15 gas drive.

16 Q. Direct your attention to what we've  
17 marked as the BMG Exhibit No. 1. Is this  
18 information you have tabulated and prepared?

19 A. Yes, sir.

20 Q. What were you trying to determine when  
21 you prepared this?

22 A. I wanted to point out that individual  
23 wells that have produced large volumes of oil  
24 have not necessarily been underlain by very good  
25 oil reservoir or reservoirs with high volumes of

1 oil in place.

2 The range of recoveries of these Mancos  
3 Formation wells on a well basis runs in some  
4 areas from 15- to 20,000 barrels a well to as  
5 much as 1-million-and-a-half to 2 million  
6 barrels. That's two orders of magnitude  
7 difference from one area to the other.

8 Looking at the same areas on per acre  
9 recovery, they run like from 80 barrels an acre  
10 to 800 barrels an acre. And the 800 barrels an  
11 acre is where the reservoir is such that gravity  
12 drainage has contributed significantly to the  
13 recovery. That's the main difference.

14 Now, the hydrocarbon pore space  
15 covering these same areas is only a 2-to-1 ratio,  
16 1,500 to 3,000 barrels an acre. So the main  
17 difference then in areas in which there are large  
18 recoveries per well depends on two things  
19 primarily: whether there's gravity drainage and  
20 the amount of acreage available to each well to  
21 drain.

22 Q. All right. Let's take that information  
23 and apply it to the proposed Rock Mesa space  
24 area. Would you expect to see a hydrocarbon pore  
25 space barrel per acre volume in the higher range

1 or in the lower range?

2 A. I would expect it would be more in the  
3 lower range here.

4 Q. And what accounts for that?

5 A. Well, there's not as much what I would  
6 call character on the resistivity feature of the  
7 electric logs which we found in other areas. And  
8 where there's high resistivity, there appears to  
9 be more brittle zones that respond better to  
10 fracturing.

11 Q. So then when Mr. Dunn uses what amounts  
12 to the 1500 barrels per acre pore volume space,  
13 it's translated into his spreadsheet, that  
14 becomes a reliable number for you?

15 A. Yes, sir. It's certainly not too  
16 high.

17 Q. Mr. Dunn made reference to an industry  
18 group that was formed some time back to study  
19 Mancos production. Were you part of that effort?

20 A. Yes, sir.

21 Q. Who organized it and what was the  
22 objective and why was this done?

23 A. Well, Frank Chavez with the OCD office  
24 in Aztec was hopeful that he could bring  
25 different companies together who had been at odds

1 in some of the hearings concerning spacing of the  
2 fractured Mancos wells to see if there was some  
3 consensus that could be reached or come up with a  
4 plan for exploring for the fractured Mancos  
5 production and avoiding the problems that became  
6 evident as the hearings in Gavilan progressed.

7 Q. Provide the Examiner with a short  
8 summary of the background of Gavilan and the  
9 kinds of problems that the operators were  
10 experiencing in Gavilan Mancos that you are now  
11 seeking to avoid the next time you got ready to  
12 develop a Mancos reservoir.

13 A. Yes, sir. The discovery well in the  
14 Gavilan area found itself located between the  
15 West Lindrith, Gallup-Dakota Pool, which is  
16 spaced on 160 acres, and West Puerto Chiquito on  
17 the other side with 640 acres and appeared to  
18 have characteristics much closer to that of West  
19 Puerto Chiquito than of the pool on the west.

20 Even so the operators realized there's  
21 kind of a problem in going from 160-acre  
22 spacing to 640-acre spacing, and generally they  
23 thought -- the majority, I'd say majority of  
24 those Gavilan thought that they could --

25 Q. Excuse me, you're soft-spoken, and we

1 have competition for your time. Please  
2 continue.

3 A. The majority of the operators thought  
4 that maybe a practical solution being in between  
5 these two differently spaced areas would be to go  
6 halfway between 320 acres. And hopefully there  
7 would be adequate reserves to make it economic.

8 Q. Did that prove out to be true?

9 A. Well, to a certain extent. What  
10 happened in Gavilan was relatively high capacity  
11 wells were developed. There was tremendous  
12 communication within the pool and extended north  
13 for a township or more. And so the original  
14 Gavilan wells were draining large areas.

15 And the final recovery in Gavilan  
16 turned out to be like 200 barrels an acre. But a  
17 good part of that was migration from the north  
18 part of Gavilan in the Bear Canyon area. And so,  
19 although some of the wells were economic, overall  
20 it was not really the kind of economics that the  
21 industry should have realized for the high  
22 capacity wells that were found in Gavilan.

23 Q. In your opinion was it determined that  
24 the Gavilan area represented examples of wells  
25 being drilled too close together even when they

1       were drilled on 320-acre spacing?

2           A.       Yes, sir. In the course of the Gavilan  
3       hearings, the spacing in a sense went from 160  
4       acres to 320. And finally the Commission's final  
5       rulings was 640 acres for Gavilan with an option  
6       for a second well.

7           At the end of the development in  
8       Gavilan, the north part of Gavilan, the Bear  
9       Canyon area, it's been developed on a drill  
10      density of about 1 well to 1,000 acres. That was  
11      kind of the sequence: 160 acres, 320 acres, 640  
12      acres, 1,000 acres.

13          Q.       What were the problems identified in  
14      the Gavilan Mancos disputes that you are now  
15      seeking to avoid as part of this study group in  
16      formulating general rules then to apply to the  
17      unique nature of Mancos reservoirs?

18          A.       Simply that it's easier and simpler to  
19      down-space than it is to up-space. You just  
20      can't undrill those unnecessary wells. And it's  
21      a very simple process to down-space if later on  
22      it's determined that that's the way to go.

23          Q.       Describe for us where the Rock Mesa  
24      area is in relation to Gavilan Mancos and some of  
25      these other pools that you've described.

1           A.       Would be five or six townships south of  
2 Gavilan.

3           Q.       Let's turn to a discussion, if you  
4 will, please, of the specific rules so that we  
5 can get the benefit of the committee's discussion  
6 on those rules and what is the ultimate decision  
7 of that committee.

8           A.       Well, as you can imagine, where there  
9 was a committee representing operators who had  
10 diverse opinions, there were quite a few  
11 discussions and each of the points were discussed  
12 at length.

13          Q.       Let me interrupt you. Members of this  
14 committee were on both sides of the issues in the  
15 Gavilan Mancos hearings, were they not?

16          A.       They were, yes.

17          Q.       So you had a group of operators that  
18 were active in Mancos that were gathering all  
19 points of view?

20          A.       Right. And Frank Chavez' concern was  
21 that there would be additional wells drilled  
22 exploring for the Mancos outside of designated  
23 pools and what should the rules be for those new  
24 wells. And once production was established in an  
25 area, then information from that area could be

1     used to change the rules or develop additional  
2     rules or modify the rules or whatever.

3             But to begin with, in order to avoid  
4     the problem of over-drilling, and it's just  
5     almost impossible to avoid over-driling if the  
6     spacing is too small. If an operator drills a  
7     commercially productive well or, say, one that  
8     looks even of a higher capacity than what would  
9     ordinarily be considered economic and the spacing  
10    is 40 acres and there's a man with 40 acres  
11    offsetting him on five sides, why they're going  
12    to go drill them.

13            And all of a sudden you've got an  
14    over-drilled area and then the problem of  
15    up-spacing, royalty owner problems, working  
16    interest owner problems, all kind of problems.  
17    They're just completely avoided by going the  
18    other way.

19            Q.     Was there a consensus among the  
20    participants in the study group that 640-spacing  
21    was the appropriate initial temporary spacing  
22    pattern to apply to a Mancos reservoir?

23            A.     Yes, sir. They were all agreed to 640  
24    acres. The one problem which the committee  
25    recognized and tried to solve is that you drill

1 the well on 640 acres, and it misses the  
2 fractures.

3 Q. How did you address that concern?

4 A. That concern we addressed by making a  
5 provision that if the first well was a small  
6 well, then there would be permission allowed to  
7 drill a second well on that 640 acres. But if  
8 the first well is a high capacity well, it  
9 obviously would drain its area, then there's no  
10 point in drilling that second well. In fact,  
11 that would be a mistake.

12 And so I thought it was a good  
13 solution. In fact, I think all the members of  
14 the committee thought that was a good compromise  
15 of going from a very rigid 640-acre spacing to  
16 allow the flexibility of a second well if that  
17 first well and only if that first well was a poor  
18 producer.

19 Q. How did the committee resolve the issue  
20 of where within the 640 acres to locate that  
21 initial well?

22 A. Well, again that was the subject of a  
23 lot of discussion. And typically on 640-acre  
24 spacing, one would expect the setback distance  
25 from the proration units' boundaries to be

1 relatively high, at least a fourth or maybe even  
2 a third of the width of the spacing unit.

3 But here again the operators wanted  
4 flexibility in locating their well. And the  
5 reason for that was, as time progressed and more  
6 information was developed particularly with  
7 respect to seismic activity and the ability to  
8 pinpoint locations better than they had in the  
9 past and if the fracture zone that the operator  
10 interprets is close to his boundary, he'd like to  
11 get into that fracture zone. The offset operator  
12 would just as soon he doesn't.

13 But the compromise there, and again I  
14 think it's a good compromise, is to allow a lot  
15 of flexibility in locating that well. And so for  
16 that reason --

17 Q. Well, flexibility within the drilling  
18 window that sets back 990 from the outer  
19 boundary?

20 A. Right, within the drilling window and  
21 to make the drilling window a big drilling  
22 window. As was noted here a little earlier,  
23 perhaps if we're looking at possibly down-spacing  
24 in the future, the well should be located closer  
25 to the center of the quarter section to permit

1       that.   We considered that.

2               But particularly, I think it was Amoco  
3       and Mobil who were feeling better about their  
4       ability to interpret seismic work, they just  
5       wanted lots of flexibility in locating that first  
6       well.

7               And the net of it was that we felt like  
8       the flexibility in locating the first well  
9       overrode the concern of trying to put the well in  
10      the center of a quarter section.

11      Q.       Were these all knowledgeable operators  
12      with experience in Mancos reservoir drilling and  
13      production?

14      A.       Oh, yes, sir, lots of experience.

15      Q.       What was the solution, if any, with  
16      regards to people that would ask for an  
17      unorthodox location or a variance exception to  
18      the 990 setback?

19      A.       We felt, and we had a pretty good  
20      consensus on this, that if we allowed going close  
21      to the boundary, by close we meant like 990 feet,  
22      then to crowd beyond that to the offset  
23      operators' line, there should a rather severe  
24      penalty.

25              And so we decided, well, we'll allow a

1 lot of flexibility, let the operator get close to  
2 the line, but not let him cheat on that and get  
3 closer even than the rules allowed without a  
4 severe penalty.

5 Q. In balancing the need for a wider  
6 spacing area, the dedication of 640 with  
7 integrating a flexibility in terms of well  
8 locations, what did you utilize then as a penalty  
9 if someone should seek to get closer than 990 to  
10 the outer boundary of this section?

11 A. We decided the best thing to do would  
12 be to take the distance of the actual bottom-hole  
13 location of the well, that distance from the  
14 line, divide it by the allowed distance, 990  
15 feet, take that quotient and cube it. And that  
16 gives -- first we talked about maybe taking the  
17 direct proportion, and then we talked about  
18 taking the proportion and squaring it. And that  
19 didn't seem like a severe enough penalty, and so  
20 the consensus was to cube it.

21 Q. We spent a lot of time in the Gavilan  
22 Mancos hearings talking about producing  
23 allowables for a spacing unit. Did the committee  
24 address that issue?

25 A. Yes, sir. We felt like probably the

1 standard depth allowable for the areas on the  
2 east side of the basin would be 1280 barrels per  
3 day.

4 Q. For 640-spacing?

5 A. For 640-acre spacing. But one of the  
6 problems of having a real high allowable is that  
7 with this fractured reservoir, if we might make a  
8 comparison, say, we have two tracts fairly close  
9 together, the same number of fractures in the  
10 formation in each tract, one tract has -- the  
11 fractures are wider, the aperture is wider than  
12 in the other, that tract with the wider  
13 fractures, even though it's the same number of  
14 fractures, will have a higher productivity than  
15 the other. It will also have more oil in place  
16 than the other.

17 But the problem is that the  
18 productivity increases at a far greater rate than  
19 the oil in space. And so the greater the  
20 difference you have in productivity across a  
21 pool, the greater is going to be the problem of  
22 protection of correlative rights.

23 Q. Why is that true?

24 A. Well, the wells with the higher  
25 productivity will drain not only their tracts,

1 they'll drain the other tracts. So we decided to  
2 come down from the 1280 barrels. Some didn't  
3 want to come very far. And it was another one of  
4 those compromises. My personal opinion is it  
5 should be 2- or 300 barrels a day, but as a  
6 compromise, the committee settled on 800.

7 Q. Did the committee discuss or address  
8 controlling the gas withdrawal rates by some  
9 gas-oil ratio limitation that was other than  
10 exists in the statewide rule?

11 A. We just thought that's what we would go  
12 with.

13 Q. At least for an initial temporary set  
14 of rules, that was an issue that was of concern  
15 and could be addressed later?

16 A. Yes, sir.

17 Q. It was discussed earlier in the hearing  
18 today the language and choice of words here under  
19 Rule 2 with regards to nonstandard spacing or  
20 proration units. Before we deal with the actual  
21 language of the rule, describe for us whether or  
22 not this was perceived to be a particular problem  
23 in addressing nonstandard proration units, and if  
24 so, what were you worried about?

25 A. Okay. We were thinking about applying

1     this to the whole east side of the San Juan  
2     Basin. There could be townships with -- short  
3     townships and short sections, perhaps very uneven  
4     sections.

5           Q.     And those exist up in the San Juan  
6     Basin?

7           A.     Right. So we wanted to cover that  
8     situation. Of course as it applies here, Rock  
9     Mesa doesn't look like, just from cursory  
10    observation of the map, that we're going to have  
11    the kind of problems that we want to address  
12    here.

13                   But rather than try to change the  
14    committee's work to address particularly the Rock  
15    Mesa, it just seemed like it was best to, as much  
16    as we could, use exactly the same language that  
17    the committee had in its recommendations because  
18    we didn't see how it could hurt anything.

19           Q.     Are there any other rules here in the  
20    proposed temporary rules that you and I have not  
21    specifically commented on that we might need to  
22    address?

23           A.     Well, I might point out something about  
24    this notice thing that was discussed a little  
25    earlier. At the time the committee was doing its

1 work was before so much attention has been placed  
2 on the problem of notice. We at that time were  
3 not as concerned or aware of the problems that  
4 might develop.

5 Q. Well, without regard to the specific  
6 language, let's have you address the kinds of  
7 elements that you thought ought to be  
8 accomplished in a rule in which someone is  
9 seeking a variance or a nonstandard proration  
10 unit. For example, whom did you think would be  
11 reasonably entitled to notice of that type of  
12 request?

13 A. First, what we were thinking about was  
14 the short sections, and say it was 320,  
15 approximately 300 or 400 acres in a section,  
16 okay, we didn't want a normal approval process to  
17 apply here; that there should be a notice and  
18 hearing unless the offset operators didn't object  
19 to it.

20 And so that was kind of how we reached  
21 that compromise is if there was going to be a big  
22 difference from the 640 acres, it just should not  
23 be approved administratively; they should have to  
24 go to hearing unless the offset operators didn't  
25 object.

1           Q.       What's the reason for making that  
2 particular provision more restrictive than we  
3 might see applied to other sand reservoirs or  
4 elsewhere?

5           A.       Well, it just could in itself create  
6 the very same problems we're concerned about of  
7 over-drilling. If there's a short section and  
8 the man drills a well on 320 acres and he's got  
9 the full allowable, the people offsetting him  
10 then are being drained if they're on 640.

11          Q.       And pretty soon the exception becomes  
12 the rule?

13          A.       That's exactly right.

14          Q.       We talked a while ago about the  
15 vertical limits of the pool, and that's more  
16 specific than the general rules. But there was  
17 discussion about the vertical limits of the pool  
18 being large enough to adequately describe all the  
19 potential productive intervals in the Mancos and  
20 yet not be so broad that you encompass production  
21 that does not fit within this type of rule.

22          A.       The production that we found so far on  
23 the east side, east side of the basin, was within  
24 these limits which we picked. I don't see that  
25 that's a really hard and fast thing. But one

1     thing the committee did recognize was the  
2     difficulty in picking some particular point  
3     within the Mancos. So that's why we selected a  
4     point above that that was easily identified on a  
5     log and go from there.

6             So I don't really, in view of the  
7     discussion earlier this morning, I don't see a  
8     real problem with whatever the Commission wants  
9     for the top of the zone. My personal opinion is  
10    that what they found back in Canyon Largo to the  
11    west will not occur here, but that's just my  
12    opinion.

13            Q.     Let's talk specifically then about the  
14    Rock Mesa proposed boundary and area. There was  
15    some additional questions that were more site  
16    specific to this particular area. One of those  
17    is how do you solve the issue of describing a  
18    horizontal boundary for the area in which to  
19    apply these special rules?

20            From your perspective as an engineer,  
21    can you lend us any comfort that there is a  
22    reasonable starting place to the acreage that's  
23    proposed to be subject by these rules for this  
24    particular pool?

25            A.     My personal opinion is it doesn't make

1 any difference. If the OCD would like to have a  
2 smaller defined area that, for instance, fits the  
3 proposed unit, I don't see that as a big  
4 problem. I don't see it gains anything.

5 Had we adopted the committee's  
6 recommendation the way it was made, then the  
7 whole east side of the basin would be subject to  
8 640-acre spacing.

9 Then the thought was: You drill a  
10 well, you get production, then you determine the  
11 pool rules. Well, you're not going to determine  
12 it from the first well. It's probably going to  
13 take additional wells and two or three years  
14 before enough information is developed to  
15 determine what the pool rules should be.

16 In the meantime, had we thought of the  
17 committee's recommendation entirely and the whole  
18 east side is based on 640 acres, then anyone  
19 anywhere in this area would have to drill on 640  
20 acres until they had accumulated information such  
21 as that.

22 So I don't see a lot of difference in  
23 what they're doing here. Somebody could come  
24 out, I guess, over a mile away from the proposed  
25 area here and drill on 40 acres. It doesn't make

1 much sense to me, but if that's the way the  
2 Commission would like to go, well, that's their  
3 prerogative.

4 But certainly for this area in which  
5 the operators propose the unit and plan to drill,  
6 it needs to be protected by 640-acre spacing.

7 Q. In order to adopt efficient and  
8 economic rules for this particular reservoir, in  
9 your opinion can the Division apply the process  
10 of taking an initial discovery on any particular  
11 spacing and then, as development occurs, expand  
12 the pool? What's wrong with doing that?

13 A. Well, you're apt to wind up with too  
14 many wells if you don't have the restriction of  
15 preventing the drilling of unnecessary wells.  
16 Once a man has drilled a well on, say, 80 acres  
17 and he's made his Division order and he pays his  
18 royalty owners on that basis and then the  
19 decision is to up-space, there are a lot of very  
20 unhappy royalty owners that all of a sudden their  
21 royalty is cut in half or a fourth and they don't  
22 like it, and you can understand that.

23 Down-spacing is so much simpler. If  
24 you have a well on 640 acres and spacing is 640,  
25 you down-space to 320, all the Commission has to

1 do is say for the existing proration units,  
2 there's a second well permitted on that 640  
3 acres.

4 That royalty that's been getting 2  
5 percent of the production from that 640 acres in  
6 the past will in the future get 2 percent of the  
7 640 acre production from two wells now instead of  
8 one. You may not even have to write a new  
9 Division order for him. And then the other  
10 tracts, on which there are no wells drilled,  
11 well, they just simply go to 320-acre spacing.

12 So it's very simple to down-space.  
13 Up-spacing is very difficult.

14 Q. Merrion has proposed this configuration  
15 to be consistent with the area they scribed for  
16 their anticipated federal-state unit?

17 A. Yes, sir.

18 Q. Can you draw from your experience in  
19 the Canada Hito Unit to give us any comments with  
20 regards to having spacing be consistent and  
21 conform to the same pattern within the confines  
22 of the unit?

23 A. The Department of Interior over the  
24 years has had a lot of changes in personnel, and  
25 from time to time they have a different ideas.

1 But in general what the unit agreements call for  
2 is that you drill exploratory wells until  
3 production is established.

4 Once you establish production, then you  
5 form a participating area. And you go to the  
6 BLM, who now has the authority to determine these  
7 things, and you submit a plan of development each  
8 year.

9 And that plan of development typically  
10 is approved by the BLM. Where there are state  
11 lands involved, the state has the right to look  
12 over that plan, and the OCD has the right also to  
13 look over that plan.

14 When all three of these authorities  
15 have approved the plan, then that's how you  
16 proceed with additional development. And spacing  
17 will have a bearing on the additional development  
18 and where the wells are located.

19 Q. Based upon your review and study and  
20 background knowledge of the Mancos reservoir, in  
21 your opinion is approval of Merrion's application  
22 in this case warranted and justified in order to  
23 prevent waste and protect correlative rights?

24 A. Yes, sir.

25 MR. KELLAHIN: That concludes my

1 examination of Mr. Greer. We move the  
2 introduction of his Exhibit No. 1.

3 EXAMINER CATANACH: Exhibit No. 1 will  
4 be admitted as evidence.

5 Mr. Padilla?

6 EXAMINATION

7 BY MR. PADILLA:

8 Q. Mr. Greer, would there be gravity  
9 drainage in this proposed pool?

10 A. In my opinion there's not enough  
11 structural relief to provide gravity drainage. I  
12 think that's very unlikely. After drilling wells  
13 we may find that it's different from what we  
14 think now. But at this juncture it would seem to  
15 me not likely.

16 Q. Essentially you have a flat reservoir?

17 A. Or gently sloping.

18 Q. But it's not like your West Puerto  
19 Chiquito --

20 A. No, sir.

21 Q. -- Pool that has a big slant to it?

22 A. No, sir. I would not expect that.

23 Q. How does drainage -- well, how is  
24 drainage affected by the fact that you have  
25 gravity drainage in, say, the West Puerto

1 Chiquito Pool and in this pool where you don't  
2 have --

3 A. Where we don't have it?

4 Q. -- where you may not have it?

5 A. Okay. The difference is that what  
6 we're looking at here for a recovery mechanism is  
7 simply solution gas drive, or some people call it  
8 dissolved gas drive. And it's, you know, a very  
9 inefficient recovery method. But at this point  
10 it looks like that's all we have to go by.

11 Q. Well, I guess there is -- what you're  
12 saying -- there may be some influence with regard  
13 to drainage if you have gravity drainage coupled  
14 with, say, a solution gas drive?

15 A. Gravity drainage can help significantly  
16 in increasing the recovery.

17 Q. And it would make more sense in that  
18 sense to have wider spacing?

19 A. It's an option that we took advantage  
20 of in West Puerto Chiquito.

21 Q. You certainly had more flexibility  
22 probably in West Puerto Chiquito in the way you  
23 configured that unit --

24 A. Right.

25 Q. -- and the pool itself and how you

1 developed the pool having gravity drainage?

2 A. Right. I'm afraid we don't have that  
3 option here.

4 Q. Mr. Greer, you seemed to make a  
5 distinction between east flank and west flank,  
6 and I'm curious about why there's a distinction  
7 between at least east flank and west flank.

8 A. Well, the east flank of the San Juan  
9 Basin? Simply that's what Frank Chavez wanted us  
10 to concentrate on. So that's all that the  
11 committee looked at was this area that he asked  
12 us to study.

13 Q. Now, how many of the fractured Mancos  
14 pools that you've studied are on the west bank --  
15 or the west flank?

16 A. The ones that I studied are on the east  
17 flank.

18 Q. And the Rio Puerco is on the east  
19 flank?

20 A. Yes, sir.

21 MR. STOVALL: Let me make sure that  
22 we're all talking the same thing. Why don't you  
23 define for us what you mean by the east flank.  
24 My thinking is the west flank would be somewhere  
25 out near 13 West. I'm not sure we're all talking

1 in the same terms.

2 THE WITNESS: That's my view too. We  
3 have some production on the west flank of the  
4 basin where the formation dips in from the west,  
5 and I think that you can probably use that. I  
6 don't know what Frank had in mind, but generally  
7 it's on the east flank of the basin where the  
8 formations are dipping to the west or southwest  
9 or northwest or on the east flank of the basin.

10 MR. STOVALL: Townships or ranges, say  
11 1, 2, and maybe 3 West?

12 THE WITNESS: 3, 4.

13 MR. STOVALL: Depending on where you  
14 are on the curve?

15 THE WITNESS: Maybe 5 or 6 West,  
16 uh-huh.

17 MR. STOVALL: So when you're talking  
18 about east flank, that's what you mean?

19 THE WITNESS: Right. That's what the  
20 committee looked at.

21 Q. (BY MR. PADILLA) Mr. Greer, what was  
22 the timetable of the committee? When did you  
23 start your meetings?

24 A. I think it was in 88 and 89, as I  
25 recall. We met, as I recall, for about a year,

1 year-and-a-half maybe.

2 Q. And you developed these rules at that  
3 time?

4 A. Yes, sir.

5 Q. And then you gave them to Mr. Chavez, I  
6 take it, or what happened?

7 A. Right. We gave them to Mr. Chavez. My  
8 understanding is Mr. Chavez sent them down here  
9 to Santa Fe, and my understanding is they got  
10 buried down here.

11 Q. So nothing happened until this hearing  
12 in 1992, three years later, thereabouts?

13 A. Right.

14 Q. Did the committee make any specific  
15 recommendations with regard to this particular  
16 pool, the Rock Mesa Pool?

17 A. Oh, no. It made no specific  
18 recommendations to any pool. It was to cover the  
19 area for which there were no designated pools.

20 Q. You studied the so-called east flank  
21 regardless of what may have been there?

22 A. Right.

23 Q. Did you study other pools that were not  
24 necessarily Mancos?

25 A. Oh, no. We dealt strictly with the

1 Mancos.

2 Q. And that was on the entire east --

3 A. East flank.

4 Q. -- east flank. Let me ask you about  
5 the Gavilan Mancos Pool. You stated that in the  
6 northern portion of that you had effective  
7 spacing of something like 1,000 acres; is that  
8 what you said?

9 A. Yes, sir. The drill density, I  
10 believe, in north Gavilan in the Bear Canyon area  
11 the last time I looked at it is right about 1,000  
12 acres a well.

13 Q. Are there differing -- let's see what  
14 you call it -- oil reserves for within, say, even  
15 the Gavilan Pool?

16 A. Well, there are areas in which wells  
17 have been drilled with low capacities and high  
18 capacities. Where there's wells that have low  
19 capacities, the frac treatment just didn't reach  
20 out and get into the fracture system, which is  
21 probably what happened. And whether there is a  
22 very significant difference of oil in place per  
23 acre, I think is not likely. It's just a  
24 question of the degree of fracturing around the  
25 well and how successful you are in hooking it up

1 with your system.

2 Just overall, the oil in place, the  
3 hydrocarbon pore space is just very uniform  
4 throughout.

5 Q. You mentioned one area, the Gavilan  
6 Mancos Pool around Bear Canyon. Were those --  
7 why were those wells higher capacity than the  
8 other wells?

9 A. I'm not sure that they were higher  
10 capacity than the others.

11 Q. Did they produce more oil?

12 A. No, I think they did not.

13 Q. But weren't there some wells in the  
14 Gavilan Mancos that were much better producers  
15 than others?

16 A. Oh, yes. Certainly those that had  
17 higher capacity that got into the fracture  
18 system.

19 Q. In your opinion that's the only  
20 difference is whether you connected with the  
21 fracture system?

22 A. [Nodded.]

23 Q. Irrespective of whether you were, say,  
24 on the outer limits of the pool?

25 A. Well, when you get to the edge of the

1 pool, of course there is less possibility of  
2 getting into the good fracture system. Just how  
3 that all works, we don't know. But we have found  
4 that the reservoir covers the entire area. And  
5 we have used wells with small capacities, wells,  
6 for instance, that made, oh, 4- or 5,000 barrels,  
7 like the ones that were pointed out here in Rock  
8 Mesa. That's all they would produce.

9 And yet we've used those wells and  
10 using them right today as observation wells to  
11 determine the reservoir pressure. So they're in  
12 communication, just not very good communication.

13 Q. As I understand your figure of 125  
14 barrels per acre, that's an average figure;  
15 correct?

16 A. For solution gas drive, yes.

17 Q. If you have a -- well, strike that.

18 How did you -- tell me again how you  
19 compiled this 125 barrel figure.

20 A. How did we arrive at it?

21 Q. How did you arrive at it?

22 A. First we tried to determine and I think  
23 did determine to a reasonable degree of accuracy  
24 the hydrocarbon pore space with interference  
25 tests, frac pulse tests, and in some instances

1 where the reservoir had reached a far enough  
2 stage of depletion and the information was  
3 available where we could use material balance to  
4 get back to the initial reservoir volumes, then  
5 from relative permeabilities and how relative  
6 permeability is affected by and the  
7 characteristics it has for fractured reservoirs,  
8 then from conventional analyses of solution gas  
9 drive, we can arrive at this 5 or 6 percent.

10 Then we can go back and take, for  
11 instance, West Lindrith, Mancos-Dakota, although  
12 the Dakota is mixed up in there, Conoco had done  
13 some testing as to how much production came from  
14 the Dakota, how much from the Mancos. And by  
15 material balance we put those things back, and we  
16 come up with the same answer.

17 And so we've made considerable amount  
18 of testing and study, and it all gets back to  
19 solution gas drive is in this general range. If  
20 you've got more than 125 to 150 barrels an acre,  
21 something else has probably happened to give you  
22 the higher recoveries.

23 Q. In the West Puerto Chiquito Pool and  
24 the Canada Hito Unit, did you unitize that first?

25 A. Yes, sir. As a matter of fact, I think

1 we had only one or two wells in the area when we  
2 asked the Commission to establish a  
3 three-township pool, which they did. I don't  
4 think the Commission had ever done that before,  
5 but they did it in this instance. And I might  
6 say that it's proved to be a very wise thing to  
7 do.

8 Q. But do you control the drilling through  
9 the unit, in other words --

10 A. Initially we had most of the acreage  
11 within the unit area. The unit forms about maybe  
12 half of the pool.

13 Q. But you were able through the unit  
14 agreement to control where you drilled in order  
15 to determine what kind of spacing you should have  
16 for the unit?

17 A. Well, of course, we came to the  
18 Commission after we ran the tests and developed  
19 information. And, of course, initially it was on  
20 40-acre spacing. And then we asked the  
21 Commission for a 160-acre temporary order. And  
22 then we went beyond that for a 320-acre temporary  
23 order. And finally we got up to a 640-acre  
24 permanent order.

25 And so within the pool and within the

1 unit, the wells were spaced on 640 acres. And if  
2 a person had not joined the unit and wanted to  
3 drill a well on that spacing unit, then of course  
4 we had to come to the Commission and force-pool  
5 the party, or they could have come and  
6 force-pooled us.

7 Q. If they wanted to?

8 A. If they wanted to.

9 Q. But you initially developed information  
10 to decide what type of spacing?

11 A. That's when we initially began to find  
12 out what the fractured Mancos was like. And then  
13 when we studied other pools, we found similar  
14 things.

15 MR. PADILLA: I don't think I have  
16 anything further.

17 EXAMINER CATANACH: Anything, Mr.  
18 Roberts?

19 MR. ROBERTS: No, I have no questions.

20 EXAMINATION

21 BY EXAMINER CATANACH:

22 Q. Mr. Greer, who selected the parties  
23 that participated in the committee study?

24 A. Frank Chavez.

25 Q. Is it my understanding that the

1 committee was in total agreement on all these  
2 proposed rules at the conclusion of the study?

3 A. Oh, we each had our own opinions as to  
4 each of the items. And what came out was a  
5 consensus of what we would all agree to and  
6 support.

7 Q. Okay. With regards to Rule No. 2, the  
8 criteria for allowing the drilling of a second  
9 well, the production criteria, 50 barrels a day  
10 and 350 Mcf per day, is there any significance to  
11 those figures?

12 A. No. They were just arbitrary figures  
13 of what's a small enough volume of oil that you  
14 ought to be able to go drill another part of the  
15 tract. If, for instance, the well would make 2-  
16 or 300 barrels a day, the feeling was that it  
17 would adequately drain its spacing unit, and it  
18 would be improper to drill a second well.

19 Q. Say after a period of six months if a  
20 well was producing 51 barrels a day --

21 A. Well, that's of course a problem that  
22 you always face.

23 Q. And it was the consensus that they  
24 should not be allowed to drill another well?

25 A. That was the hard-fast line in drilling

1 the sand.

2 MR. STOVALL: How about 301 Mcf of  
3 cubic gas?

4 THE WITNESS: If I might add, that  
5 might be a place where somebody would ask for a  
6 hearing and talk about it. And of course, as you  
7 know, anyone can always do that.

8 Q. (BY EXAMINER CATANACH) The procedures  
9 that you guys outlined for approval of  
10 nonstandard proration units, was is it your  
11 intent that all of these be placed on the docket?

12 A. Yes. I guess that's what we had in  
13 mind. Perhaps we should have come up with, say,  
14 well, if it's within 10 or 15 acres, it could be  
15 approved administratively. We didn't go that  
16 far.

17 As I indicated earlier, at that time  
18 notice was not such a problem as it is now. And  
19 so we didn't address the things that you're  
20 concerned about now. So there's no problem that  
21 I see in modifying that. And one reason I hadn't  
22 paid much attention to it is I don't think it  
23 will apply here in this area.

24 EXAMINATION

25 BY MR. STOVALL:

1           Q.     Mr. Greer, if we wrote this rule, this  
2 specific rule, would it be reasonable to say,  
3 come up with, say, a range, smaller range, like  
4 say 600 to 700 acres or something like that?

5           A.     And approve --

6           Q.     Do it administratively? The biggest  
7 problem with this is once you put it on the  
8 docket, you can't then ten days before the docket  
9 say, well, it's administrative now. Once it's on  
10 the docket, it's on the docket?

11          A.     Right.

12          Q.     Any party has the opportunity to appear  
13 at that hearing and request --

14          A.     Certainly I'd think for this situation,  
15 as I indicated earlier, I didn't think it had  
16 ever come up and been an issue. But I certainly  
17 don't see anything wrong with taking your  
18 suggestion of 600 to 700 and doing it  
19 administratively.

20          Q.     Then if it's outside those limits, it  
21 just becomes a hearing case?

22          A.     Yeah, outside that limit.

23          Q.     Again we're only talking about  
24 situations where it's the survey that causes the  
25 problem and not going to a nonstandard partial

1 section or multiple section unit?

2 A. Right.

3 FURTHER EXAMINATION

4 BY EXAMINER CATANACH:

5 Q. Okay. With regards to Rule No. 3, I  
6 believe you stated that the committee thought it  
7 was better or more important to have the  
8 flexibility in locating the first well than it  
9 was to consider down-spacing problems?

10 A. Yes. That was discussed at length.  
11 Uh-huh.

12 FURTHER EXAMINATION

13 BY MR. STOVALL:

14 Q. You heard my questions to Mr. Dunn and  
15 my thought that maybe you ought to push the well  
16 more towards the center of a quarter section to  
17 avoid the potential clustering of wells?

18 A. Right.

19 Q. What's your opinion with respect to my  
20 question?

21 A. If the blamed reservoir was uniform  
22 enough, then I would agree 100 percent with you.  
23 The problem is that we have these fracture  
24 trends. They're hard to determine, hard to  
25 find. Each company is going to have his own idea

1 about how to find them and where to locate his  
2 well.

3 And the committee just felt like that  
4 flexibility of trying to find the spot to put  
5 your well just overrode the other concern of  
6 trying to be close to the center of a quarter  
7 section.

8 Q. What about the idea of, I mean if  
9 that's how you feel, what would your opinion be  
10 putting a minimum distance between wells so that  
11 if you go to drill that infill well it's not 20  
12 feet away from the well you've already got?

13 A. I think that's a reasonable provision.  
14 We did not discuss that at all. But it's  
15 certainly a reasonable provision.

16 Q. Could you recognize it as probably the  
17 first time you've thought about it; what kind of  
18 distance would you suggest would be kind of a  
19 reasonable approach to that?

20 A. Well, okay, again we're going to have  
21 to give the guy a flexibility I would think on  
22 the second well. If it's a dog, I don't believe  
23 he's going to try to crowd it. So it might not  
24 be, you know, that much of a problem. But I  
25 think we had -- what it has to be in a different

1 quarter section. I believe that was the only  
2 constraint we place on it.

3 Q. How about 660 feet? 660 feet between  
4 wells?

5 A. I think you can go farther than that.  
6 You should be able to go 1,000 feet, I would  
7 think, easily on a 640-acre tract.

8 Q. I picked that number -- assuming if you  
9 took my original premise of 330 and you put two  
10 330s, then you'd say a minimum distance of 660,  
11 accomplish the same. That's how I came up with  
12 it. Still would give you some flexibility, but  
13 give you the same thing as 330 feet from the  
14 boundary?

15 A. I see no problem in having that. I  
16 really don't think that it's going to be an issue  
17 because if that first well is a poor well the man  
18 probably is going to --

19 Q. Try to get as far away from it as you  
20 can?

21 A. Right.

22 Q. Mr. Greer, looking further down on Rule  
23 3, the directional, Mr. Dunn testified as to the  
24 reason for putting a directional survey  
25 requirement in. Am I correct in kind of

1 interpreting or assuming that when you're dealing  
2 with a fractured reservoir like this that in fact  
3 what's happening in the rock could cause you to  
4 deviate and get some significant deviation?

5 A. Well, either that or a deliberate  
6 letting the bit drift up-dip or whatever that the  
7 offending operator might get closer to the line  
8 than what you would ordinarily expect if you  
9 drilled a good vertical hole.

10 Q. We assume that's not going to happen.

11 A. So that was the purpose of that, was to  
12 make sure that the man wouldn't cheat.

13 Q. And why not just, say, get a survey in  
14 all cases and --

15 A. Well, the reason --

16 Q. -- have some greater requirement than  
17 just simply have a waiver, have some showing that  
18 there is an unlikelihood of having encroached on  
19 the 990-foot limit even if you're on your own  
20 offset?

21 A. Well, I personally would hesitate to  
22 recommend an expensive survey in every instance,  
23 you know, unless if it's necessary, for  
24 protection, well, okay. But I would not  
25 recommend it as a standard practice.

1           Q.       Let's say the ability to waive it  
2 perhaps be contingent not only on who the offset  
3 is but some information from your drilling  
4 reports that would indicate that it was unlikely  
5 that there was substantial encroachment; would  
6 that be burdensome to put that additional  
7 requirement?

8           A.       I think, you know, from an equity  
9 standpoint that sounds fine. From a practical  
10 standpoint of how do you gather that information  
11 and assess it and all that, it might not be too  
12 practical to try to do that.

13          Q.       (BY EXAMINER CATANACH) How about, Mr.  
14 Greer, if you used the deviation survey and it  
15 indicated that it was possible that the well  
16 could be deviating more than 200 feet, could you  
17 then require a directional survey?

18          A.       I think the OCD could require whatever  
19 it wants. And I don't know -- let's see.

20          Q.       (BY MR. STOVALL) Deviation surveys  
21 are done as a matter of course, aren't they, in  
22 drilling?

23          A.       Right.

24          Q.       They're required?

25          A.       Right.

1           Q.       You could assume maximum deviation and  
2 then do a calculation and say it could be over  
3 100 feet, so therefore we will not waive the  
4 requirement?

5           A.       You could do that. Again, if the  
6 offset operator doesn't object, and as Steve  
7 indicated this morning, the offset operator might  
8 be the same as the one that drilled the well so  
9 he's not going to care if you crowded the line.

10          Q.       Well, he doesn't care, but it may not  
11 be the most efficient way to get into the  
12 reservoir. He may be again draining the same  
13 reserve, but we can think about that.

14                   FURTHER EXAMINATION

15 BY EXAMINER CATANACH:

16          Q.       With regards to the automatic penalty  
17 once you encroach on the setback, I don't know  
18 that it would be a -- do you think it would be a  
19 problem within a unit? I mean, if an operator  
20 felt he had to drill an unorthodox location,  
21 wouldn't he be hurting himself and his interest  
22 owners in the unit if he had to take this penalty  
23 on the well?

24          A.       Well, I guess there's -- again anything  
25 can happen that we haven't forecast. And if we

1     come up with situations like, for instance, we  
2     think that the fault that runs through there is  
3     going to cause fracturing on both sides, it may  
4     turn out that there's more throw to it than we  
5     think. It may be a ceiling fault rather than  
6     causing fractures both ways. It could be there's  
7     no communication across the fault.

8             Any of these things I think would be  
9     cause for operators to come back to the  
10    Commission and say, well, here's an exception; we  
11    ask for a special hearing to consider this  
12    problem. And I think the one you pose could be  
13    in that category.

14                   FURTHER EXAMINATION

15    BY MR. STOVALL:

16           Q.     In other words, treat not getting a  
17    penalty as an exception to the rule rather than  
18    imposing a penalty for an exception to the rule;  
19    do you follow me?

20           A.     I'm not sure I followed you.

21           Q.     What you're suggesting is there's an  
22    automatic penalty if you're an unorthodox  
23    location?

24           A.     Right.

25           Q.     So if you come in for an unorthodox

1 location, then you would seek an exception to the  
2 automatic penalty?

3 A. Right.

4 Q. Got you. With respect to Rule 5,  
5 there's a provision here for keeping records  
6 confidential for 365 days, which is essentially  
7 about four times as long as the rules currently  
8 provide; is that correct?

9 A. Well, I don't know. We developed that  
10 in Frank's presence, and I assumed that -- in  
11 fact, it was my understanding that the Commission  
12 keeps requested confidential information  
13 confidential for a year, but I may be wrong.

14 Q. I believe the current rule is 90 days.

15 MR. KELLAHIN: It's 90 days.

16 THE WITNESS: Is it? Well, at that  
17 time we thought it was 365.

18 Q. (BY MR. STOVALL) I guess my question  
19 would be why would your exploratory efforts in  
20 this reservoir entitle you to greater protection  
21 than, say, somebody else's exploratory efforts  
22 somewhere else?

23 A. I don't know. Has it been 90 days for  
24 all these years?

25 Q. For at least as long as I've been in

1 here.

2 A. Okay. Then our committee considered  
3 this an exception.

4 Q. All right. Now, I guess you're at a  
5 handicap to answer the question because you  
6 didn't know it was an exception. I think the  
7 concept, presumably, is if you're going to go out  
8 and spend some money to explore a reservoir, you  
9 ought to be entitled to take advantage of that  
10 for a while.

11 My question would be: Why would this  
12 reservoir entitle you to take advantage of that  
13 any longer than any other exploratory efforts in  
14 a new prospect?

15 A. Okay. Well, I can answer that.

16 Q. Okay.

17 A. Typically it's going to take you longer  
18 here to know what's going on than in other  
19 reservoirs. I've seen instances in which it took  
20 us several months to get the frac oil lowered  
21 back before we even knew what the well would  
22 produce. So, yeah, there is a reason, a reason  
23 for it. I don't recall-- we didn't discuss that,  
24 but there is a reason.

25 Q. Do you know -- I'm assuming that

1 Merrion is proposing the unit, but apparently Mr.  
2 Dunn doesn't know what type of unit. Do you know  
3 if it's proposed to be a divided or undivided  
4 unit?

5 A. Yes, sir. We discussed both the  
6 divided unit and the undivided unit. And the  
7 feeling of the main owners in the unit area is  
8 that we would like to go the undivided route.

9 Q. Which would make the entire unit a  
10 participating area; is that correct?

11 A. Well, in a sense, then you have  
12 equalized interests throughout. But we've found  
13 and we were hopeful that we might get 100 percent  
14 of the people that owned acreage within the unit  
15 to go for that kind of a unit. We've since found  
16 at least one who doesn't want to do that  
17 represented by Mr. Padilla here today.

18 So the net of it is then that we will  
19 have a divided type unit, but the owners who  
20 would like to have an undivided unit will pool  
21 their interests so that as among themselves their  
22 interests will be undivided.

23 Q. I assume you're going to design the  
24 accounting system for this, Mr. Greer?

25 A. Well, we've done it many times in the

1 past.

2 MR. STOVALL: I don't think I've got  
3 any other questions.

4 EXAMINER CATANACH: I don't believe I  
5 have any questions either. Anything further of  
6 this witness?

7 MR. STOVALL: Before we go off the  
8 record or complete this case, Mr. Examiner,  
9 during the break one of the people who is in  
10 attendance, Mr. Goad, you are a party who owns  
11 lease interests somewhere in the area and you've  
12 received notice of this hearing; is that  
13 correct?

14 MR. GOAD: Yes. Uh-huh. I just staked  
15 four sites two weeks ago.

16 MR. STOVALL: Before you go any  
17 further, I'm going to suggest since you've made  
18 the effort to come up here and sit through the  
19 hearing that perhaps you enter an appearance  
20 which would have the effect of preserving any  
21 future rights which you might have to participate  
22 in whatever proceedings. If you'd like to do  
23 that, if you'd state your name for the court  
24 reporter and then --

25 MR. GOAD: All right.

1           MR. STOVALL:  -- if you'd like to say  
2 anything else, it certainly would be appropriate.

3           MR. GOAD:  My name is Charles M. Goad,  
4 G-o-a-d, and I'm operating under d/b/a as GOLLA  
5 Oil, G-O-L-A, Company.  And I received a  
6 registered notice of what was going to transact  
7 here, and I came up to see if I would be of  
8 interest in it or not.

9           MR. STOVALL:  For that purpose and just  
10 for your information now, you are officially a  
11 party to this proceeding?

12          MR. GOAD:  Yes.

13          MR. STOVALL:  And we'll get -- any  
14 further activity which might take place in the  
15 course of this hearing, you will be a party, and  
16 if you would make sure that we get your address  
17 so we can enter that in the record.

18          MR. GOAD:  All right.

19          MR. STOVALL:  Having taken care of  
20 that, I have nothing further.

21          EXAMINER CATANACH:  I believe we had a  
22 statement by Mr. McCord.  Would you like to make  
23 a statement at this time?

24          MR. McCORD:  Thank you, Mr. Examiner.  
25 I'm Kevin McCord.  I'm representing Robert L.

1 Bayless from Farmington. Mr. Bayless along with  
2 Mr. Greer has interest in the Jordan Oil  
3 interests that's shown on your plat there.

4 We're in support of the Merrion  
5 application. We were also quite involved with  
6 the Gavilan problems when those arose and agree  
7 that this is a very good way to take care of  
8 those types of problems by starting with a larger  
9 area and possibly working down to smaller spacing  
10 if it's appropriate.

11 So we request that the Commission hear  
12 Merrion's case. And we feel even though it's  
13 pretty much a landmark way of doing things that  
14 it makes an awful lot of sense in this case.  
15 Thank you.

16 EXAMINER CATANACH: Would counsel like  
17 to give any closing statements at all, brief  
18 closing statements? It's up to you.

19 MR. ROBERTS: I would pass.

20 MR. KELLAHIN: Pass.

21 MR. PADILLA: The only thing I have to  
22 say is that, I guess, I'd have to echo what Mr.  
23 McCord said. It is a landmark and it's certainly  
24 a different procedure than what has been adopted  
25 or what has been followed by the Division in the

1 past as far as spacing cases are concerned.

2 We really don't see any information  
3 that would -- that is compelling as far as the  
4 spacing other than the committee work. And  
5 that's not to say that it's right or wrong. It's  
6 simply saying that most of the time spacing is on  
7 the basis of geologic or engineering data setting  
8 the spacing different than statewide rules.

9 MR. KELLAHIN: I need to respond to Mr.  
10 Padilla's comment.

11 EXAMINER CATANACH: I thought you  
12 might.

13 MR. KELLAHIN: Perhaps Mr. Padilla did  
14 not know that the Commission addressed this type  
15 of approach back in September of 1984. In a  
16 consolidated hearing, one of those was brought by  
17 McCue, the other brought by Mesa Grande. I've  
18 neglected the order number, but I'll supply it to  
19 you.

20 It was Case No. 8350 from McCue, and  
21 Mesa Grande's was 8286. And what we did in that  
22 case is respace the Dakota, I believe, to a  
23 320-acre spacing or at least to 160 to conform to  
24 the spacing in the Gavilan Mancos at that time.

25 Not only was the spacing case presented

1 by McCue at that time, based only on economic  
2 considerations, there was evidence contrary to  
3 that in terms of the drainage in the Dakota.

4 So it was an even more unusual example  
5 of the Commission adopting an economic argument  
6 to justify wider spacing in the face of known  
7 production in the Dakota at that time.

8 So there is a precedent for this. And  
9 we think it certainly falls within the scope and  
10 requirements of the Oil & Gas Act to do exactly  
11 what these parties are proposing be accomplished  
12 here so that we do not have to repeat the  
13 mistakes that were generated in Gavilan Mancos.

14 Perhaps Mr. Carr and I are the only  
15 ones that still would like to see another Gavilan  
16 Mancos case. I have a daughter going to school,  
17 and I could use the income. But everyone else  
18 says once is enough and we never need to do that  
19 again and here's a chance not to do that problem  
20 over.

21 EXAMINER CATANACH: Thank you, Mr.  
22 Kellahin.

23 MR. STOVALL: Mr. Examiner, I'm going  
24 to take a rather unprecedented step here and  
25 offer one other thing which has not been

1 discussed and that is the fact that there is a  
2 new awareness of submitting those environmental  
3 issues.

4 And I think in taking an up-size  
5 approach and doing less wells may be, given that  
6 we are charged with certainly environmental  
7 responsibilities, I don't think these are outside  
8 the scope of those. And so that is a small  
9 factor which hasn't even been discussed today,  
10 but that may also be a discussion. I'm sure it  
11 is in the mind of the BLM.

12 So I just thought I'd throw another  
13 wrinkle into it. I know you love to have me  
14 always do something new and different when we  
15 come to hearings.

16 EXAMINER CATANACH: There being nothing  
17 further, Case 10478 will be taken under  
18 advisement, and this hearing is adjourned.

19 [And the proceedings were concluded  
20 at the approximate hour of 1:10 p.m.]

21  
22 I do hereby certify that the foregoing is  
23 a complete record of the proceedings in  
24 the Examiner hearing of Case No. 10478  
25 heard by me on May 28 1992.  
David R. Catnach, Examiner  
Oil Conservation Division

## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )  
 ) ss.  
COUNTY OF SANTA FE )

I, Debbie Vestal, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I caused my notes to be transcribed under my personal supervision; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL JUNE 11, 1992.

  
DEBBIE VESTAL, RPR  
NEW MEXICO CSR NO. 3

STATE OF NEW MEXICO

ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT

OIL CONSERVATION DIVISION

IN THE MATTER OF THE HEARING )  
 CALLED BY THE OIL CONSERVATION )  
 DIVISION FOR THE PURPOSE OF )  
 CONSIDERING: )

CASE NO. 10,478

IN THE MATTER OF CASE NO. 10,478 )  
 BEING REOPENED PURSUANT TO THE )  
 PROVISIONS OF DIVISION ORDER NO. )  
 R-9701 )

**ORIGINAL**

REPORTER'S TRANSCRIPT OF PROCEEDINGS

EXAMINER HEARING

BEFORE: DAVID R. CATANACH, Hearing Examiner

July 7, 1994

Santa Fe, New Mexico

27 1994

This matter came on for hearing before the Oil  
 Conservation Division on Thursday, July 7, 1994, at Morgan  
 Hall, State Land Office Building, 310 Old Santa Fe Trail,  
 Santa Fe, New Mexico, before Steven T. Brenner, Certified  
 Court Reporter No. 7 for the State of New Mexico.

\* \* \*

## I N D E X

July 7, 1994  
Examiner Hearing  
CASE NO. 10,478

REPORTER'S CERTIFICATE

4

\* \* \*

## A P P E A R A N C E S

FOR THE DIVISION:

RAND L. CARROLL  
Attorney at Law  
Legal Counsel to the Division  
State Land Office Building  
Santa Fe, New Mexico 87504

\* \* \*

1 WHEREUPON, the following proceedings were had at  
2 1:02 p.m.:

3 EXAMINER CATANACH: At this time we'll call Case  
4 10,478.

5 MR. CARROLL: In the matter of Case No, 10,478  
6 being reopened pursuant to the provisions of Division Order  
7 No. R-9701, which order created the Rock Mesa-Mancos Oil  
8 Pool in Sandoval County and promulgated Temporary Special  
9 Rules and Regulations for said pool, including a provision  
10 for 640-acre spacing and proration units.

11 EXAMINER CATANACH: At this time we'll call for  
12 appearances in this case.

13 There being no appearances in this case, Case  
14 10,478 will be taken under advisement at this time.

15 And this hearing is adjourned.

16 (Thereupon, these proceedings were concluded at  
17 1:03 p.m.)

18 \* \* \*

19  
20 I do hereby certify that the foregoing is  
21 a complete record of the proceedings in  
22 the Examiner hearing of Case No. 10478,  
23 heard by me on July 7 1982.  
24 David L. Catanch, Examiner  
25 Oil Conservation Division


## 1 CERTIFICATE OF REPORTER

2  
3 STATE OF NEW MEXICO )  
4 ) ss.  
COUNTY OF SANTA FE )

5  
6 I, Steven T. Brenner, Certified Court Reporter  
7 and Notary Public, HEREBY CERTIFY that the foregoing  
8 transcript of proceedings before the Oil Conservation  
9 Division was reported by me; that I transcribed my notes;  
10 and that the foregoing is a true and accurate record of the  
11 proceedings.

12 I FURTHER CERTIFY that I am not a relative or  
13 employee of any of the parties or attorneys involved in  
14 this matter and that I have no personal interest in the  
15 final disposition of this matter.

16 WITNESS MY HAND AND SEAL July 14, 1994.

17  
18   
19 STEVEN T. BRENNER  
CCR No. 7

20  
21 My commission expires: October 14, 1994  
22  
23  
24  
25