

NEW MEXICO OIL CONSERVATION DIVISION
STATE LAND OFFICE BUILDING
STATE OF NEW MEXICO
CASE NO. 10481

IN THE MATTER OF:

The Application of Meridian Oil,
Inc., for a high angle/horizontal
directional drilling pilot project,
special operating rules therefor,
a nonstandard oil proration unit,
and special project oil allowable,
San Juan County, New Mexico.

BEFORE:

DAVID R. CATANACH
Hearing Examiner
State Land Office Building
May 28, 1992

REPORTED BY:

DEBBIE VESTAL
Certified Shorthand Reporter
for the State of New Mexico

ORIGINAL

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel

State Land Office Building

Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN, KELLAHIN & AUBREY

Post Office Box 2265

Santa Fe, New Mexico 87504-2265

BY: W. THOMAS KELLAHIN, ESQ.

I N D E X

Page Number

Appearances

2

WITNESSES FOR THE APPLICANT:

1. CHARLES F. HEAD

Examination by Mr. Kellahin 6

Examination by Examiner Catanach 24

2. PAUL ALLAN

Examination by Mr. Kellahin 28

Examination by Examiner Catanach 34

Examination by Mr. Stovall 35

Further Ex. by Examiner Catanach 36

3. ALAN ALEXANDER

Examination by Mr. Kellahin 37

Certificate of Reporter

45

E X H I B I T S

Page Identified

1		
2	Exhibit No. 1	22
3	Exhibit No. 2	22
4	Exhibit No. 3	9
5	Exhibit No. 4	14
6	Exhibit No. 5	17
7	Exhibit No. 6	18
8	Exhibit No. 7	19
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 EXAMINER CATANACH: At this time we'll
2 go ahead and call Case 10481.

3 MR. STOVALL: Application of Meridian
4 Oil, Inc., for a high angle/horizontal
5 directional drilling pilot project, special
6 operating rules therefor, a nonstandard oil
7 proration unit, and special project oil
8 allowable, San Juan County, New Mexico.

9 EXAMINER CATANACH: Are there
10 appearances in this case?

11 MR. KELLAHIN: Mr. Examiner, I'm Tom
12 Kellahin of the Santa Fe law firm of Kellahin,
13 Kellahin & Aubrey appearing on behalf of the
14 applicant. And I have three witnesses to be
15 sworn.

16 EXAMINER CATANACH: Are there any other
17 appearances?

18 Will the witnesses, please, stand to be
19 sworn in.

20 [The witnesses were duly sworn.]

21 MR. KELLAHIN: Mr. Examiner, my first
22 witness is Mr. Chip Head. He's a geologist with
23 Meridian.

24 CHARLES F. HEAD

25 Having been duly sworn upon his oath, was

1 examined and testified as follows:

2 EXAMINATION

3 BY MR. KELLAHIN:

4 Q. Mr. Head, for the record would you,
5 please, state your name and occupation.

6 A. Yes. My name is Charles F. Head, and
7 I'm a geologist for Meridian Oil in Farmington,
8 New Mexico.

9 Q. And that's where you reside and are
10 employed?

11 A. That's correct.

12 Q. Have you on prior occasions testified
13 as a petroleum geologist before the Division?

14 A. No, I have not.

15 Q. Would you summarize your educational
16 experience?

17 A. Yes, I have a bachelor of science
18 degree with a major in geology from Fort Lewis
19 College in Durango, Colorado.

20 Q. In what year did you obtain that
21 degree?

22 A. 1978.

23 Q. Do you have any other degrees?

24 A. No, sir.

25 Q. Summarize your employment experience as

1 a petroleum geologist.

2 A. Okay. I worked for about eight years
3 as a wire line engineer. And I've worked as a
4 geologist for Meridian Oil since 1986.

5 Q. Describe for us in a summary fashion
6 your particular involvement in this project on
7 behalf of your company as a geologist.

8 A. I'm charged with geological
9 responsibilities in the southwestern portion of
10 the San Juan Basin, and specifically the
11 Huerfano, greater Huerfano area, all formations.
12 And as of the last year-and-a-half or so, I've
13 focused my attention on the Gallup Producing
14 Interval.

15 Q. What was the particular task assigned
16 to you as a geologist for this application?

17 A. To evaluate the oil and gas potential
18 for development in the Gallup Formation within
19 the greater Huerfano area.

20 Q. Have you completed that geologic review
21 and assessment?

22 A. It is still underway.

23 Q. At this point have you reached
24 sufficient geologic conclusions to have certain
25 opinions and recommendations for the Examiner

1 about this particular project?

2 A. Yes, I have.

3 Q. Have you been working in connection
4 with any other technical personnel at Meridian?

5 A. Yes, I have. I've been working with
6 engineering and land.

7 Q. Identify the specific individuals in
8 engineering that have assisted you in this
9 particular project.

10 A. Okay. We have -- the production
11 engineer is a member of our team who is not here
12 today -- I'm sorry, the reservoir engineer, and
13 we have a production engineer who is present
14 today, and also a drilling engineer who will be
15 in charge of the mechanics of the high angle
16 test.

17 MR. KELLAHIN: At this point, Mr.
18 Examiner, I tender Mr. Head as an expert
19 petroleum geologist.

20 EXAMINER CATANACH: He is so
21 qualified.

22 Q. (BY MR. KELLAHIN) Mr. Head, before we
23 get into the specific details of your work, tell
24 us generally the conclusions that you have
25 reached as a geologist that cause you ultimately

1 to recommend to Meridian that they undertake this
2 horizontal project in the Huerfano unit.

3 A. During the course of my study, I found
4 that the basal portion of the Gallup Producing
5 Interval is prospective for oil and gas
6 development. It's actually on the eastern edge
7 of the Gallegos-Gallup Field.

8 And we feel that Section 29 is
9 prospective for actually the Tocito member of the
10 basal Gallup Producing Interval for a high angle
11 or a horizontal test based on geologic
12 characteristics, such as primary and secondary
13 permeability and intergranular porosity.

14 Q. Let's turn to the exhibit booklet and
15 find a locator map for the Examiner. I propose
16 that we look at the first display following
17 Exhibit No. 3.

18 There are two displays behind that tab,
19 Mr. Examiner: One is a locator map in which a
20 line of cross-section is drawn. It's followed by
21 another locator map.

22 Let me direct your attention to Exhibit
23 3 that has the line of cross-section shown on
24 it. And so that we can begin to understand
25 exactly where you are with your project, help us

1 understand the pools or the fields in this
2 immediate vicinity.

3 A. Okay. The subject well, the Huerfano
4 218 is in the eastern portion of the
5 Gallegos-Gallup Field in Section 29. And it's
6 offset to the south and east by a conventional
7 recompletion which we did last year, the Huerfano
8 219.

9 Q. That's a recompletion from the Dakota
10 up into the Gallup?

11 A. Yes, that's correct.

12 Q. The spacing unit for that well is what
13 orientation?

14 A. That's a 320-acre spacing.

15 Q. And it's the south half of that
16 section?

17 A. That's correct.

18 Q. Okay. What's the well to the west of
19 the Huerfano 218, the 216?

20 A. The Huerfano 216 is another
21 conventional vertical recompletion to the Gallup
22 Producing Interval from the Dakota. The Dakota
23 was abandoned.

24 Q. All right. If we look at the northern
25 end of the display, there is penciled the No.

1 300. And an arrow points to a well symbol; it's
2 just to the north and west of the star that shows
3 the type log. What is the purpose of indicating
4 the 300 number?

5 A. The 300 was actually a new drill, high
6 angle test of the Gallup Producing Interval which
7 we drilled last fall.

8 Q. Okay.

9 A. We penetrated the entire Gallup
10 Producing Interval at a high angle in that well.

11 Q. All right. Let's look at the Huerfano
12 218, the subject well, in terms of the
13 conventional vertical development that's occurred
14 in the Gallup Field in this immediate area.

15 A. Uh-huh. You notice from the map that
16 all of the Gallup completions are noted by
17 hexagons and that the majority of them in the
18 Gallegos-Gallup Field are well to the west of the
19 Huerfano 218.

20 Those wells which do not have numbers
21 above them are all vertical new drill locations.
22 So actually development -- or I should say
23 vertical conventional development of the
24 Gallegos-Gallup Pool essentially ended to the
25 west of the Huerfano No. 216.

1 Q. Do you have an explanation as to why
2 the conventional vertical development in the
3 Gallup terminates --

4 A. Yes.

5 Q. -- west of this location?

6 A. Yes. We feel that it's uneconomic from
7 a new drill standpoint to the east of the
8 existing development.

9 Q. As we move then to the sections in
10 which the Huerfano 218 is to be developed, that
11 is an area where you have to examine
12 recompletions out of the Dakota or some other
13 formation back up into the Gallup?

14 A. That's correct.

15 Q. Let's go to the second locator map
16 behind Exhibit 3. The arrow on that display
17 showing Section 29 in the northwest quarter
18 identifies the proposed recompletion?

19 MR. STOVALL: You're looking at the
20 first sheet?

21 THE WITNESS: It would be the first
22 display on Exhibit 3, I believe.

23 Q. (BY MR. KELLAHIN) Mine was the other
24 way around. I apologize for confusing you. It's
25 the other display. I'm looking at Section 29.

1 A. Right.

2 Q. The arrow indicates then the subject
3 well?

4 A. Yes, it does.

5 Q. Identify for us the other wells in the
6 section.

7 A. The other wells within that section are
8 the Huerfano Nos. 218-E, which is an infill
9 Dakota location, and the Huerfano No. 219-E,
10 which is another infill Dakota location in the
11 southwestern portion of the section.

12 The Huerfano 219 was a, once again, it
13 was a Dakota, original Dakota wellbore, which we
14 recompleted to the Gallup Producing Interval last
15 year. It's in the southeast.

16 Q. Why has Meridian selected the 218 as
17 the well in this section to attempt the
18 horizontal completion technology in the Gallup?

19 A. Because of the geologic characteristics
20 within the basal Gallup Producing Interval as
21 noted on wire line logs in the area in general
22 and in the Huerfano 218 wellbore specifically.

23 Q. Is there any other well in Section 29
24 that you could use to test this technology on at
25 this point?

1 A. No. The 218 is currently an NMOCD well
2 that they have requested that we do something
3 with that wellbore. And its location is such
4 that a directional test -- it's in an ideal
5 location for a directional test.

6 Q. All right. Let's look at some of the
7 geology that you have prepared to support your
8 conclusions about the horizontal wellbore. If
9 you'll turn to Exhibit 4 and look at the display
10 following that tab, identify that display for
11 us.

12 A. Okay. That's a sand isopach map based
13 on density porosity greater than 8 percent of the
14 Tocito Producing Interval. Actually we divide
15 the Tocito into two intervals, the uppermost
16 being our primary objective in this project,
17 which it has a very favorable depositional
18 permeability and porosity. And it's noted on the
19 cross-section on the wall over there as the upper
20 orange interval.

21 The map that you're looking at is an
22 isopach map of that upper orange interval. What
23 we're trying to depict here with the isopach map
24 is that along azimuth of our proposed horizontal
25 sidetrack, the sand thickness, that upper sand

1 thickness is between 12 and 14 feet.

2 Q. Why have you selected this particular
3 Tocito interval among all the intervals in the
4 Gallup as the target formation?

5 A. We feel it's the only interval within
6 the Gallup Producing Formation which is
7 prospective for oil and gas development in this
8 area.

9 The Gallegos Field actually to the west
10 produces out of some upper fractured Niobrara
11 sands. And that's one of the reasons why
12 development ended to the west of here. Those
13 sands we do not feel are prospective in Section
14 29 or in this eastern portion of the Gallegos
15 trend.

16 Q. What is the reason for the orientation
17 of this lateral in the direction that it's
18 displayed?

19 A. We're very confident that our proposed
20 azimuth will be perpendicular to the interpreted
21 trend of natural fracturing throughout the area
22 based on not only dip meter and microresistivity
23 surveys, which we have studied extensively in the
24 past, but also, if you'll note, the rose diagram,
25 the red, rose diagram on the cross-section is

1 actually a frequency histogram of well developed
2 natural fractures noted by a formation
3 microscanner log run on a vertical Gallup well.

4 MR. KELLAHIN: For the record Mr. Head
5 is referring to the large copy of the display.
6 It's found in the exhibit book behind Exhibit No.
7 7, which is a reduced copy.

8 Q. Go ahead, Mr. Head.

9 A. We feel that -- we have a high degree
10 of confidence that that is the dominant
11 orientation of open natural fractures in this
12 area.

13 Q. What do you as a geologist hope to
14 achieve with this horizontal well that you have
15 not been able to achieve with a conventional
16 vertical well?

17 A. We hope to compare not only the results
18 of this test with some nearby conventional Gallup
19 recompletions recent, but also to test the lower
20 Tocito Producing Interval for approximately
21 perhaps 50 percent of the horizontal reach from
22 the host wellbore.

23 The cross-section on the wall is
24 actually an illustration of our intent to test
25 that lower interval, which we feel is tight and

1 is noncommercial from a vertical completion
2 standpoint. We have good evidence that it is
3 fractured in the area and that we will optimize
4 our chances of recovering hydrocarbons by opening
5 several hundred feet of it to horizontal
6 wellbore.

7 Q. Let's talk about structure in this
8 area. If you'll turn to the display following
9 Exhibit 5, identify and describe for us what, if
10 any, structural significance there is to this
11 particular project.

12 A. First of all, this is a geologic
13 structure map hung on the top of the Juana
14 Lopez. It's a very persistent marker on electric
15 logs in the area. And the purpose of this is to
16 show that there's very little regional dip to
17 contend with.

18 We do have dense control in the area.
19 And we feel that dip is almost negligible. In
20 fact, we are going to be drilling essentially
21 along depositional strike.

22 Q. This marker upon which you've hung the
23 structure is located just below the Tocito?

24 A. Yes, sir. It's located about 200 feet
25 below the Tocito generally.

1 Q. Structure is not of significance then
2 in either the decision or the execution of the
3 objectives of the project?

4 A. That is correct.

5 Q. Let's turn to the type log, which is
6 the display following Exhibit No. 6. Identify
7 and describe that for us.

8 A. Okay. First of all, I'll call your
9 attention to the Juana Lopez, which was the datum
10 that we used in the structure map. You'll notice
11 it's at the base of the Gallup Interval. The
12 Tocito is above an unconformity right above the
13 top of the regressive Gallup Sandstone. That, of
14 course, is our primary objective.

15 The upper part of the Gallup Producing
16 Interval, which we are not interested in focusing
17 on in this project, is illustrated in this type
18 log, which is by the way, about, oh, probably
19 about four or five miles to the north of Section
20 29, which you'll see on there.

21 Q. At this location this well is going to
22 be subject to the Gallegos-Gallup Associated Pool
23 Rules; am I correct in remembering?

24 A. Yes.

25 Q. You're in one of the associated oil and

1 gas pools, are you not?

2 A. That's correct. It would be the
3 Gallegos-Gallup.

4 Q. What do you anticipate will be the
5 classification of this well? Is this likely to
6 be a gas well at this location, or is it likely
7 to be an oil well?

8 A. Based on the area, I believe it will be
9 -- I believe it will be a gas well.

10 Q. Okay. Are there any other geologic
11 elements to the project that you've not yet
12 described for us?

13 A. No.

14 Q. All right. Take us through, without
15 describing the engineering details, take us
16 through as a geologist what you think that this
17 particular technology is going to help you
18 achieve at this location, and let's use Exhibit
19 No. 7 as your display.

20 A. The main interest to us in this project
21 is that we will -- it will afford us the
22 opportunity, as I mentioned before, to not only
23 compare the results of this test to recent
24 conventional recompletions in the area in close
25 proximity to this, but it will also afford us the

1 opportunity to test the technology in an existing
2 wellbore using slim-hole tools.

3 And we feel that it's a very efficient
4 way to develop the resource, and economically it
5 certainly makes sense. And --

6 Q. Give us a general idea of the economics
7 involved with taking a well that you're going to
8 recompleat out of the Dakota into the Gallup and
9 using that technology to drill a horizontal
10 well. What's the cost of this effort?

11 A. The cost, the gross cost of this effort
12 will be around \$330,000 as opposed to \$250,000
13 for a conventional recompletion.

14 Q. All right. Now contrast that to the
15 general range of a new drill for a horizontal
16 well using this technology.

17 A. Total cost of a new drill test in this
18 area would be upwards of \$1.2 million.

19 One thing that I was going to mention
20 is that one of the real attractions is the
21 strategic value associated with this project,
22 which is very evident across the southern portion
23 of the Huerfano Unit.

24 As you move east from this location,
25 the Tocito, the porous, impermeable Tocito

1 pinches out quite rapidly laterally. And the
2 lower portion of the Tocito is pervasive
3 throughout the area. And we feel that if we have
4 encouragement in the lower portion of the Tocito
5 in this wellbore, that it's going to give us
6 quite a bit of steerage in future development,
7 horizontal development.

8 Q. Is this the first of this type of pilot
9 project, if you will, using this type of
10 technology in the Huerfano Unit?

11 A. Yes, it is.

12 Q. What are the elements that characterize
13 this as being different from the other horizontal
14 or high angle drilling that Meridian has done in
15 this area?

16 A. First and foremost, this is a high
17 angle sidetrack out of an existing wellbore, as
18 opposed to our high angle test from last year,
19 the Huerfano 300, in which we tested the entire
20 Gallup Producing Interval at a high angle.

21 This project we will focus on the basal
22 Gallup. It will also afford us the opportunity
23 to essentially open-hole DST both Tocito
24 intervals and also, to a lesser extent, the upper
25 what could be fractured Niobrara Interval.

1 Q. To orient us to Exhibit No. 7, the
2 Niobrara is going to correspond to what is
3 identified as the Gallup Interval A, B, and C on
4 your display?

5 A. That is correct.

6 Q. All right. Let's go back to some of
7 the schematics and have you help explain those.
8 Exhibit 1 is the application itself. If you'll
9 turn to Exhibit 2, let's look at the displays at
10 that point. The first display, would you
11 identify and describe that for me?

12 A. That's just a location plat of where
13 the existing Huerfano 218 wellbore is in the
14 northwest-northwest of Section 29.

15 Q. Okay. And turn the page and identify
16 and describe the next display.

17 A. This is a schematic of our intent in
18 the Huerfano 218.

19 Q. All right. And you've more completely
20 described that on the following Exhibit No. 7?

21 A. That's correct.

22 Q. Let's turn the page and look then at
23 the next display, figure No. 3. Identify and
24 describe this display.

25 A. Okay. That's what we call azimuthal

1 plot showing our intended angle.

2 Q. Your proposal is to have yourself
3 confined to a drilling window that would have
4 side boundaries of 790 feet from the outer limits
5 of the spacing unit?

6 A. That's correct.

7 Q. And your intent then is to remain
8 confined within the producing interval of the
9 Gallup so that you honor those setbacks?

10 A. That's correct.

11 Q. Let's look at the next display, the
12 figure following that last display. Again this
13 is just a cartoon or a schematic demonstrating
14 some of the elements of the horizontal well?

15 A. Right.

16 Q. There's something a little different
17 here. Exhibit 7 does not show the balance of the
18 vertical well below the kickoff point, and this
19 figure does. Do you see what I'm seeing below
20 the curve?

21 A. Yes.

22 Q. The wellbore extends -- that's the
23 extension down into the Dakota, is it not?

24 A. Right, that's correct. We intend to
25 abandon that interval.

1 MR. KELLAHIN: Okay. That concludes my
2 examination of Mr. Head, Mr. Examiner. We would
3 move the introduction of Exhibits 1 through 7.

4 EXAMINER CATANACH: Exhibits 1 through
5 7 will be admitted as evidence.

6 EXAMINATION

7 BY EXAMINER CATANACH:

8 Q. Mr. Head, it's my understanding that
9 the main producing interval in the Gallup
10 associated pool is the Niobrara to the west of
11 here?

12 A. That's correct.

13 Q. And does the Niobrara pinch out, or do
14 you lose porosity in that zone as you go east?

15 A. As you go east, the lower portion of
16 the Gallup Producing Interval or Tocito, if you
17 will, does become tighter, much thinner in
18 nature.

19 And also the Niobrara B interval, which
20 is productive in the main portion of the Gallegos
21 trend is not prospective in the eastern portion
22 we feel from wire line data.

23 Q. You talked a little bit about well No.
24 300. That was a high angle well?

25 A. Yes, sir. That was a high angle new

1 drill we drilled last fall. It was a high angle
2 test of the entire Gallup Producing Interval.

3 Q. Where is that well located?

4 A. That well is located approximately, if
5 you'll refer to Exhibit 3, page 2 of Exhibit 3,
6 it's approximately five miles to the
7 north-northwest.

8 Q. How successful was that well?

9 A. It was very successful within the
10 Tocito Interval. We had a gauge on that well of
11 18 million a day, absolute open flow. And it's
12 currently restrained right now.

13 Q. Is that just from the Tocito Interval?

14 A. We believe that the majority of that
15 gas is from the Tocito. Up until we intersected
16 the Tocito, we were gauging approximately 150 Mcf
17 a day and maybe 5 barrels of oil a day.

18 Q. You mentioned something about OCD has
19 directed you guys to do something with well No.
20 218?

21 A. That's correct.

22 Q. What's the situation with that?

23 A. The well has been blind-plated for a
24 couple of years. And my engineering teammates
25 were notified that the NMOCD had identified that

1 as a candidate for some sort of remedial work.

2 Q. The well No. 218 will be the first
3 Gallup test in the north half of that section?

4 A. That's correct.

5 MR. KELLAHIN: It will be the first
6 horizontal test. There is a recompletion. The
7 219, is that what you said? That's the vertical
8 test. That was the first one.

9 EXAMINER CATANACH: In the south half?

10 MR. KELLAHIN: Right.

11 Q. (BY EXAMINER CATANACH) Mr. Head, what
12 kind of data did you use to construct your
13 histogram?

14 A. We used formation microscanner data
15 from the Huerfano No. 303, which is about a
16 mile-and-a-half to the east of the Huerfano 300,
17 which was drilled at the same time -- Huerfano
18 303 was drilled at the same time as the Huerfano
19 300.

20 And we found that our best developed
21 open natural fractures, as indicated by the
22 formation microscanner, were within the Tocito
23 interval or actually right at the base of the
24 Tocito interval. And that histogram on Exhibit 7
25 is a result of that study.

1 Q. So it was just run on that one well?

2 A. It was run on that one well. That
3 corroborates an earlier study that we in the
4 geology department did prior to the drilling and
5 determining the azimuth of the Huerfano 300 new
6 drill, which had essentially the same azimuth as
7 the one which we propose in this wellbore.

8 Q. Do you anticipate any kind of a
9 stimulation or fracturing in the open hole?

10 A. No, sir. We're hoping for a natural
11 completion.

12 Q. You made a statement that you thought
13 this would be a gas well. What will lead you to
14 that conclusion?

15 A. I believe that the wells in the area
16 are all classified as gas wells based on their
17 GORs. But the newness of the technology is why
18 we're a little bit hesitant about that because we
19 feel that -- we feel that we're really optimizing
20 our chances of recovering liquids by encountering
21 natural fracturing with a horizontal test.

22 EXAMINER CATANACH: I believe that's
23 all I have.

24 Anything else?

25 MR. KELLAHIN: Nothing further.

1 EXAMINER CATANACH: This witness may be
2 excused.

3 MR. KELLAHIN: I'd like to call Mr.
4 Paul Allan. Mr. Allan is a drilling engineer
5 with Meridian.

6 PAUL D. ALLAN

7 Having been duly sworn upon his oath, was
8 examined and testified as follows:

9 EXAMINATION

10 BY MR. KELLAHIN:

11 Q. Mr. Allan, would you, please, state
12 your name and occupation?

13 A. Paul Allan. I'm a drilling engineer
14 with Meridian Oil.

15 Q. Mr. Allan, on prior occasions have you
16 testified as drilling engineer for your company
17 before this Division?

18 A. Yes, I have.

19 Q. In fact, you were the drilling engineer
20 that testified in the Division case for the
21 Huerfano 300 well, weren't you?

22 A. Yes, I was.

23 Q. As part of your duties as a drilling
24 engineer, did you prepare and participate in the
25 study that resulted in this proposal to your

1 company?

2 A. Yes, I did.

3 Q. And were you the drilling engineer that
4 designed and approved this particular program for
5 this well?

6 A. Yes.

7 Q. Have you been in charge of selecting
8 the individuals to actually execute this program
9 and to determine what tools and devices to
10 utilize in the drilling of this well?

11 A. Yes.

12 MR. KELLAHIN: We tender Mr. Allan as
13 an expert drilling engineer.

14 EXAMINER CATANACH: He is so qualified.

15 Q. (BY MR. KELLAHIN) Mr. Allan, let me
16 have you go to Exhibit No. 7, the large copy that
17 we've put on the wall. Let's use that as an
18 example by which you can describe for us your
19 general well plan. Take us from the surface and
20 tell us how you're going to do this.

21 A. Right. We will be going into the
22 existing 4-1/2 inch casing. It is not shown on
23 this. It is shown in the exhibit that we've got
24 in the book. We will mill a 60-foot section of
25 that casing. Mill a 60-foot section of that

1 casing -- I'm sorry, I need to back up.

2 We will be setting a cement retainer
3 prior to any activity and cementing off the
4 Dakota down to TD. We will then go in and mill
5 off a 60-foot section, go back in and under-ream
6 that section to the original hole size of 7-7/8
7 inch.

8 We will then set a cement plug or a
9 very high density cement that we can kick off
10 in. We'll then drill down with an assembly that
11 drills straight, a packed assembly, down to the
12 kickoff point at 5324.

13 At that point we'll unload the hole
14 with an air mist system. And we'll begin
15 directional drilling, building at 17 degrees per
16 100 to 90 degrees into the Tocito.

17 Q. What's the reason to use the air mist
18 system in drilling the angle and then the
19 horizontal leg of the well?

20 A. It allows for a test of the upper
21 Niobrara zone. In an air mist drilling
22 environment, formation damage, we feel that that
23 is a contributing factor to eliminating formation
24 damage.

25 Q. Have you been successful in applying

1 the air mist drilling --

2 A. Yes, we have.

3 Q. -- technology to other wells like this?

4 A. Yes, we have. Huerfano 300 and other
5 wells since then have proven that the air mist
6 system is a viable way of drilling horizontal
7 wells.

8 Q. Characterize for us how this well
9 program is different, for example, than the 300
10 well program.

11 A. This well, first off, most notably it
12 is coming out of existing casing. The tools we
13 will be using are 2-3/8 inch tools, which is
14 different than the 4-3/4 inch of standard
15 large-bore directional wells. So these are
16 considered slim-hole tools.

17 This well is a combination of those two
18 technologies, air drilling and slim-hole tools.

19 Q. Have we as of yet applied the slim-hole
20 tool horizontal technology in wells in the San
21 Juan Basin?

22 A. We have not, no.

23 Q. Okay. So this will be the first one?

24 A. Right.

25 Q. Describe for us then what happens?

1 A. We will at this point go in with a
2 steerable assembly that can build at 6 degrees
3 per 100 or can be held to hold a straight line as
4 well. And we will drill out as far as we can
5 get, staying within the drilling window with the
6 790 setbacks.

7 Q. I see in the display or the schematic
8 there is the possibility to complete a certain
9 portion of the lateral in the Upper Tocito and
10 then to build further angle, level off again and
11 drill the lateral continuing in a lower Tocito.
12 Describe for us how you propose to do that.

13 A. The steerable assembly when it's
14 rotated holds a straight line. It's got a slight
15 bend to it and it just drills a little bit bigger
16 hole. When you do not rotate it, the motor
17 allows it to build angle or drill in a
18 direction. And that's the theory behind the
19 steerable design.

20 So we will stop rotating and allow the
21 motor to build down, begin rotating again and
22 then do the same thing to level off back into the
23 other Tocito.

24 Q. Why would you want to do that?

25 A. To be able to test both zones

1 independently. It's an ongoing drill stem test
2 basically is what we've got.

3 Q. Tell us how you'll complete the well
4 for production.

5 A. We will run a 2-3/8 inch perforated
6 tubing up to the kickoff point and pack it off at
7 this point. That will allow us to either produce
8 through the 4-1/2 inch casing or run tubing and a
9 pump to right above the tubing, the existing
10 tubing.

11 Q. Is there anything else that you propose
12 in this well program before you test it for
13 production? Any type of stimulation tests?

14 A. No.

15 Q. Okay. Anything else about the display?

16 A. Not that I can see.

17 Q. How are you going to know where you
18 are?

19 A. We're going to be using a steering tool
20 device that is basically hard-wired from the
21 surface to 20 feet from within the bit. And this
22 is a proven technology, and it uses
23 accelerometers and so on to tell you exactly
24 where you are. It's MWD technology.

25 Q. What's your anticipated time to

1 commence the operation and complete all the
2 procedures?

3 A. Approximately twelve days.

4 Q. The plan is to start at this existing
5 well and to remain confined then within the 790
6 drilling window of the north half spacing unit as
7 shown on the display?

8 A. Correct.

9 Q. Okay. Anything else about the display?

10 A. No, sir.

11 Q. All right. Please have a seat.

12 A. [Witness complied.]

13 MR. KELLAHIN: That completes my
14 questions of Mr. Allan. We tender him for
15 cross-examination.

16 EXAMINATION

17 BY EXAMINER CATANACH:

18 Q. Mr. Allan, is it your proposal you
19 just test the individual zones as you go through
20 them --

21 A. Correct.

22 Q. -- drilling? What's the approximate
23 lateral distance once you encounter the Tocito
24 that you'll be drilling?

25 A. Approximately 300 feet, 280 feet,

1 somewhere around there.

2 Q. That will be approximately split even
3 between the Upper and Lower Tocito?

4 A. Correct.

5 Q. If you encounter commercial production,
6 how do you propose to complete it?

7 A. Running the perforated tubing. It will
8 be just an open-hole completion with perforated
9 tubing. We will run that in and then pack it off
10 into the existing casing.

11 Q. So you'll be running the perforated
12 tubing from the kickoff point down to the total
13 depth?

14 A. Correct.

15 MR. STOVALL: May I ask a point of
16 clarification?

17 EXAMINATION

18 BY MR. STOVALL:

19 Q. Either I didn't understand the
20 question, or I didn't understand the answer, I
21 think, in terms of the horizontal length of the
22 well. You said 280 feet?

23 A. Excuse me. I'll have to go back up to
24 it. It is approximately, yes, 280 feet to 320
25 feet, somewhere in that range.

1 Q. You're talking about the point where
2 you reach the horizontal from the --

3 A. Yes.

4 Q. -- offset from the vertical?

5 A. Right.

6 MR. STOVALL: Okay. I misunderstood
7 what you said.

8 MR. KELLAHIN: That's intended to
9 simply be a plan. If they get into the reservoir
10 and have the opportunity to go farther, they want
11 the flexibility in fact to drill within the 790
12 setback.

13 THE WITNESS: All right. This map is
14 cut off. I guess it's cut off at 1500 feet. It
15 could have been doubled out to 3,000 or 3,800
16 feet. That is the end of the drilling window.

17 FURTHER EXAMINATION

18 BY EXAMINER CATANACH:

19 Q. So at this point in time, you don't
20 really know exactly how far you're going to be
21 drilling it?

22 A. No. We're applying two very new
23 technologies in a way that really hasn't been
24 done. We will go out until the drilling
25 mechanics tell us we can't go out any farther.

1 Q. Besides the size of the tools, is there
2 other significant differences between this well
3 and the 300 well?

4 A. Other than we're kicking out of
5 existing casing, no.

6 Q. Did you have any real serious
7 mechanical problems with the 300 well?

8 A. No, we didn't.

9 EXAMINER CATANACH: I believe that's
10 all I have of the witness. He may be excused.

11 MR. KELLAHIN: Call Mr. Alan
12 Alexander. Mr. Alexander is a petroleum landman
13 with Meridian.

14 ALAN ALEXANDER

15 Having been duly sworn upon his oath, was
16 examined and testified as follows:

17 EXAMINATION

18 BY MR. KELLAHIN:

19 Q. Mr. Alexander, would you, please, state
20 your name and occupation?

21 A. My name is Alan Alexander. I'm
22 employed as a senior staff landman with Meridian
23 Oil in Farmington, New Mexico.

24 Q. Mr. Alexander, on prior occasions have
25 you qualified and testified as an expert

1 petroleum landman for your company before the
2 Division?

3 A. I have.

4 Q. Pursuant to your employment in that
5 capacity, are you familiar with the boundaries
6 and the operations of the Huerfano Unit?

7 A. Yes, I am.

8 MR. KELLAHIN: We tender Mr. Alexander
9 as an expert petroleum landman.

10 EXAMINER CATANACH: Mr. Alexander is so
11 qualified.

12 Q. (BY MR. KELLAHIN) Let me direct your
13 attention, Mr. Alexander, to the display
14 following Exhibit No. 2, which I believe was the
15 first display. It is identified as the offset
16 ownership plat. Is that a plat that you
17 prepared?

18 A. It was prepared under my direction.

19 Q. In preparing the plat did you have your
20 staff determine the location of this 320-acre
21 spacing unit insofar as where it was within the
22 Huerfano Unit itself?

23 A. That's correct.

24 Q. Are you within the outer boundaries of
25 the Huerfano Unit so that all offsetting

1 operatorship is controlled by the unit?

2 A. That's correct.

3 Q. In that instance then there are no
4 other parties to notify of your application in
5 this case, is there?

6 A. Yes, sir. There are no other parties.

7 MR. KELLAHIN: That concludes my
8 examination of Mr. Alexander.

9 MR. STOVALL: Do you want to cross on
10 that? I don't think I've got any questions for
11 Mr. Kellahin.

12 EXAMINER CATANACH: No, I don't have
13 any questions.

14 MR. KELLAHIN: Okay. That concludes
15 our presentation, Mr. Examiner.

16 EXAMINER CATANACH: Okay. Mr.
17 Kellahin, I want to ask you about the special
18 project oil allowable that seems to have been
19 missed. I didn't see where you guys -- what
20 exactly are you asking for with the special
21 project for the allowable?

22 MR. KELLAHIN: We're asking for the
23 project allowable that's been consistent with the
24 past Division orders insofar as under the
25 associated rules for this particular pool, a gas

1 proration unit would be 320 acres, and so that
2 would be standard.

3 The oil proration unit is 80 acres.
4 And the solution in the past has been to grant
5 the allowable in terms of how many Standard Oil
6 proration units are contained in the spacing
7 unit, so this is simply four. Eighty acres
8 divided by the 320 gives you four of these
9 spacing units.

10 And the justification accepted by the
11 Division in the past is that the lateral portion
12 is projected to intersect each of those four
13 80-acre oil proration units. And so if this is
14 classified as an oil well, we'll be entitled to
15 take an 80-acre oil proration allowable times
16 four. And that's what we propose to do.

17 In other cases we have asked for a
18 bonus allowable in terms of a deliverability. We
19 are not asking for that in this case. We didn't
20 see that as a technical argument. It was simply
21 a matter of practice and request by the applicant
22 to the Division, which is consistent with what
23 the Division has done in other cases for us.

24 EXAMINER CATANACH: Mr. Kellahin, does
25 in fact a lateral portion of the wellbore or

1 horizontal portion of the wellbore traverse all
2 four 80-acre proration units?

3 MR. KELLAHIN: That is the plan.

4 MR. STOVALL: Is that technically
5 possible actually? You've got a straight line.

6 MR. KELLAHIN: It's technically
7 possible and feasible. And unless the operator
8 runs into some kind of limitations in the actual
9 drilling which brings them short of the last of
10 the 40-acre spacing units, then that's what we've
11 asked to do, is have a drilling window that
12 encompasses --

13 MR. STOVALL: Let me interrupt you and
14 get perhaps the engineer here to take my copy of
15 Exhibit No. 2 and draw the line showing me the
16 orientation on that first plat.

17 MR. KELLAHIN: I think it's already
18 drawn on one of these displays.

19 MR. STOVALL: I don't see where it goes
20 across. Yes, you've got that display on that
21 Exhibit No. 7 on the wall. It shows the angle.

22 MR. KELLAHIN: Here's the 3836 foot
23 full extension of the entire open-hole interval
24 that's shown on the figure 3 behind tab No. 2.
25 And that would intersect all four of those

1 spacing units.

2 MR. STOVALL: Pardon me for being real
3 technical, Mr. Kellahin, but I think what you're
4 saying is that this wellbore will effectively
5 transect -- is that the right word? the entire
6 328 acres even if it misses one of the 80-acre
7 tracts -- is probably more accurate.

8 MR. KELLAHIN: That is a more accurate
9 statement, yes.

10 MR. STOVALL: And therefore will likely
11 draw reserves, even if the wellbore doesn't
12 actually penetrate each of the 80-acre tracts, it
13 will likely draw reserves if there's any oil to
14 be had from each of the 80-acre tracts.

15 MR. KELLAHIN: That is our belief.

16 MR. STOVALL: Let me ask the engineer
17 that question. You heard the statement. Your
18 attorney has been testifying here for you. Do you
19 agree with what he's said on your behalf?

20 MR. ALLAN: I agree completely, yes.

21 MR. STOVALL: I was going to save all
22 my questions for the next case.

23 EXAMINER CATANACH: I believe that's
24 all I have.

25 MR. KELLAHIN: I don't have a reference

1 to the prior order. I'll be happy to supply that
2 to you.

3 EXAMINER CATANACH: Was that the well
4 No. 300?

5 MR. KELLAHIN: I believe it was done in
6 the 300, but I've forgotten the order number.

7 MR. STOVALL: Mr. Alexander, do you
8 want to give an affirmative yes to that? You
9 were nodding your head.

10 MR. ALEXANDER: Yes. We asked for the
11 same type of allowables on that wellbore, both
12 gas and oil spacing.

13 EXAMINER CATANACH: And that was
14 granted?

15 MR. ALEXANDER: It was granted.

16 EXAMINER CATANACH: That must have been
17 Mr. Stogner.

18 MR. KELLAHIN: It was Order No. R-9607.

19 EXAMINER CATANACH: R-9607.

20 MR. KELLAHIN: Yes.

21 EXAMINER CATANACH: Okay. Anything
22 further, Mr. Kellahin?

23 MR. KELLAHIN: No, sir.

24 EXAMINER CATANACH: There being nothing
25 further, Case 10481 will be taken under

1 advisement.

2 [And the proceedings were concluded.]

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 10481.
heard by me on May 28 1992.

David R. Catamb, Examiner
Oil Conservation Division


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4 COUNTY OF SANTA FE) ss.
5

6 I, Debbie Vestal, Certified Shorthand
7 Reporter and Notary Public, HEREBY CERTIFY that
8 the foregoing transcript of proceedings before
9 the Oil Conservation Division was reported by me;
10 that I caused my notes to be transcribed under my
11 personal supervision; and that the foregoing is a
12 true and accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a
14 relative or employee of any of the parties or
15 attorneys involved in this matter and that I have
16 no personal interest in the final disposition of
17 this matter.

18 WITNESS MY HAND AND SEAL JUNE 9, 1992.
19
20

21 
22 _____
23 DEBBIE VESTAL, RPR
24 NEW MEXICO CSR NO. 3
25