

## NEW MEXICO OIL CONSERVATION DIVISION

STATE LAND OFFICE BUILDING

STATE OF NEW MEXICO

CASE NO. 10488

IN THE MATTER OF:

The Application of Meridian Oil, Inc.,  
for a high angle/horizontal directional  
pilot project, special operating rules  
therefor, a nonstandard oil proration  
unit, a special project oil allowable,  
and special GOR assignment, San Juan  
County, New Mexico.

BEFORE:

DAVID R. CATANACH

Hearing Examiner

State Land Office Building

June 25, 1992

REPORTED BY:

DEBBIE VESTAL  
Certified Shorthand Reporter  
for the State of New Mexico

**ORIGINAL**

## A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

**ROBERT G. STOVALL, ESQ.**

General Counsel

State Land Office Building

Santa Fe, New Mexico 87504

FOR THE APPLICANT:

KELLAHIN, KELLAHIN & AUBREY

Post Office Box 2265

Santa Fe, New Mexico 87504-2265

BY: **W. THOMAS KELLAHIN, ESQ.**

FOR ROBERT R. CLICK:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.

Post Office Box 2208

Santa Fe, New Mexico 87504-2208

BY: **WILLIAM F. CARR, ESQ.**

## I N D E X

## Page Number

Appearances

2

## WITNESSES FOR THE APPLICANT:

1. JAMES HORNBECK

Examination by Mr. Kellahin 6

Examination by Examiner Catanach 14

2. PAUL ALLAN

Examination by Mr. Kellahin 16

Examination by Examiner Catanach 21

3. ALAN ALEXANDER

Examination by Mr. Kellahin 21

Examination by Examiner Catanach 22

Certificate of Reporter

25

## E X H I B I T S

Page Identified

1		
2		
3		
4	Exhibit No. 1	23
5	Exhibit No. 2	21
6	Exhibit No. 3	17
7	Exhibit No. 4	7
8	Exhibit No. 5	9
9	Exhibit No. 6	23
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1                   EXAMINER CATANACH: At this time we'll  
2 call Case 10488.

3                   MR. STOVALL: Which appears in bold,  
4 Application of Meridian Oil, Inc., for a high  
5 angle/horizontal directional drilling pilot  
6 project, special operating rules therefore, a  
7 nonstandard oil proration unit, a special project  
8 oil allowable, and once again a special GOR  
9 assignment, San Juan County, New Mexico.

10                  EXAMINER CATANACH: Why is that in  
11 bold, Mr. Stovall?

12                  MR. STOVALL: I want to know why the  
13 others were not in bold.

14                  EXAMINER CATANACH: Are there  
15 appearances in the case?

16                  MR. KELLAHIN: Mr. Examiner, I'm Tom  
17 Kellahin of the Santa Fe law firm of Kellahin,  
18 Kellahin & Aubrey appearing on behalf of Meridian  
19 Oil, Inc., and I have three witnesses to be  
20 sworn.

21                  MR. CARR: May it please the Examiner,  
22 my name is William F. Carr with the Santa Fe law  
23 firm, Campbell, Carr, Berge & Sheridan. I'd like  
24 to enter my appearance for Mr. Robert R. Click,  
25 an offsetting owner.

1 MR. STOVALL: What is that last name?

2 MR. CARR: Click, C-l-i-c-k.

3 EXAMINER CATANACH: Any other  
4 appearances?

5 Mr. Kellahin, are you using the same  
6 witnesses that were --

7 MR. KELLAHIN: Paul Allan is the  
8 additional witness to be sworn. Mr. Hornbeck and  
9 Mr. Alexander are the same.

10 [The witnesses were duly sworn.]

11 MR. STOVALL: The record will reflect  
12 that Mr. Hornbeck and Mr. Alexander were already  
13 sworn.

14 MR. KELLAHIN: I'd like to recall Mr.  
15 Jim Hornbeck. May the record reflect that Mr.  
16 Hornbeck is already under oath and is previously  
17 qualified as an expert witness?

18 EXAMINER CATANACH: Okay.

19 JAMES HORNBECK

20 Having been duly sworn upon his oath, was  
21 examined and testified as follows:

22 EXAMINATION

23 BY MR. KELLAHIN:

24 Q. Mr. Hornbeck, let's direct your  
25 attention now to what is called the USA No. 2

1 well. Find the display for us that gives us an  
2 area map by which you can help the Examiner  
3 locate where this particular well is.

4 A. That map is located as the first page  
5 behind the tab Exhibit 4.

6 Q. When we look at that display, how do we  
7 find the well?

8 A. The USA No. 2 Niobrara recompletion is  
9 located with the star in the southwest of Section  
10 24 in Township 32 North, Range 13 West, New  
11 Mexico.

12 Q. Describe for us the current status of  
13 the well that now exists at that location?

14 A. It is nonproductive and completed in  
15 the Dakota.

16 Q. What is the plan?

17 A. The plan is to abandon the existing  
18 Dakota perforations and come back and attempt a  
19 side track lateral in the fractured Niobrara  
20 zone.

21 Q. Again why do you want to apply  
22 horizontal technology to the Niobrara in this  
23 portion of the basin?

24 A. Well, there are two main reasons we'd  
25 like to try. One is the fact that it is

1 strategically located along the Hogback  
2 monoclinial flexure on the structure map that's  
3 included here, which is once again, the top of  
4 the Gallup is structured and contour interval  
5 being 100 feet.

6 It shows the USA No. 2 location to be  
7 right at the very bottom of the monoclinial  
8 flexure. And we have found that in several other  
9 wells located along the monoclinial flexure on the  
10 northwestern side of the basin that they have  
11 been able to make commercial completions in the  
12 fractured Niobrara in this structural setting.

13 The success rate has been very small.  
14 Very rarely is there a successful completion.  
15 And with horizontal technology we feel we can  
16 increase the odds of a successful completion in  
17 the Niobrara.

18 Q. Help orient us to where this well is in  
19 relation to Black Diamond wells.

20 A. This well is probably about ten miles  
21 to the due northeast up near the Colorado-New  
22 Mexico border and is dealing with a section of  
23 rock geologically is that much, much thinner  
24 bedded and finer grained and depends solely on  
25 natural fracturing for commercial production of



1 hydrocarbons.

2 Q. Take us to the large display, the  
3 small copy of which is found behind exhibit tab  
4 No. 5 --

5 A. That's correct.

6 Q. -- and help us understand the basin and  
7 reasons for your conclusions about the  
8 orientation of the fractures and then the  
9 direction of the lateral that you propose for the  
10 recompletion.

11 A. On both sides of this display, we have  
12 put the USA No. 2 log. And this zone in through  
13 here is -- this is a gamma ray and a resistivity  
14 log.

15 Q. At what location on the type log are  
16 you referring to as "here"?

17 A. This is the USA No. 2.

18 Q. On the type log then --

19 A. I'm sorry.

20 Q. -- where is it?

21 A. Between the depths of 6000 feet and  
22 6200 feet, we have what can be shown to be very  
23 thinly bedded and very fined grained silts,  
24 sandstones, and shales. And that is the interval  
25 that we're targeting with the lateral.

1           With regard to the orientation of the  
2 wellbore, this information has been compiled that  
3 shows a north -- 72-1/2 degrees east and north  
4 17-1/2 degrees west directions for the most  
5 probable direction of fracturing in the  
6 subsurface. And that information has been  
7 compiled by some published work done by the USGS,  
8 in which they measured joint patterns along the  
9 Hogback to the direct north of this particular  
10 wellbore.

11           Jointing in rock on the surface is  
12 extrapolated to fractures at depth in the  
13 subsurface, and these are the orientations that  
14 would fit in the location of the USA No. 2 well.

15           Q.     If you'd come back to your seat, let's  
16 pick up with another display.

17           A.     [Complied.]

18           Q.     We've looked at the structure map  
19 behind Exhibit 4. If you'll look at the next  
20 display after the structure map, what is shown at  
21 that point?

22           A.     This map is a summary of completions in  
23 the Niobrara within the immediate area of the USA  
24 No. 2 plug-back candidate.

25           Q.     A while ago you concluded that a

1 vertical well in the Niobrara was highly risky;  
2 that it didn't justify your company attempting  
3 further developments in this area?

4 A. That is correct. And I think that's  
5 borne out by this map.

6 Q. Describe for us how that supports that  
7 conclusion.

8 A. There are some production "cums" for  
9 the particular wells that have been attempted to  
10 be completed in the Niobrara and on this map.  
11 And, as you can see, the highest "cum" within the  
12 area of the USA No. 2 recompletion candidate is  
13 only 214 barrels of oil.

14 Q. Following that display is another area  
15 map. What's identified and described on that  
16 display?

17 A. This is a regional overview of Niobrara  
18 pools within the area of the USA No. 2. The  
19 large arrow points to the location of the USA No.  
20 2 in 32 and 13 West. And I guess the important  
21 thing here to point out is that about four miles  
22 due southwest is a small fractured Niobrara pool,  
23 the La Plata pool. And other than that there  
24 isn't any production in the area of our attempted  
25 recompletion.

1           Q.       The Gallup or the Niobrara in this  
2 particular area is not within the current  
3 horizontal limits of either a Gallup or a  
4 Niobrara oil pool?

5           A.       That is correct.

6           Q.       Statewide spacing for oil at this depth  
7 would be 40 acres for a vertical well?

8           A.       That is correct.

9           Q.       What is the proposed nonstandard oil  
10 spacing unit for this well?

11          A.       We are requesting 160 acres.

12          Q.       Why are you requesting 160 acres?

13          A.       We are requesting 160 acres for this  
14 particular project based on the fact that  
15 location of the wellbore and mechanical  
16 limitations of reentering an existing cased well  
17 and drilling out the distance we would like to go  
18 limits us to about 1,000 feet, which would be to  
19 the edge of the 160-acre requested spacing unit.

20          Q.       And if you dedicated less than 160  
21 acres, then you would have a lateral that is too  
22 short?

23          A.       That is correct.

24          Q.       Why not extend this further and go to a  
25 320-spacing as you have proposed in the other two

1 wells?

2 A. Well, I kind of touched on it in the  
3 prior response. The mechanical technology is  
4 just not there for slim-hole tools, side-tracks  
5 to span the entire length of the 320. We think  
6 if we can go the distance that we envision  
7 between 1000 and 1500 feet, we'll be pushing the  
8 edge of drilling technology.

9 And in addition there's an additional  
10 geologic complication in that the dip of these  
11 rocks, the Niobrara beds in this particular  
12 location is so steep that we are already drilling  
13 at about 94 degrees to stay within them for what  
14 we're requesting, 1500-foot lateral as it is. To  
15 go the additional 320 would be probably very  
16 difficult. It wouldn't be "probably"; it would  
17 be difficult.

18 Q. When you look at the Niobrara reservoir  
19 within the boundaries of the southwest quarter of  
20 the section, is that geologically suitable where  
21 each of those 40-acre tracts is positioned where  
22 they will contribute oil to that wellbore if this  
23 is productive?

24 A. Well, we believe it will. The joint  
25 pattern kind of bears that out as far as we can

1 tell. The perpendicular fractured directions or  
2 joint patterns which can be interpreted to be  
3 subsurface fracture directions would mean that  
4 we'll have intersecting fracture patterns that  
5 should effectively drain the majority of the oil  
6 in that drill block.

7 Q. What is Meridian seeking for a project  
8 oil allowable for this particular well?

9 A. The standard, four times the 40-acre  
10 standard allowable.

11 Q. For the four spacing units then that  
12 would be dedicated to this well?

13 A. That is correct.

14 MR. KELLAHIN: That concludes my  
15 examination of Mr. Hornbeck, Mr. Examiner.

16 EXAMINATION

17 BY EXAMINER CATANACH:

18 Q. Mr. Hornbeck, is this Niobrara  
19 interval, is it present in most of the basin?

20 A. Yes, it is. It's kind of a leopard.  
21 Sometimes it has white spots and sometimes it has  
22 black. It changes its makeup quite a bit across  
23 the basin. This particular package, the Niobrara  
24 package is present throughout the basin and has  
25 been the major focus of directional drilling

1 throughout the San Juan Basin.

2 Q. There could be a lot of potential?

3 A. There could be a lot of potential.

4 Q. Your fracture orientations were  
5 determined from surface --

6 A. Mapping.

7 Q. -- mapping.

8 A. Yes.

9 Q. Okay. That's the only evidence you  
10 have or data you have at this point?

11 A. That is all we have at this time, yes.

12 Q. Are you going to verify that?

13 A. Unfortunately we can't in this  
14 wellbore. Being already cased and cemented,  
15 there is no tool that will determine fracturing  
16 that we could run in this wellbore. Given the  
17 opportunity for a new drill, if based on some  
18 success in this wellbore, we certainly would be  
19 looking at it very carefully.

20 EXAMINER CATANACH: I have nothing  
21 further.

22 MR. KELLAHIN: I'd call Mr. Paul  
23 Allan. Mr. Allan is the drilling engineer.

24 PAUL ALLAN

25 Having been duly sworn upon his oath, was

1 examined and testified as follows:

2 EXAMINATION

3 BY MR. KELLAHIN:

4 Q. Mr. Allan, for the record would you,  
5 please, state your name and occupation?

6 A. Paul Allan. I'm a drilling engineer  
7 with Meridian Oil.

8 Q. Mr. Allan, on prior occasions have you  
9 testified as a drilling engineer with regards to  
10 your company's horizontal projects in the basin?

11 A. Yes, I have.

12 Q. What particular well did you testify  
13 about?

14 A. The Huerfano Unit 300 and the Huerfano  
15 Unit 218.

16 Q. With regards to the USA No. 2, have you  
17 also performed the drilling functions to design  
18 the drilling plan and the completion program for  
19 the well?

20 A. Yes, I have.

21 MR. KELLAHIN: We tender Mr. Allan as  
22 an expert drilling engineer.

23 EXAMINER CATANACH: Mr. Allan is so  
24 qualified.

25 Q. (BY MR. KELLAHIN) Let me have you turn



1 to the drilling plan for the USA 2. Before we  
2 discuss the actual schematic, which is the first  
3 display behind Exhibit No. 3, tell the Examiner  
4 how this particular plan is similar to or  
5 different from the others that you've been  
6 involved in.

7 A. This is different from the Huerfano  
8 Unit 300 in that we are using an existing  
9 wellbore and existing location. It is slim-hole  
10 technology, and that's another difference between  
11 this and the 300.

12 Q. The 218 was slim-hole technology,  
13 wasn't it?

14 A. Correct. The differences between this  
15 well and the Huerfano Unit 218 are in the casing  
16 size. The Huerfano Unit 218 we were drilling out  
17 of 4-1/2 inch casing; this is on a 5-1/2. The  
18 other major difference is just in the structure  
19 of the zone. The dip here is 12-1/2 degrees.  
20 The Huerfano Unit 218 had a relatively flat dip.

21 Q. Okay. Take us through the well plan.

22 A. Okay. First off, we'll go in and  
23 squeeze-cement the Dakota from 5750 to TD. We'll  
24 then go in and mill the 5-1/2 casing. We'll mill  
25 a 60-foot section and under-ream at that point to

1 get out to the original rock. We'll then go in  
2 and set a cement kickoff plug and commence  
3 directional drilling at that point.

4 Q. How will you complete the well for  
5 production?

6 A. We're going to run a perforated tubing  
7 into the open hole and open-hole complete it.  
8 We'll pack it off into the vertical wellbore.  
9 And if need be we can run a pump down to that  
10 point.

11 Q. What is the economic advantage to  
12 Meridian and any other working interest owner  
13 attempting to recomplete Dakota wells into the  
14 Niobrara? Can you give us a sense of whether or  
15 not there is an advantage to this technology?

16 A. A new drill comparable to this would  
17 run in approximately \$750,000 to \$1 million.  
18 This is approximately a \$300-\$350,000 project.

19 Q. Describe for us the aspects of the  
20 slim-hole technology that will be applied to this  
21 well.

22 A. The tool availability has increased  
23 greatly with respect to motors and MWDs and  
24 steering tools. In addition, we're combining air  
25 drilling expertise that we feel we have a fairly

1 good grasp on with the slim-hole technology into  
2 this new method.

3 Q. Are there any mechanical limitations as  
4 to the distance you can drill the lateral with  
5 slim-hole technology?

6 A. As this is a completely new area, we  
7 don't have that information as of yet. The  
8 models we have run have indicated that we can  
9 expect to get 1500 feet out or thereabouts.  
10 Overall we've got a plan for 1494 right now,  
11 which is within reason.

12 Q. Let's look specifically at figure No. 2  
13 following Exhibit No. 3 and let's talk about the  
14 slope in the bed of the Niobrara and how you  
15 propose to intersect that and then set it up for  
16 production.

17 When you look at the display, the  
18 dashed line represents the slope or --

19 A. Right.

20 Q. -- or the deposition of the Niobrara?

21 A. Right. That was taken from surface  
22 structure. And it could vary slightly, but that  
23 is our best estimate of what the dip is. We'll  
24 drill into that using an air/mist system and  
25 drill to the hard line, if we can get that far,

1     which is 1494 feet, given the 27-1/2 degree  
2     azimuth that we've planned.

3           Q.     When you set the well up for  
4     production, tell me again how do you set it up  
5     for production within the horizontal interval.

6           A.     We will be running perforated tubing to  
7     TD, and the tubing will then run up to  
8     approximately 5650 feet. We'll pack it off at  
9     that point and either produce through the  
10    existing casing or run a pump to that point on  
11    the tubing.

12          Q.     What is the up-hole point at which the  
13    perforations start for production in the  
14    interval?

15          A.     We'll run them throughout the zone of  
16    interest. We can monitor through mud logs when  
17    we're seeing shows and that type of thing and  
18    space the perforations accordingly.

19          Q.     And then the last display within that  
20    exhibit set is the one that shows the bird's-eye  
21    view and at least the planned projection of the  
22    azimuth within the spacing unit?

23          A.     Right.

24                 MR. KELLAHIN: That concludes my  
25    examination of Mr. Allan.

## EXAMINATION

BY EXAMINER CATANACH:

Q. Mr. Allan, the direction of this wellbore will not change?

A. No, it will not.

Q. It's a set direction?

A. Correct.

EXAMINER CATANACH: I don't have any other questions.

MR. KELLAHIN: Okay. I'd like to call Mr. Alexander at this time. May the record reflect, Mr. Examiner, that Mr. Alexander is a qualified expert and is under oath and remains qualified in this case?

EXAMINER CATANACH: The record shall reflect that.

ALAN ALEXANDER

Having been duly sworn upon his oath, was examined and testified as follows:

## EXAMINATION

BY MR. KELLAHIN:

Q. Mr. Alexander, let me have you turn your attention to Exhibit 2 and to the ownership plats that are behind that display. Did you have those prepared?

1           A.       Yes, sir, they were prepared under my  
2 supervision.

3           Q.       What's the purpose of the display?

4           A.       The purpose of the display is simply to  
5 show the location of the well in proximity to the  
6 offset drilling blocks, and the offset drilling  
7 blocks are numbered. On the second page of that  
8 exhibit, the second and the third page of that  
9 exhibit, we have listed the parties that we have  
10 notified as offset operators or owners.

11          Q.       And has that notification occurred, Mr.  
12 Alexander?

13          A.       It has.

14          Q.       And to the best of your knowledge, that  
15 ownership is correct and accurate?

16          A.       Yes, sir.

17          Q.       And with the exception of Mr. Click's  
18 inquiry to you, have any other interest owners  
19 expressed any comments or interests in the  
20 application?

21          A.       No, sir, they have not.

22                   MR. KELLAHIN: Mr. Click has entered  
23 his appearance through Mr. Carr. That concludes  
24 my examination of Mr. Alexander.

25                   EXAMINATION

1 BY EXAMINER CATANACH:

2 Q. Did you say, Mr. Alexander, that's all  
3 Meridian owned, the southwest quarter?

4 A. Yes, sir, that's correct.

5 EXAMINER CATANACH: I don't have  
6 anything else. The witness may be excused.

7 MR. KELLAHIN: We move the introduction  
8 of Exhibits 1 through 6. 6 is the Certificate of  
9 Mailing and the Affidavit.

10 EXAMINER CATANACH: Exhibits 1 through  
11 6 will be admitted as evidence.

12 MR. KELLAHIN: That concludes our  
13 presentation, Mr. Examiner.

14 EXAMINER CATANACH: Mr. Kellahin, can  
15 you give me a rough draft on this case too?

16 MR. KELLAHIN: Yes, sir. I'll be real  
17 smooth.

18 EXAMINER CATANACH: These are getting  
19 pretty routine, Mr. Kellahin. Do you think we  
20 better do something about that? Get some  
21 administrative rules together?

22 MR. KELLAHIN: I hope not. I still  
23 have a daughter in college, Mr. Examiner.

24 EXAMINER CATANACH: There being nothing  
25 further, Case 10488 will be taken under

1 advisement.

2 [And the proceedings were concluded.]

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is  
a complete record of the proceedings in  
the Examiner hearing of Case No. 10481,  
heard by me on June 25 1982.  
David R. Patant, Examiner  
Oil Conservation Division




## CERTIFICATE OF REPORTER

STATE OF NEW MEXICO )  
 ) ss.  
COUNTY OF SANTA FE )

I, Debbie Vestal, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I caused my notes to be transcribed under my personal supervision; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL JULY 7, 1992.

  
\_\_\_\_\_  
DEBBIE VESTAL, RPR  
NEW MEXICO CSR NO. 3