

1 NEW MEXICO OIL CONSERVATION DIVISION

2 STATE LAND OFFICE BUILDING

3 STATE OF NEW MEXICO

4 CASE NO. 10510

5
6 IN THE MATTER OF:7
8 The Application of Meridian Oil, Inc.,
9 for downhole commingling and for an
10 administrative downhole commingling
11 procedure within the Huerfano Sand
12 Unit Area, San Juan County, New Mexico.
13

14 BEFORE:

15
16 DAVID R. CATANACH

17 Hearing Examiner

18 State Land Office Building

19 July 23, 1992

20
21
22 REPORTED BY:23 DEBBIE VESTAL
24 Certified Shorthand Reporter
25 for the State of New Mexico**ORIGINAL**

A P P E A R A N C E S

FOR THE APPLICANT:

KELLAHIN, KELLAHIN & AUBREY

Post Office Box 2265

Santa Fe, New Mexico 87504-2265

BY: W. THOMAS KELLAHIN, ESQ.

I N D E X

Page Number

Appearances 2

WITNESSES FOR THE APPLICANT:

1. JOHN ZENT

Examination by Mr. Kellahin 6

Examination by Examiner Catanach 17

2. MICHAEL K. DAWSON

Examination by Mr. Kellahin 21

Examination by Examiner Catanach 27

3. JAMES A. SMITH

Examination by Mr. Kellahin 31

Examination by Examiner Catanach 42

Certificate of Reporter 48

E X H I B I T S

Page Identified

1		
2		
3		
4	Exhibit No. 1	8
5	Exhibit No. 2	9
6	Exhibit No. 3	29
7	Exhibit No. 4	35
8	Exhibit No. 5	38
9	Exhibit No. 6	22
10	Exhibit No. 7	12
11	Exhibit No. 8	13
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

1 EXAMINER CATANACH: At this time we'll
2 call Case 10510, Application of Meridian Oil,
3 Incorporated, for downhole commingling and for an
4 administrative downhole commingling procedure
5 within the Huerfano Sand Unit Area, San Juan
6 County, New Mexico.

7 Are there appearances in this case?

8 MR. KELLAHIN: Mr. Examiner, I'm Tom
9 Kellahin of the Santa Fe law firm of Kellahin,
10 Kellahin & Aubrey, appearing on behalf of
11 Meridian Oil, Inc., the applicant. And I have
12 three witnesses to be sworn.

13 EXAMINER CATANACH: Are there any other
14 appearances in this case?

15 Will the three witnesses, please, stand
16 to be sworn in.

17 [The witnesses were duly sworn.]

18 MR. KELLAHIN: Mr. Examiner, my first
19 witness is Mr. John Zent. He spells his last
20 name Z-e-n-d-t. He's a petroleum landman with
21 Meridian Oil Company in Farmington.

22 THE WITNESS: Excuse me. There's no D
23 in the name. Z-e-n-t. No D.

24 MR. KELLAHIN: My prehearing statement
25 says D, John. There's got to be a D.

1 THE WITNESS: No D.

2 EXAMINER CATANACH: Strike the D.

3 JOHN ZENT

4 Having been duly sworn upon his oath, was
5 examined and testified as follows:

6 EXAMINATION

7 BY MR. KELLAHIN:

8 Q. For the record would you, please, state
9 your name and occupation?

10 A. My name is John Zent. I'm a petroleum
11 landman employed by Meridian Oil, Inc.

12 Q. Mr. Zent, have you on prior occasions
13 testified as a landman before the Division?

14 A. Yes, sir, I have in 1983 while I was
15 employed with Southland Royalty Company.

16 Q. Where do you reside now?

17 A. Farmington, New Mexico.

18 Q. Describe for us the general involvement
19 you have with the project such as the Huerfano
20 Unit?

21 A. The Huerfano Unit is in my present unit
22 of assignment. I am involved in all
23 communications between Meridian Oil, the operator
24 of the unit, our working parties as far as
25 proposing wells, receiving elections, of paying

1 consent to drill and recomplete or plug wells. I
2 also communicate with the royalty owners and
3 other burden owners if they have any questions
4 regarding their interests.

5 Q. Are you generally familiar with the
6 mechanics of the operating agreement and the
7 joint operating agreement with regards to this
8 unit?

9 A. Yes, sir, I am.

10 Q. And do you have the ability within
11 Meridian to tabulate a list of owners that will
12 share in production realized from the unit?

13 A. Yes, sir, I have that ability with the
14 assistance from other departments.

15 Q. And have you made the tabulation of
16 ownership with regards to the Dakota Formation
17 and the Gallup Formation for this particular
18 unit?

19 A. Yes, sir, I have.

20 MR. KELLAHIN: We tender Mr. Zent as an
21 expert petroleum landman.

22 EXAMINER CATANACH: Mr. Zent is so
23 qualified.

24 Q. (BY MR. KELLAHIN) Let me have you turn
25 to the exhibit book. Let's start with Exhibit

1 No. 1. Simply identify for us what that is.

2 A. Exhibit No. 1 is -- the first page of
3 Exhibit No. 1 is the notice of the application
4 for Meridian Oil, Inc., regarding the commingling
5 of this proposed well, the Huerfano No. 131 well.

6 Q. Summarize for the Examiner what
7 Meridian is seeking to accomplish with this
8 application.

9 A. Meridian is -- may I go off the record,
10 sir?

11 Q. Sure.

12 A. Would you like me to address -- I'm not
13 prepared to address any engineering or geologic
14 inferences, but mainly the ownership and equity
15 shared in the commingling.

16 Q. Let me rephrase my question to you,
17 John. What have the engineers and geologists
18 asked you to accomplish with regards to
19 operations within the unit as they affect the
20 Dakota and the Gallup Formations?

21 A. The engineering and geologic department
22 has asked the land department, which conducts the
23 business end of Meridian's operations, to contact
24 all the equity owners in the Gallup participating
25 area, the Gallup portion of this drill block, and

1 the Dakota participating area in the Huerfano
2 Unit and seek their approval in commingling or
3 allowing the production stream from the two
4 horizons to share equally out of one production
5 string.

6 Q. What is the initial well that the
7 engineers and geologists propose to utilize
8 within the unit boundary for commingling
9 purposes?

10 A. It is the Huerfano Unit No. 131 well,
11 which is currently a nonproducing Dakota well.

12 Q. Let's turn to the information behind
13 tab Exhibit No. 2. Identify the first display
14 for me.

15 A. The first display is a plat showing the
16 offset ownership to the north half of Section 34,
17 26 North, 10 West, which is the Gallup proration
18 unit and the Dakota proration unit for the
19 Huerfano Unit No. 131 well. It indicates that
20 all the offsetting drill blocks are within the
21 boundaries of the Huerfano Unit agreement, and
22 therefore the offset ownership is controlled and
23 maintained by Meridian Oil, Inc.

24 Q. All right. Let's turn to the next
25 display within this exhibit tab and identify and

1 describe that one for us.

2 A. The next display is a plat indicating
3 the Huerfano Unit agreement, the Huerfano Unit
4 area, and the Dakota participating area within
5 the Huerfano Unit. The Huerfano Unit is
6 indicated by the bold black lines. And the
7 slashed horizontal lines southeast -- or
8 northeast to southwest indicates the current
9 Dakota participating area within the unit.

10 Q. The yellow or the lime colored
11 highlighter indicates what?

12 A. That is the drill block for the
13 Huerfano Unit No. 134 well, the north half of
14 Section 34.

15 Q. And what is the spacing for that well?

16 A. Three hundred and twenty acres.

17 Q. Will that be the same spacing for both
18 the Dakota and the Gallup?

19 A. Yes, it will be.

20 Q. The next display following that one?

21 A. The next display is a plat showing the
22 boundaries of the Huerfano Unit area again in
23 solid black lines. The horizontal or the
24 diagonal lines indicate the current Gallup
25 participating area within the Huerfano Unit

1 agreement. And again the drill block where the
2 Huerfano 131 well is indicated in the fluorescent
3 marking.

4 Q. Have you had Meridian individuals
5 tabulate and compile for you the equity interest
6 owners that would share in production in the
7 north half of this section, which is the spacing
8 unit in question for the 131 well?

9 A. Yes, sir, I have.

10 Q. And how is that represented in the
11 exhibit book?

12 A. Following the plat we've just looked at
13 is a listing of the names of the individuals,
14 corporations that have an equity ownership in the
15 north half of Section 34 as to both -- as to the
16 Gallup Formation. It lists all owners who will
17 share in the Gallup production from the north
18 half of Section 34.

19 Q. The north half of Section 34 is not
20 currently in a Gallup participating area?

21 A. That is correct.

22 Q. When you look at the Dakota, that half
23 section is in a Dakota participating unit?

24 A. That is correct.

25 Q. Do you have a list that will include

1 all owners of production regardless of the
2 formation within this section?

3 A. Yes, sir, tabulated under Section 7.

4 Q. Let's turn to that.

5 A. Section 7, if I may, the first document
6 is a certificate executed by me showing a
7 compliance with a mailing order indicating that
8 this order and --

9 Q. The application.

10 A. -- the application was sent to all the
11 parties. Then we have, of course, the
12 application itself. And immediately behind the
13 application are 18 pages of names and addresses
14 that received this application notice. Those 18
15 pages represent everybody who could possibly show
16 or share in the allocation or equity interest in
17 a commingled well in the north half of Section 34
18 being the Huerfano Unit No. 131.

19 We addressed and notified all current
20 participants in the current Dakota participating
21 area. We notified all current participants in
22 the current Gallup participating area. And those
23 geographic boundaries were shown on the maps we
24 looked at earlier.

25 We also addressed those parties that we

1 just looked at in part 3 that are the Gallup
2 drill block owners in the north half of Section
3 34.

4 This list then would be a compilation
5 of everybody who could possibly share in equity
6 at one point or another in this Gallup-Dakota
7 commingled.

8 Q. Would that list be the same, not only
9 with regards to the north half of the section for
10 the 131, but for anyone that might be affected if
11 we adopted an administrative procedure pursuant
12 to an Oil Conservation Division order to let us
13 do further comminglings of Gallup and Dakota
14 without additional notices and hearings?

15 A. Yes, sir, it is.

16 MR. KELLAHIN: Mr. Examiner, I have
17 marked as Exhibit No. 8, and it's not in the
18 book, but this is a copy of the unit agreement.

19 Q. Mr. Zent, would you give us a general
20 summary of the mechanics of the unit and how it
21 functions with regards to this particular
22 property and particularly how these participating
23 areas are expanded as Dakota and Gallup continue
24 to be developed?

25 A. Okay. The Huerfano Unit agreement was

1 entered into in July of 1949. It originally
2 encompassed 63,000 acres, and it obligated the
3 designated operator to a drilling of six Dakota
4 wells at widely spaced locations within the
5 63,000-acre unit designation.

6 The unit provided that if one or more
7 of those wells would encounter oil and gas and a
8 commercial substance, that it would form the
9 actual unitization process and that the well
10 would be deemed commercial. Upon a well being
11 deemed commercial, the unit operator would form a
12 participating area, which is essentially a
13 pooling.

14 The unit operating agreement also
15 provides a mechanism where additional wells can
16 be drilled beyond the original six wells that
17 were obligated. If any of those subsequent wells
18 are proposed and drilled, they're proposed and
19 drilled and paid for by the working interest
20 owners owning a cost-bearing interest in the
21 particular proration unit.

22 If that well is drilled, completed, and
23 deemed commercially productive, that well has the
24 opportunity to be pooled into the initial
25 participating area established by one of the six

1 original Dakota wells.

2 Upon that happening, costs are
3 reallocated amongst the working interest pool
4 then or the participating area as additional
5 lands are pooled in. And revenue is shared
6 equitably among the then enlarged participating
7 area.

8 To date the Dakota participating area
9 within the Huerfano Unit agreement has gone
10 through 51 such expansions and currently contains
11 in excess of 44,000 acres. The Gallup has also
12 been drilled subsequent to the initial six wells,
13 and an initial Gallup participating area was
14 established. It has gone through 20 expansions
15 and now includes in excess of 10,000 acres.

16 Q. Using the 131 as an example, tell us
17 how the expansion will occur.

18 A. What would happen, of course, the 131
19 is currently within the Dakota participating
20 area. And so there will be no further expansion
21 in the Dakota. But if the well is recompleted in
22 the Gallup and commingled, the Gallup is deemed
23 commercial, Meridian will offer evidence to the
24 Bureau of Land Management, New Mexico Oil & Gas
25 Conservation Division, and the State Land Office

1 evidencing that the Gallup is commercial in that
2 particular 320-acre spacing unit.

3 And we will apply for an application
4 for the 21st expansion of the Gallup
5 participating area. And the equity, the
6 allowable gas or product from this north half of
7 Section 34 as to the Gallup, then, would then be
8 shared equitably amongst the balance of the
9 owners in the 10,000-plus acre current Gallup
10 PA.

11 And then again the unit operating
12 agreement provides a mechanism for reallocation
13 of costs and revenues from the date of
14 completion.

15 Q. If I am an equity owner in the Gallup
16 and I am not in a participating area, can I
17 trigger or take action that will obligate the
18 other interest owners to develop the Gallup for
19 me?

20 A. Yes, sir, you can. One of the
21 obligations placed upon the unit operator in the
22 Huerfano Unit agreement is that annually we
23 polled all of the owners in the unit agreement to
24 ask if they have any desire for any wells to be
25 drilled in the succeeding year.

1 Any owner can propose a well. And if
2 that well is proposed, the unit operator is
3 obligated to initiate drilling AFEs, cost
4 estimates, forward those to the cost-bearing
5 interest in the particular proration unit and
6 drill the well upon return receipt of assigned
7 AFEs.

8 So any owner could trigger an
9 additional Gallup well or new drill well or
10 essentially a recompletion to protect their
11 interests or further develop the Gallup
12 participating area.

13 Q. Do the contracts provide a means to
14 allocate equities and share of production among
15 all interest owners within the unit area?

16 A. Yes, they do.

17 MR. KELLAHIN: That concludes my
18 examination of Mr. Zent. We'll move the
19 introduction of Exhibits 1, 2, 7, and 8.

20 EXAMINER CATANACH: Exhibits 1, 2, 7
21 and 8 will be admitted as evidence.

22 EXAMINATION

23 BY EXAMINER CATANACH:

24 Q. Mr. Zent, is this unit mostly federal
25 land?

1 A. It is mostly federal land. Some state
2 lands, some fee lands, some allotted Indian
3 lands. But I'd say about 80 percent is federal
4 leasehold.

5 Q. Okay. The parties that you notified of
6 your application today, if I understand
7 correctly, were the parties owning an interest in
8 the current Gallup and Dakota PAs?

9 A. Yes, sir, as well as the Gallup owners
10 of the north half of Section 34.

11 Q. Okay. If I understand correctly again,
12 what you're asking for is an administrative
13 procedure where you wouldn't have to notify these
14 parties every time you wanted to downhole
15 commingle a well?

16 A. That is correct.

17 Q. Are there parties owning an interest in
18 the Gallup within the unit that were not
19 notified?

20 A. Every Gallup owner also owned an
21 interest in the Dakota participating area. We
22 would surmise that the ownership between the two
23 horizons between working interest owners and
24 overriding royalty owners is identical as royalty
25 owners. There appears to be no severance that we

1 could identify between the equity ownership
2 between the two horizons.

3 So we believe that we could have
4 accomplished the same thing just by notifying the
5 Dakota participating area owners and not gone
6 through a second list and identifying Gallup
7 owners.

8 If you look at the pages in Exhibit 7,
9 you'll notice that many parties are listed
10 twice. Those parties listed twice are those
11 parties who had an interest in the Gallup and
12 also an interest in the Dakota PA. Those parties
13 that are only listed singly did not have an
14 interest in the current Gallup participating area
15 because it is considerably smaller than the
16 Dakota PA.

17 So we feel we have notified every party
18 in the Huerfano Unit that has an interest in both
19 formations, whether it's currently developed to
20 the Gallup or not.

21 Q. Okay. That's what I was after. In a
22 future drilled or developed well, you think you'd
23 be covered with the notification that you
24 provided with this hearing?

25 A. Yes, sir, I do.

1 Q. Even if it's not in a Gallup PA --

2 A. Yes, sir.

3 Q. -- at the current time?

4 A. Yes, sir.

5 Q. Have you had any comments or questions
6 from any of the interest owners about your
7 application?

8 A. No, we have not. We contacted the cost
9 bearing owners as early as February of 92 and
10 sought their participation in the cost portion of
11 the well. And there were eleven parties who were
12 involved in that.

13 And with the exception of one party
14 owning a 2/10 of 1 percent interest, all parties
15 are encouraging Meridian to do this and feel it
16 is an economic way to develop the Gallup
17 Formation in the unit. But we have had no
18 response from the mail out, positive or negative
19 on notification.

20 Q. Do you know how many of these wells in
21 the unit may eventually be downhole commingled?

22 A. I'm not prepared to address that.
23 Hopefully a subsequent witness can.

24 Q. Every time some acreage is put into the
25 PA, it changes the percentage of ownership that

1 the parties --

2 A. Yes, sir, it does.

3 Q. But you said that all the owners in the
4 Gallup also have ownership in the Dakota?

5 A. That's correct.

6 EXAMINER CATANACH: Okay. I believe
7 that's all I have of the witness, Mr. Kellahin.

8 MR. KELLAHIN: Mike Dawson is a
9 geologist with Meridian, Mr. Examiner.

10 **MICHAEL K. DAWSON**

11 Having been duly sworn upon his oath, was
12 examined and testified as follows:

13 **EXAMINATION**

14 **BY MR. KELLAHIN:**

15 Q. Mr. Dawson, would you, please, state
16 your name and occupation?

17 A. I'm Michael K. Dawson. I'm a geologist
18 for Meridian Oil, Inc., Farmington region.

19 Q. Mr. Dawson, on prior occasions have you
20 testified before the Division as a geologist?

21 A. Yes, sir, I have.

22 Q. And pursuant to your employment as a
23 geologist, have you made a review of the geology
24 in the Dakota and Gallup formations that underlie
25 the Huerfano Unit?

1 A. Yes, sir.

2 MR. KELLAHIN: We tender Mr. Dawson as
3 an expert petroleum geologist.

4 EXAMINER CATANACH: Mr. Dawson is so
5 qualified.

6 Q. (BY MR. KELLAHIN) Mr. Dawson, let me
7 ask you to turn to the displays following Exhibit
8 No. 6, and let's pull out the type log for the
9 subject well. Identify and then describe the
10 display for us and give us a description of the
11 relationship of the Gallup and the Dakota as we
12 find it in this wellbore.

13 A. The wire-line log from the Huerfano
14 131, as displayed here, indicates the Gallup
15 producing interval from approximately 5600 feet
16 to 6100 feet. We've indicated the zones that we
17 propose for completion on this wire-line log.

18 It's significant that the left-hand
19 curve, or the SP curve, shows a negative
20 deflection, that is to the left, and by and large
21 in the zones in which we have an interest. The
22 curves on the right-hand side of the log are
23 resistivity curves. You can also see a
24 deflection to the right in those zones. A
25 combination of these log responses was used to

1 select the zones for completion.

2 At the time bottom of the log as shown,
3 we have indicated the Dakota producing interval,
4 and we've indicated the zones that are currently
5 completed in the Dakota.

6 Q. When we look at the unit area and see
7 Mr. Zent's participating areas, there has been
8 substantial development of the Dakota within the
9 unit boundary, yet the Gallup itself has not been
10 separately developed to any significant extent.

11 Is there a geologic explanation why the
12 development has occurred with that kind of
13 pattern?

14 A. Yes, sir, there is. The development in
15 the northern part of the unit was largely carried
16 forward based on the presence of the Tocito
17 sandstone within the Gallup interval. This
18 Tocito sandstone is coarse- to medium-grained and
19 generally has rather high matrix permeability.
20 It tends to be distributed as a bar within the
21 unit.

22 Throughout the rest of the unit, we
23 have overlying very fined-grained sandstones and
24 siltstones that have productive potential but
25 very, very low matrix permeability. And these

1 types of reservoirs will be dependent on natural
2 fracturing for commercial production.

3 These reservoirs we think at this time
4 do not warrant new drilling. We don't believe
5 that they're capable of producing reserves that
6 would pay out new drill wells in general.

7 Q. What does Meridian achieve with this
8 downhole commingling program within the unit that
9 it cannot achieve if this program is not
10 initiated?

11 A. We see this program as a means to
12 recovering the reserves that are in the tight but
13 naturally fractured part of the Gallup interval.
14 We see this as a way of commercially developing
15 these in a situation where we can't afford to
16 drill new wellbores specifically for this
17 interval.

18 Q. Let's turn to some of your other
19 displays and have you describe the distribution
20 of the reservoirs within the unit area.

21 A. The first display following the type
22 log indicates -- it's a map of SP feet within
23 this Gallup interval. And it's a map of the
24 footage of SP that has greater than 5 millivolts
25 of negative deflection.

1 We take this as an indication of
2 permeability in that tight part of the Gallup
3 interval. This display demonstrates a certain
4 continuity in the trends of the spontaneous
5 potential development.

6 Q. Is there sufficient distribution of the
7 Gallup Formation over all unit area to make this
8 project viable?

9 A. Yes, sir.

10 Q. Let's look at the structure map on
11 Gallup. Is there any particular significance to
12 this structure in the Gallup?

13 A. The structure map indicates a very
14 gentle homoclinal dip to the northeast of about
15 70 feet per mile. It's useful as an indication
16 of the -- actually the lack of structural
17 deformation.

18 Q. There shouldn't be any structural
19 component that would put at risk the opportunity
20 to downhole commingle production in these two
21 fields?

22 A. No, sir. We expect no significant
23 faulting or folding that would provide
24 permeability barriers.

25 Q. And then the next display?

1 A. This is a net pay isopach of the Dakota
2 A sandstone, which is the upper interval
3 completed in the subject well. This sandstone
4 was deposited at a shoreline sequence with strong
5 marine influences. This particular exhibit
6 illustrates the degree of continuity of this
7 particular part of the Dakota producing interval.

8 Q. Why have you selected the Dakota A upon
9 which to prepare the isopach?

10 A. We feel that the Dakota A is the
11 primary reservoir sandstone within the Dakota
12 interval.

13 Q. And is this the primary productive
14 interval as we look at the Dakota wells within
15 the unit area?

16 A. Yes, sir, in general it is.

17 Q. Let's go to the next display.

18 A. This is another net sandstone isopach
19 but of the Dakota sands underlying the Dakota A.
20 These sandstones are in general much less
21 continuous. They represent fluvial and deltaic
22 or non-marine deposition. In general they don't
23 contribute as much to the Dakota production in
24 the unit as does the Dakota A.

25 Q. Do you have an opinion as a geologist

1 whether or not the Division ought to approve the
2 application?

3 A. Yes, sir. I believe that it is a
4 reasonable application and should be approved.

5 Q. You don't see any geologic reason not
6 to have it approved?

7 A. No reason.

8 MR. KELLAHIN: That concludes my
9 examination of Mr. Dawson. We move the
10 introduction of his displays contained within No.
11 6.

12 EXAMINER CATANACH: Exhibit No. 6 will
13 be admitted as evidence.

14 EXAMINATION

15 BY EXAMINER CATANACH:

16 Q. Mr. Dawson, what approximately is the
17 productive potential of the Gallup in any
18 individual well within this unit?

19 A. That's a difficult question to answer
20 in that in wells without Tocito sandstone
21 development, such as this, we're looking at
22 naturally fractured reservoirs, and production
23 rates vary widely. Natural fracturing is so
24 difficult to predict.

25 We have reason to believe that it could

1 range from, say, a cumulative production of 100
2 million to as great as 1 Bcf of gas. And, of
3 course, some completions probably will not
4 encounter well developed natural fracturing, and
5 we'll have sub-commercial production from those.

6 We believe also that there is some oil
7 potential in this interval. It could range from
8 a couple thousand barrels up to as much as 20- to
9 30,000 barrels. I would defer a more specific
10 answer to Jimmy Smith, who has modeled the
11 economics and looked at production analogies as
12 part of his preparation and proposal of this
13 project.

14 Q. Are you able to map where within the
15 unit the Tocito interval is present?

16 A. Yes, sir, quite easily. We have enough
17 density log control that we can map and indicate
18 the Tocito sand bar. In this particular well it
19 is not developed at all.

20 Q. Approximately what percentage of the
21 acreage within the unit contains that Tocito
22 interval?

23 A. I would say approximately 20 percent.

24 Q. Would that be the main producing
25 interval from the Gallup, the one that would

1 contribute the most reserves in your opinion?

2 A. Yes, sir, I believe so.

3 Q. There is currently some Gallup
4 production within the unit?

5 A. Yes, sir. As I said, in the northern
6 part of the unit, the Angell Peak-Gallup Pool is
7 developed. There are a few odd Gallup
8 completions.

9 Other than that the nearest one is
10 indicated on the Gallup interval net SP isopach.
11 It's approximately a mile-and-a-half to the
12 northwest. That well is indicated with a large G
13 under the enhanced gas well symbol.

14 Apart from that there are few recent
15 Gallup recompletions in the interval -- in the
16 unit.

17 Can I go off the record for just a
18 moment, sir? I wanted to find the map that Jimmy
19 includes.

20 [A discussion was held off the record.]

21 A. If I could call your attention to the
22 second page in Exhibit 3, the map that Jimmy
23 Smith prepared indicates with a diamond symbol
24 plugged-back recompletions to the Gallup in this
25 area. These were Dakota wells that were plugged

1 back for completion in the Gallup.

2 Q. Okay. In terms of the Dakota within
3 the unit, has that basically been fully
4 developed?

5 A. Yes, sir, it has.

6 Q. So the wellbores that you're going to
7 target for downhole commingling will have already
8 produced from the Dakota for a significant amount
9 of time probably?

10 A. I believe so, although some of our more
11 recent infill wells have reached their commercial
12 limits or are nearing that limit, and those wells
13 are maybe as young as, say, ten years old. Some
14 of the newer infill wells probably will be
15 considered as potential commingled candidates
16 within the near future.

17 Q. Is there a substantial amount of
18 acreage within the unit that has not been infill
19 drilled in the Dakota?

20 A. I feel at this time that perhaps about
21 20 to 25 percent of the total Dakota PA has not
22 been infilled. And the decision not to carry
23 forth the infill program in the case of this
24 acreage, this 20 to 25 percent, is based on the
25 lack of reservoir potential within the Dakota.

1 In other words, we've looked at the
2 Dakota reservoir sandstones, mapped them, looked
3 at offsetting production, and the decision has
4 been made not to go forward with infilling and,
5 say, that 25 percent of the Dakota PA that
6 remains to be infilled.

7 Q. So there may not be any more infill
8 drilling in the Dakota?

9 A. Yes, sir.

10 EXAMINER CATANACH: That's all I have
11 of the witness, Mr. Kellahin.

12 MR. KELLAHIN: I call at this time Mr.
13 Jimmy Smith.

14 **JAMES A. SMITH**

15 Having been duly sworn upon his oath, was
16 examined and testified as follows:

17 EXAMINATION

18 BY MR. KELLAHIN:

19 Q. Mr. Smith, would you, please, state
20 your name and occupation?

21 A. James A. Smith. I'm a senior
22 production engineer with Meridian Oil in
23 Farmington, New Mexico.

24 Q. On prior occasions, Mr. Smith, have you
25 testified as an engineer before the Division?

1 A. Yes, sir, I have.

2 Q. And pursuant to your employment have
3 you made an analysis of the Huerfano Unit with
4 regards to the downhole commingling potential of
5 the Gallup and Dakota Formations within the unit
6 area?

7 A. Yes, sir.

8 MR. KELLAHIN: We tender Mr. Smith as
9 an expert engineer.

10 EXAMINER CATANACH: Mr. Smith is so
11 qualified.

12 Q. (BY MR. KELLAHIN) Let me direct your
13 attention, Mr. Smith, to Exhibit 3 and the first
14 display behind Exhibit No. 3. Would you identify
15 that for us? I'm in the next section. All
16 right, sir.

17 The first is simply an orientation map,
18 a land plat showing the subject well. If you'll
19 turn beyond that and pick up with the display Mr.
20 Dawson described to us that showed the status of
21 the wells in the near vicinity of the 131.

22 Describe for us, from your perspective
23 as an engineer, what is so interesting about the
24 potential to continue to develop the Gallup with
25 this downhole commingling program.

1 A. First, this map that we're looking at
2 is a locator map, as you can see in Section 34,
3 the Huerfano Unit 131 well. To date we have four
4 recompletions in the Gallup. Three of those can
5 be seen here, the 194-E, the 219 and the No.
6 216.

7 As you move to the southeast, the
8 Gallegos-Gallup pool thins out. At this point we
9 are reaching the extent for the new -- trying to
10 encounter new Gallup sand that has previously not
11 been developed.

12 Q. Based upon your analysis of that
13 potential in the Gallup, what is the most
14 economic way and efficient way to develop or test
15 for those reserves?

16 A. By recompleting in existing Dakota
17 wellbores.

18 Q. What causes to you reach that
19 conclusion?

20 A. The costs of new drills is roughly
21 twice as much than a recompletion.

22 Q. Have you identified the 131 well as a
23 well in which there is sufficient potential to
24 recomplete that well in a downhole commingling
25 configuration so you can produce both the Dakota

1 and the Gallup?

2 A. Yes, sir.

3 Q. What's interesting about that well, and
4 why is it selected as the first well?

5 A. First off, we've been notified by the
6 New Mexico OCD that remedial work must be taken
7 on this well. It has not produced for roughly
8 ten years. And we feel that there are existing
9 recoverable Dakota reserves, however, not
10 economic at this point. However, commingled with
11 the Gallup, the commingled stream will be
12 economic.

13 Q. Following the display is a, what's
14 identified as a recompletion procedure. Without
15 going through all the specifics of the detailed
16 procedure, give us a summary so that we can have
17 an understanding of how you propose to handle the
18 recompletion and particularly how you propose to
19 allocate the production between the two
20 reservoirs.

21 A. We intend to move onto this well,
22 attempt to establish production capability from
23 the Dakota Formation. At that point we will
24 isolate the Dakota with a bridge plug, recomplete
25 the Gallup Formation, frac it, test it for

1 production capability, and remove the bridge plug
2 and test the commingled production. Based on the
3 flow rates of both zones, production will be
4 allocated from that.

5 Q. Have you determined whether or not that
6 is a typical way by which production has been
7 allocated between commingled Gallup and Dakota
8 wells in other areas of the basin?

9 A. Yes, that's typical.

10 Q. Did you prepare the recompletion
11 procedures outlined in this exhibit, Mr. Smith?

12 A. Yes, sir.

13 Q. Let's go to Exhibit tab 4. Identify
14 and describe for us the first display.

15 A. This is a production history plot of
16 the Gallup -- or excuse me, of the Dakota
17 production from the Huerfano Unit 131 well.

18 Q. When you look at the current status of
19 that well, it has been shut-in for some time?

20 A. Yes, sir.

21 Q. Is there any indication of what the
22 line pressure was at the time of shut-in?

23 A. That cannot be determined from this;
24 however, line pressures in this area are the main
25 reason why this well is not producing.

1 Q. It no longer had the capacity to
2 produce against the existing line pressures?

3 A. That's correct.

4 Q. Turn to the next display within the
5 exhibit section. What's identified here?

6 A. This is a well completion log of the
7 Huerfano Unit 131 well. This depicts the
8 drilling and completion of the Dakota.

9 Q. And then continuing on, describe each
10 of the next displays within the exhibit section.

11 A. The next exhibit is the completion log
12 submitted to the BLM and the state. It shows the
13 completion procedure perforations and fracture
14 treatment.

15 The next exhibit is a back pressure
16 test of the Gallup Formation from the Huerfano
17 Unit 219 well. This, we feel, shows that
18 pressures in the area are not in excess of 50
19 percent required by commingling.

20 And last is a shut-in pressure of the
21 131 well showing the initial pressure of the
22 Dakota and the most current pressure in 1979.

23 Q. Let's go back and touch again on the
24 pressure differential. Have you made an
25 investigation of what you would expect to be the

1 ranges of pressure in the Gallup and compared
2 those to Dakota to see if you have a significant
3 pressure differential?

4 A. Yes.

5 Q. And do you find instances that would
6 cause to you believe that you're going to have a
7 higher pressure zone that's more than 50 percent
8 greater than the lower pressure zone?

9 A. No.

10 Q. So no pressure problems between the two
11 zones?

12 A. That's correct.

13 Q. Do you see any opportunity that one
14 zone would feed the other zone; that we're going
15 to have some kind of problem between the
16 reservoirs if we commingled production?

17 A. No, sir.

18 Q. Do you see any incompatibility of the
19 fluids?

20 A. No, sir.

21 Q. Turn to the pressure plot, which is the
22 last display in Exhibit tab 4. Describe that for
23 us.

24 A. The pressure plot shows the original
25 reservoir pressure in the 131 well as 1300 pounds

1 and the last pressure as 704 PSI.

2 Q. Have you had some economic analysis to
3 determine whether or not the opportunity for
4 increasing production from both zones in a
5 commingled manner is a realistic, achievable
6 objective?

7 A. Yes, sir.

8 Q. What did you conclude?

9 A. That it is an economic venture.

10 Q. When we turn to Exhibit tab 5, describe
11 for us what this shows.

12 A. Exhibit 5 is a laboratory analysis of
13 fluids from both the Dakota and Gallup, from both
14 Dakota and Gallup wells in the area. This was
15 conducted by the Western Company. It shows that
16 the fluids are compatible.

17 Q. Okay. And then you have additional oil
18 analysis and other information under this section
19 to further confirm for you that the fluids in
20 fact are compatible?

21 A. Yes, sir.

22 Q. I was looking for the section that had
23 your AFEs and your economics in it. Where did we
24 put that?

25 A. I don't know.

1 MR. KELLAHIN: I don't know either.
2 May we have a minute to figure out
3 where that went?

4 EXAMINER CATANACH: Sure.

5 MR. KELLAHIN: All right. Let's
6 describe them anyway.

7 UNIDENTIFIED PERSON: May these
8 exhibits be purchased or be had?

9 MR. KELLAHIN: We'll be happy to
10 provide you a copy. They're available for the
11 public out of the case file. But if you would
12 like a set, I'll give you one.

13 UNIDENTIFIED PERSON: I appreciate it.
14 I'm a royalty owner under the well adjacent to
15 it.

16 MR. KELLAHIN: We're happy to share
17 some exhibits with you.

18 Mr. Examiner, I did not put all the AFE
19 cost items in the exhibit book. There is a
20 complete set of that information which we filed
21 with you when we sought administrative approval
22 of this particular well, and it is in this case
23 file. Let me have Mr. Smith simply describe in
24 summary the economics.

25 Q. (BY MR. KELLAHIN) Take us through a

1 summary, Mr. Smith, of how you approached
2 analyzing the issue of whether or not it was more
3 efficient to continue to test for development in
4 the Dakota by commingling with the Gallup.

5 A. First off, we have recompleted several
6 wells in the Huerfano Unit and in 1991 drilled
7 one well. Costs, typical costs for recompletion
8 is \$200- to \$250,000; whereas, a drill well is
9 \$500- to \$600,000. Economics were run based on
10 the offset wells.

11 Offset wells, the closest offset well,
12 being the Huerfano Unit 219, one mile to the
13 northeast, that well has currently been producing
14 for three-and-a-half months. Based on its rate
15 economics were modeled after that. And with the
16 addition of the Dakota flow stream, economics are
17 favorable; whereas, Meridian would recomplete
18 this wellbore in the Gallup.

19 Q. Without approval of the process to have
20 commingling continue in the unit area, do we run
21 the risk of leaving hydrocarbons in the
22 reservoirs that might otherwise be recovered?

23 A. Yes, sir.

24 Q. From your point of view as an engineer,
25 do you see any limitations? Do you have any

1 reservations about having the Division approve
2 the 131 for commingling and adopt an
3 administrative procedure that we might do for
4 others like this within the unit?

5 A. No, sir.

6 Q. Have you had a chance to figure out how
7 many potential candidates you have for the
8 downhole commingling project within a certain
9 range? Have you identified a number of wells?

10 A. Yes.

11 Q. Approximately how many?

12 A. Based on today's prices and economics,
13 I would say we have between 20 and 50 commingles
14 currently.

15 Q. And this is an opportunity to recover
16 additional hydrocarbons for benefit of all
17 interest owners that might not otherwise be
18 achievable?

19 A. Yes, sir.

20 MR. KELLAHIN: That concludes my
21 examination of Mr. Smith. We would move at this
22 time the introduction of the balance of the
23 exhibits. And I must tell you I've lost track of
24 the numbers, but whatever they are, we submit
25 them.

1 EXAMINER CATANACH: The balance of the
2 exhibits will be submitted as evidence.

3 EXAMINATION

4 BY EXAMINER CATANACH:

5 Q. Mr. Smith, on your exhibit on your
6 multi-point pressure test for the well No. 219,
7 you show an absolute open flow of 1731 Mcf per
8 day?

9 A. Yes, sir.

10 Q. Do you think this is indicative of the
11 type of production you're going to be getting
12 from the Gallup Formation?

13 A. No, sir.

14 Q. What do you estimate that to be?

15 A. Based on offset wells, I estimate the
16 initial gas potential to be 100 to 200 Mcf per
17 day. Actually this well is currently producing
18 120 Mcf per day for the last three-and-a-half
19 months.

20 Q. What do you base that estimate on?

21 A. The 120 a day?

22 Q. The 100 to 200 Mcf a day.

23 A. This well right here.

24 Q. Within the Dakota wells that you've
25 targeted for possible downhole commingling, what

1 is the Dakota range of production in those wells
2 currently?

3 A. Zero Mcf per day to 70 to 80, in that
4 range.

5 Q. So they're all pretty marginal --

6 A. Yes, sir.

7 Q. -- Dakota producers?

8 A. [Nodded.]

9 Q. I think I heard it from the geologist,
10 but have you done any kind of calculations that
11 might indicate what kind of additional reserves
12 you might recover from the Gallup by commingling?

13 A. Yes, sir. Currently I feel that there
14 are approximately 300 million cubic feet of gas
15 remaining in the Dakota reservoir that is
16 currently nonrecoverable.

17 Q. That is nonrecoverable?

18 A. At this point, in other words, being
19 produced through the Dakota only.

20 Q. How much of that might you recover
21 through downhole commingling?

22 A. We anticipate all of it.

23 Q. Mr. Smith, can we go over a little bit
24 the methods you plan to utilize to allocate
25 production?

1 A. Yes. In Exhibit 3, starting on the
2 third page, prior to doing any work on the
3 Gallup, we are going to attempt to get a flow
4 test on the Dakota. That flow test will more
5 than likely be to the atmosphere because of
6 current line pressures. We will then isolate the
7 Dakota with the bridge plug, complete the Gallup
8 interval, and flow test it.

9 Based on the ratio of these flow
10 streams and the subsequent commingled flow
11 stream, production will be allocated.

12 Q. Okay. Will the recompletions to the
13 Gallup aid the wells -- will that enable them to
14 get gas into the line better?

15 A. Yes, sir. We feel with a pump jack and
16 a compressor and the flow streams -- or the
17 commingled flow streams, that economics warrant
18 that.

19 Q. It would still have to be compressed?

20 A. Yes, sir.

21 Q. Do you have an idea what the remaining
22 Dakota reserves within the unit are?

23 A. Within the unit?

24 Q. Right.

25 A. No, sir, not at this time.

1 EXAMINER CATANACH: I believe that's
2 all I have, Mr. Kellahin.

3 MR. KELLAHIN: That completes our
4 presentation, Mr. Examiner.

5 EXAMINER CATANACH: Mr. Kellahin, with
6 respect to the administrative procedure for
7 commingling, would you propose that every time a
8 well is proposed to be commingled they would not
9 have to notify the same interest owners that they
10 did for the hearing today?

11 MR. KELLAHIN: Yes, sir. That was the
12 purpose for the hearing today, is to confirm that
13 we may utilize the administrative procedures of
14 the Division which have a specific category with
15 regards to common ownership. We're seeking
16 language that will satisfy that portion of the
17 administrative procedure.

18 And by notifying everyone that we could
19 think of to notify for this unit, we serve to
20 accomplish that purpose for this and any of the
21 other cases we propose to apply for. So the
22 answer is yes, this is a one-time deal for notice
23 and hearing on this issue.

24 Q. (BY EXAMINER CATANACH) Let me ask Mr.
25 Smith something -- I'm not sure if he'll be able

1 to answer it, but he might defer it to the
2 landman. When a well is recompleted to the
3 Gallup, do the interest owners who own an
4 interest in that particular well know what's
5 going on in terms of the recompletion?

6 A. Is information sent to them?

7 Q. Right. I suppose that the working
8 interest owners would have to sign off on an AFE
9 for the recompletion?

10 A. Yes, sir.

11 Q. Do the royalty interest owners have any
12 knowledge of what's going on with that well at
13 that particular time?

14 A. I will have to --

15 MR. KELLAHIN: We may have to call Mr.
16 Zent back to answer that question.

17 EXAMINER CATANACH: Why don't we do
18 that.

19 MR. ZENT: To answer the question, sir,
20 no, sir. The working interest owners are the
21 only parties that receive operational reports and
22 completion reports.

23 However, the Huerfano Unit agreement
24 does provide a mechanism whereupon request the
25 operator is obligated to provide detailed

1 information including well logs to every equity
2 owner who so requests. But due to costs and just
3 the volume, it's not something we normally do.
4 But that opportunity does exist under the unit
5 agreement.

6 EXAMINER CATANACH: Okay. That's all I
7 have, Mr. Kellahin.

8 Anything further in this case?

9 MR. KELLAHIN: No, sir.

10 EXAMINER CATANACH: There being nothing
11 further, Case 10510 will be taken under
12 advisement.

13 [And the proceedings were concluded.]

14

15

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 10510,
heard by me on July 23 19 92.
David K. Catnach, Examiner
Oil Conservation Division


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4) ss.
5 COUNTY OF SANTA FE)

6 I, Debbie Vestal, Certified Shorthand
7 Reporter and Notary Public, HEREBY CERTIFY that
8 the foregoing transcript of proceedings before
9 the Oil Conservation Division was reported by me;
10 that I caused my notes to be transcribed under my
11 personal supervision; and that the foregoing is a
12 true and accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a
14 relative or employee of any of the parties or
15 attorneys involved in this matter and that I have
16 no personal interest in the final disposition of
17 this matter.

18 WITNESS MY HAND AND SEAL JULY 28, 1992.
19
20

21 
22 _____
23 DEBBIE VESTAL, RPR
24 NEW MEXICO CSR NO. 3
25