

NEW MEXICO OIL CONSERVATION DIVISION

STATE OF NEW MEXICO

CASE NO. 10512

IN THE MATTER OF:

The Application of Phillips Petroleum
Company for directional drilling and
three unorthodox oil well locations,
Lea County, New Mexico.

BEFORE:

MICHAEL E. STOGNER

Hearing Examiner

September 3, 1992

REPORTED BY:

DEBBIE VESTAL
Certified Shorthand Reporter
for the State of New Mexico

ORIGINAL

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel

State Land Office Building

Santa Fe, New Mexico 87504

1 EXAMINER STOGNER: Call the next case,
2 No. 10512.

3 MR. STOVALL: Application of Phillips
4 Petroleum Company for directional drilling in
5 three unorthodox oil well locations, Lea County,
6 New Mexico.

7 EXAMINER STOGNER: First, this case was
8 heard on August 6, 1992. The applicant at that
9 time proposed some changes in well locations that
10 required readvertising in this particular
11 matter.

12 At this time I'm going to call for any
13 additional appearances, testimony, or evidence.
14 There being none, this case will now be taken
15 under advisement.

16 [And the proceedings were concluded.]
17
18

19 I do hereby certify that the foregoing is
20 a complete record of the proceedings in
21 the Examiner hearing of Case No. 10512
22 heard by me on 3 Sept. 1992.
23 *William E. Stogner*, Examiner
24 Oil Conservation Division
25

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Debbie Vestal, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I caused my notes to be transcribed under my personal supervision; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL OCTOBER 12,
1992.



DEBBIE VESTAL, RPR
NEW MEXICO CSR NO. 3

1 NEW MEXICO OIL CONSERVATION DIVISION

2 STATE LAND OFFICE BUILDING

3 STATE OF NEW MEXICO

4 CASE NO. 10512

5
6 IN THE MATTER OF:7
8 The Application of Phillips Petroleum
9 Company for three unorthodox oil well
10 locations, Lea County, New Mexico.11
12
13 BEFORE:14
15 MICHAEL E. STOGNER

16 Hearing Examiner

17 State Land Office Building

18 August 6, 1992

19
20
21
22 REPORTED BY:23 DEBBIE VESTAL
24 Certified Shorthand Reporter
25 for the State of New Mexico**ORIGINAL**

A P P E A R A N C E S

FOR THE APPLICANT:

KELLAHIN, KELLAHIN & AUBREY
Post Office Box 2265
Santa Fe, New Mexico 87504-2265
BY: W. THOMAS KELLAHIN, ESQ.
ELIZABETH HARRIS, ESQ.

I N D E X

Page Number

Appearances

2

WITNESSES FOR THE APPLICANT:

1. SCOTT C. BALKE

Examination by Mr. Kellahin

9

Certificate of Reporter

32

E X H I B I T S

Page Identified

1		
2		
3		
4	Exhibit No. 1	10
5	Exhibit No. 2	14
6	Exhibit No. 3	18
7	Exhibit No. 4	22
8	Exhibit No. 5	22
9	Exhibit No. 6	23
10	Exhibit No. 7	24
11	Exhibit No. 8	26
12	Exhibit No. 9	26
13	Exhibit No. 10	28

1 EXAMINER STOGNER: I'll call Case
2 10512, application of Phillips Petroleum Company
3 for three unorthodox well locations, Lea County,
4 New Mexico.

5 At this time I'll call for appearances.

6 MR. KELLAHIN: Mr. Examiner, I'm Tom
7 Kellahin, of Santa Fe, New Mexico, appearing in
8 association with Elizabeth Harris, in-house
9 counsel for Phillips Petroleum Company, residing
10 in Odessa, Texas. We are appearing on behalf of
11 the applicant in this case, and we have one
12 witness.

13 EXAMINER STOGNER: Elizabeth Harris?

14 MR. KELLAHIN: Yes.

15 EXAMINER STOGNER: Any other
16 appearances? Will the witness, please, stand and
17 be sworn.

18 [The witness was duly sworn.]

19 EXAMINER STOGNER: Mr. Kellahin -- or
20 who will actually be presenting this case?

21 MR. KELLAHIN: I will, Mr. Examiner.

22 EXAMINER STOGNER: Thank you.

23 MR. KELLAHIN: There's a preliminary
24 matter with regards to this case, Mr. Examiner.
25 It was originally docketed at the applicant's

1 request with a 50-foot radius flexibility
2 provision. The applicant has subsequently staked
3 each of the three wells and requests that you now
4 delete the 50-foot radius tolerance within the
5 requested application.

6 In addition, the expert will discuss
7 with you the fact that the No. 10 well -- and
8 when you look at the docket, the well in Unit J
9 of Section 2 and the first well listed in the
10 advertisement, that's the No. 10 well. The No.
11 10 well, because of surface limitations with a
12 power line and a pipeline, must be relocated.

13 The surface location is now a standard
14 location but will be drilled to the unorthodox
15 bottom-hole location. My only point is that we
16 will have to -- I think our best option is to put
17 on the case and then readvertise it to pick up a
18 Rule 111 deviation approval for the No. 10 well.
19 I raise that with you now so that as we complete
20 the presentation, at the end of the presentation,
21 we can discuss how best to approach that issue.

22 The No. 11 well, which is in Unit N of
23 35, will be discussed and that location remains
24 the same. The last well on the notice is
25 referred to as the No. 12 well. And we'll use

1 those numbers as a shorthand way to identify them
2 because all three of them are on all the same
3 displays.

4 We have specific exhibits that will
5 discuss the need for the directional drilling of
6 the No. 10 well. And the expert will refer to
7 those displays. But I raise it with you now so
8 that you can see that issue as the evidence
9 unfolds.

10 EXAMINER STOGNER: Mr. Kellahin, I'm
11 glad you brought that up. I wasn't aware of
12 these changes.

13 MR. KELLAHIN: And we weren't either
14 until recently, Mr. Examiner.

15 EXAMINER STOGNER: And also there was
16 some changes in Case No. 10523, which has to
17 result in the readvertisement. And also I
18 received a couple of administrative applications
19 for some unorthodox well locations in this very
20 area in which they were requesting a second well
21 in an unprorated gas pool.

22 Obviously, Phillips Petroleum may be
23 filing these applications somewhat prematurely.
24 I will go ahead and hear the information in these
25 cases today, in 10512 in particular with the

1 directional drilling.

2 Hopefully, your witness today will be
3 prepared to present the directional drilling data
4 and how this will be done. I will not allow it
5 to be done administratively. We will readvertise
6 10512. We'll get everything letter perfect
7 before an order will be issued in this particular
8 case.

9 MR. KELLAHIN: That's our intent too,
10 Mr. Examiner, is to make sure that the approvals
11 are presented in a single order and that the
12 evidence supports that approval.

13 EXAMINER STOGNER: Let me make sure I
14 understand. The first well, in Unit J of Section
15 2, this is the well to be directionally drilled?

16 MR. KELLAHIN: Yes, sir.

17 EXAMINER STOGNER: Okay. Do you have
18 the surface location, or will that be presented
19 later?

20 MR. KELLAHIN: I've got a plat that
21 will demonstrate that more efficiently than me
22 describing it to you verbally.

23 EXAMINER STOGNER: With that I will
24 delay what we're going to do on the
25 readvertisement then, so you may continue, Mr.

1 Kellahin.

2 SCOTT C. BALKE

3 Having been duly sworn upon his oath, was
4 examined and testified as follows:

5 EXAMINATION

6 BY KELLAHIN:

7 Q. All right, sir, will you, please, state
8 your name and occupation?

9 A. Scott C. Balke. I'm a petroleum
10 geologist with Phillips Petroleum.

11 Q. Mr. Balke, on prior occasions have you
12 testified as a a petroleum geologist?

13 A. No, I have not.

14 Q. And you spell your last name
15 B-a-l-k-e?

16 A. Correct.

17 Q. Mr. Balke, would you summarize for us
18 your education?

19 A. I have a bachelor's degree from the
20 University of Colorado, a master's degree from
21 Oklahoma State University.

22 Q. In what year, sir?

23 A. Bachelor's degree was in 1982;
24 master's, 1984. From 84 to 89 I worked for
25 various oil companies, independent oil companies

1 in Oklahoma and Texas. In 89, I came on with
2 Phillips and worked specifically southeast New
3 Mexico.

4 Q. Are you familiar with what has been
5 characterized as the South Four Lakes project of
6 your company in Lea County, New Mexico, a portion
7 of which is the subject of Case 10512?

8 A. Yes, I am.

9 Q. Did you do the geology and the
10 interpretations of that geologic information for
11 your company?

12 A. Yes, I did.

13 MR. KELLAHIN: We tender Mr. Balke as
14 an expert petroleum geologist.

15 EXAMINER STOGNER: Mr. Balke is so
16 qualified.

17 Q. (BY MR. KELLAHIN) Let me have you
18 turn, sir, to what is marked as ~~Exhibit No. 1~~.
19 Identify the display for me.

20 A. What you have here is the outline in
21 green of the South Four Lakes Unit. The yellow
22 is acreage that Phillips owns 100 percent. As
23 you can see within the wells themselves, there
24 are currently two producing wells, and one is a
25 disposal well. The producing wells are the No. 2

1 and the No. 9. The disposal well is the No. 6.

2 Acreage across the unit is undivided
3 royalty, 100 percent Phillips. And production,
4 as you can see, the oil is up on top with gas
5 just directly below it with our well locations,
6 No. 10, 11, and 12 in the green circles. The
7 80-acre proration units are also outlined with
8 the thin black line.

9 Q. When we look at the display, the
10 turquoise outline --

11 A. Yes.

12 Q. -- represents what?

13 A. The South Four Lakes Unit boundary.

14 Q. And that unit is unitization of what
15 formation?

16 A. Formations from Devonian -- from the
17 surface down to the Devonian.

18 Q. The production within the unit that is
19 characterized as the Four Lakes Pennsylvanian
20 Pool covers what Pennsylvanian formation?

21 A. Covers two distinct reservoirs, the B0
22 "C".

23 Q. Within the Four Lakes Pennsylvanian
24 Pool and the unitization of that interval, what
25 are the primary Pennsylvanian formations that are

1 productive in the unit?

2 A. ~~There's two primary ones:~~ ^{rough} One, ~~at 10,000~~,
3 which is Pennsylvanian age, located at about
4 10,000 feet; the other one we referred to is
5 Ranger Lakes, also referred to as Cisco, also a
6 Pennsylvanian carbonate, located about 10,250
7 feet.

8 Q. Within the unit area, the royalty
9 overrides and working interests are all identical
10 as we move from location to location within the
11 unit area?

12 A. That's correct.

13 Q. The plat identifies in the turquoise
14 open circles three locations, and there is well
15 numbers by each of those locations. What do
16 those represent?

17 A. The wells 10, 11, and 12 are
18 representative of unorthodox locations which we
19 wish to pursue.

20 Q. In pursuing further development of the
21 pool, what has caused you to believe that you
22 cannot appropriately locate these wells at
23 standard locations?

24 A. We have several structural maps based
25 upon a 3-D seismic survey that we took over the

1 unit itself. We also have a continuing 3-D
2 seismic survey, which trends down to our Ranger
3 Lakes Unit. Phillips owns 100 percent. We both
4 have a specific and regional picture based upon
5 seismic and subsurface interpretation.

6 Q. When you're putting together a geologic
7 package of information, what are the key geologic
8 parameters or points that caused to you conclude
9 that the unorthodox location in each of these
10 spacing units was preferable to the closest
11 standard location?

12 A. Our seismic and our subsurface
13 information were our two key elements in
14 justifying our unorthodox location. If you refer
15 to our seismic --

16 Q. We'll come to that in just a second.

17 A. Okay.

18 Q. I was trying to get an overview of the
19 critical geologic points that moved each of the
20 locations.

21 A. Specifically seismic and
22 stratigraphic. We would like to be in a
23 favorable seismic or structural framework. This
24 is a structural trap. We'd like to be higher on
25 the structure, which will be higher also in the

1 oil column of the reservoirs themselves, which
2 should give us a more favorable commercial
3 location.

4 Q. When we look at this display, there are
5 tracts outlined that include the three locations?

6 A. Yes.

7 Q. They appear to be about 80 acres in
8 size?

9 A. That's correct.

10 Q. Do those represented the 80-acre
11 spacing units that apply for the Four
12 Lakes-Pennsylvanian Pool?

13 A. That is correct.

14 Q. When we look at the location, just
15 without looking at the actual footages, they
16 appear to be moving towards other operations
17 within the same unit?

18 A. That's correct.

19 Q. So none of those locations are moving
20 or encroaching towards offsetting owners or
21 operators?

22 A. That is correct.

23 Q. With that background now let's look at
24 the structure map that you have prepared and have
25 marked as Exhibit No. 2. Before we discuss the

1 specific details, give us an understanding of how
2 to read the display.

3 A. Mr. Examiner, if you would refer to
4 Exhibit No. 2, the locations, the unorthodox
5 locations are identified by a red circle with the
6 well name above it. The red "Xs" are the
7 orthodox locations to give you a reference of why
8 we're justifying these unorthodox locations.

9 Q. The "Xs" would be an approximation of
10 the closest standard locations that would be
11 choices within each of those spacing units for a
12 well?

13 A. That's correct.

14 Q. For example, let's take the No. 12
15 well, which is in the southwest quarter of
16 Section 35. Give us a summary of why the
17 unorthodox location is preferable over the two
18 closest standard locations.

19 A. Each color represents a different
20 contour interval. The contour intervals are
21 based upon 40 feet. If, for example the South
22 Four Lakes No. 12, if we were to drill the
23 orthodox location to the northwest, we would
24 actually be approximately 100 to 120 feet
25 down-dip from our unorthodox location.

1 If we were to drill the orthodox
2 location to the southwest, we would be
3 approximately 75 to 80 feet off structure. ~~our~~
4 ~~unorthodox~~ location allows us to gain this
5 structure and still be within the reservoirs of
6 ^{beach} ~~both C~~ and the Ranger Lakes.

7 Q. Tell me how you generated the structure
8 map.

9 A. Structure map was based upon a ~~2-D~~
10 ~~seismic survey~~ which we took. The 3-D survey
11 was outlined with lines running north-south and
12 east to west. Spacing between these lines were
13 somewhere between 250 and 300 feet.

14 The marker that we used within the
15 seismic is a very key marker, which we've used to
16 map many Penn horizons throughout the Tatum
17 Basin. We call it a Penn Red. It's just a very
18 anomalous seismic event which we found to
19 indicate structure and subsurface.

20 Q. The 3-D seismic methodology has the
21 ability to use varying grid sizes?

22 A. That's correct.

23 Q. And once you select an appropriate grid
24 size, conduct the survey, then that information
25 helps you generate a structure map such as we're

1 looking at here?

2 A. That is correct.

3 Q. What provided the information to
4 satisfy you that the grid size was appropriate?

5 A. We have the No. 8 well, which is
6 located in the northeast-northeast of Section 2.
7 That was drilled in 1986. We have a modern sonic
8 log, which we used to create a synthetic seismic
9 seismogram. That well, along with the other
10 wells in the field, we used to correlate with our
11 seismic picture.

12 The other wells in the field, however,
13 are very old, did not have any modern logs. But
14 the No. 8 provided very good correlation with our
15 seismic.

16 Q. In trying to maximize the oil recovery
17 in the pool and minimize the risk, is there a
18 water component to the analysis that needs to be
19 addressed?

20 A. Yes, there is. The No. 2 well is
21 currently producing out of the Penn. It is
22 producing some water. When these wells were
23 plugged and abandoned, they were producing
24 excessive amounts of water.

25 We feel, based upon our latest

1 drilling, which was the No. 9 in Section 35, we
2 drilled that last year, put it on production
3 September of 91, that well on the log has not
4 indicated any water, that production has not --
5 the water production is less than 18 barrels a
6 day. We feel that this is not within the
7 oil-water or at least within the water lake. We
8 feel that the oil-water contact should be
9 somewhere around 5620 and 5660.

10 Q. In addition to maximizing the
11 opportunity to recover oil for the unit, these
12 locations then will minimize the risk of
13 encountering the water portion of the reservoir?

14 A. That's correct.

15 Q. In positioning the wells in the unit
16 and moving to the unorthodox location, do you
17 have any sense geologically that you're crowding
18 your wells too close together?

19 A. Not at this time, no, I don't.

20 Q. Okay. Let's turn now to the specifics
21 of the survey information. Let me direct your
22 attention, first of all, to Exhibit No. 3. And
23 that's a copy of the Division Form C-102 that
24 specifically addresses what we call well No. 10.
25 Let's talk about this one.

1 The place to start, I think, Mr. Balke,
2 is to have you describe the background that
3 caused the surface location, which is advertised
4 in the docket at 2200 feet from the south line
5 and 1980 feet from the east line, to be
6 relocated.

7 And when we look at the display and
8 look at Unit letter J, there are two well dots?

9 A. Uh-huh.

10 Q. What's the significance of those two
11 dots?

12 A. The dot to the north -- which is right
13 near Warn Petroleum Company's pipeline. As you
14 can see a diagram, a blown-up diagram in the
15 northwest quarter of that diagram, we need to
16 stay a distance away from the pipeline. And
17 that's why we moved from our unorthodox location,
18 which is located to the north, the one directly
19 to the south.

20 **The open circle to the south is the**
21 **location that was moved because of safety reasons**
22 **due to the pipeline, and it is our surface**
23 **location. However, our bottom-hole location we**
24 **would still like to see located to the north.**

25 Q. When you look at the display and look

1 in the northwest quarter of the survey plat for
2 the section, there is an inset?

3 A. Uh-huh.

4 Q. What does that inset show?

5 A. The inset shows no scale.

6 Q. Okay. But that is a diagrammatic
7 representation of what was discovered in the
8 field when the well was staked?

9 A. Correct.

10 Q. At the time the original application
11 was filed by Phillips, the actual survey work had
12 not yet been done in the field?

13 A. That's correct.

14 Q. Describe for me if we go to the -- let
15 me strike that. A standard location for this
16 pool is a well located within 150 feet of the
17 center of either 40-acre tract within the 80-acre
18 spacing unit?

19 A. That is correct.

20 Q. So by moving the surface location, are
21 you now at a standard surface location for this
22 pool?

23 A. That is correct.

24 Q. How do you propose to accomplish the
25 drilling at a modified surface location and

1 achieve the bottom-hole location that you desire
2 to achieve in the reservoir?

3 A. We will drill a vertical well past the
4 Abo, the base of the Abo, which is around 8500
5 feet. From 8500 feet down to the TD of probably
6 10,400 feet, we will drill a deviated hole.

7 Q. Okay. The vertical interval is
8 sufficient that you can accomplish in
9 conventional steering technology the directional
10 drilling of a well that will have a surface
11 displacement of approximately 150 feet?

12 A. That's correct. And we will also take
13 surveys along.

14 Q. Okay. Typically in deviated wells the
15 Division affords the applicant an opportunity to
16 hit a bottom-hole target. And because of depth
17 and the economy of trying to hit a specific
18 point, if the Division approves a 50-foot radius
19 target around the bottom-hole location as now
20 requested, is that an adequate target to hit in
21 this reservoir at this depth?

22 A. Yes, it is.

23 Q. Based upon your knowledge are we using
24 anything other than conventional directional
25 drilling methodology to achieve the objective and

1 avoid the surface restrictions that we have found
2 that preclude the location that you originally
3 sought?

4 A. To the best of my knowledge, we always
5 use a conventional means.

6 Q. Okay. Let's turn now to some of the
7 other wells. When we look at the next display,
8 which is Exhibit No. 4, identify and describe
9 that for us.

10 A. Exhibit No. 4 describes well No. 11,
11 which is in letter "N" of section 30 -- excuse
12 me, Section 2, which if you -- Mr. Examiner, if
13 you refer to Exhibit 2, you also see it on the
14 plat there.

15 Q. And this represents the staked
16 location?

17 A. This is a staked location. There
18 should be no changes to this one.

19 Q. And this one conforms to the advertised
20 location in the docket, and we can now delete the
21 request for the 50-foot radius around that well?

22 A. That's correct.

23 Q. Okay. Let's turn now to the last well,
24 which is the No. 12 well, and have you identify
25 and describe Exhibit No. 5.

1 A. This is located in Section 35. It's
2 letter "F." It is also in a -- this has also
3 been staked. It should not be changed.

4 Q. So we can also delete the 50-foot
5 radius around well No. 12, and it matches the
6 advertised requested location for the well and is
7 properly staked?

8 A. That's correct.

9 Q. Let's turn now, sir, to some of your
10 other supporting geologic information concerning
11 your application. Specifically I'd like you to
12 unfold Exhibit No. 6.

13 Q. Before we describe the details and
14 conclusions, tell us what we're looking at.

15 A. Mr. Examiner, what you're looking at in
16 Exhibit No. 6, is a net thickness isopach with a
17 porosity cutoff of 4 percent of the ~~Basal~~
18 ~~Lakes-Cisco interval.~~ This interval is the
19 interval that is around 10,250 feet. It is the
20 most prolific zone of the two Pennsylvanian
21 zones.

22 Again you see within green the unit
23 outline; within yellow, Phillips' acreage along
24 with the unit. Each contour has its own
25 particular color. Contour interval is five feet.

1 Q. How do you use this information, Mr.
2 Balke, to support your conclusion that the
3 optimum location for these additional wells is at
4 the requested unorthodox locations?

5 A. What I wish to show on this is that the
6 reservoir does -- is continuous across the
7 structure. The reservoir within the locations
8 will have a commercial thickness. We relate this
9 back to Exhibit No. 2, which is our structure
10 map, and that will show us the optimum location
11 both with thickness and the correct and most
12 favorable structure location.

13 Q. Let me direct your attention now to
14 Exhibit No. 7. When we look at 6 and now move
15 into 7, what is the difference?

16 A. Mr. Examiner, Exhibit No. 7 is the
17 isopach of porosity. We don't want to -- we
18 don't foresee any porosity pinch-outs. What we
19 want to be is still within the same porous
20 reservoir, again within the same structural
21 position. This is an isopach of porosity greater
22 than 4 percent. Contour interval is 2 percent.

23 So what we want to do is stay in the
24 most favorable thickness, still having porosity
25 and still being structurally in the most

1 favorable position.

2 Q. So as you begin to build your reservoir
3 and look at the different geologic components to
4 that reservoir -- ~~we have moved from structure,~~
5 ~~to thickness, to porosity -- what else do you do?~~

6 A. That will, from our understanding of
7 this field, from our history, has been giving us
8 favorable, productive, drillable locations.

9 Q. So you take the three, combine them,
10 looking at each component and matching the
11 optimum location, when you look at each of those
12 items?

13 A. That is correct.

14 Q. And having done so, then it's caused
15 you to conclude that for each of these spacing
16 units, the unorthodox location has substantial
17 opportunities that the closest standard location
18 doesn't provide?

19 A. That is correct.

20 Q. All right. Having looked at the Cisco,
21 let's now turn to the other primary producing
22 interval in this pool, which is the ~~BO~~ "C," and
23 you've gone through the same methodology for that
24 portion of the reservoir?

25 A. That is correct.

1 Q. Without further explanation then, let's
2 go to the conclusions that you draw from each of
3 those displays starting with Exhibit No. 8.

4 A. Mr. Examiner, Exhibit No. 8 displays
5 again the reservoir being present across the
6 structure. Exhibit No. 9 will also display how
7 the porosity does not pinch out across the
8 structure. We have a very consistent reservoir
9 across the structure, which when we can show that
10 the reservoir is present, then we need to show
11 where's the correct and most favorable position
12 to drill the location.

13 ~~So~~ in combination with ^{Booth} both "C" maps,
14 Ranger Lakes-Cisco maps, we now can say that the
15 reservoir is present without any porosity
16 pinch-outs, without any kind of permeability
17 problems, and we will reference back to Exhibit 2
18 showing the structural location.

19 Q. Moving from Exhibit 8 let's go to the
20 final geologic display, Exhibit 9, and tell us
21 how that fits into your analysis.

22 A. Again this is porosity on the ^{Booth} BO "C,"
23 porosity greater than 4 percent. Each contour
24 interval indicates 2 percent porosity. You see
25 porosity being present, commercial porosity being

1 present across the structure.

2 Q. The challenge then for you as a
3 geologist is to take each map, integrate it with
4 the other maps, and then pick the best location
5 within that spacing unit?

6 A. That is correct.

7 Q. If you look at an individual map by
8 itself, it will not give you a complete picture
9 by which you can judge the best location.

10 A. That is correct. You may have wells
11 that have commercial thickness, porosity, however
12 be low on structure and be noncommercial
13 locations.

14 Q. And with a reservoir of this
15 complexity, then you've got to use all these
16 devices and tools to minimize the risk of staying
17 out of the water, get you in the best structural
18 position in the reservoir with the greatest
19 thickness and the greatest porosity?

20 A. That is correct.

21 Q. Do you believe that you can ultimately
22 conclude that these locations satisfy that
23 objective?

24 A. Yes, I can.

25 Q. Were Exhibits 1 through 9 prepared by

1 you?

2 A. Yes, they were.

3 Q. Let me have you identify for the record
4 what we've marked as Exhibit No. 10. What is
5 that, sir?

6 A. This is approval for the following
7 unorthodox locations, which we stated.

8 Q. As we've already discussed with you,
9 your knowledge of the ownership causes you to
10 conclude that each of these locations are simply
11 moving towards interest owners within the same
12 unit?

13 A. That is correct.

14 Q. And you have -- Phillips has sent the
15 Commissioner of Public Lands, as an interest
16 owner, notification of these locations, and they
17 have given you a waiver with regards to these
18 locations?

19 A. Yes.

20 MR. KELLAHIN: That concludes our
21 presentation of Balke. We move the introduction
22 of Exhibits 1 through 10.

23 EXAMINER STOGNER: Exhibits 1 through
24 10 will be admitted into evidence.

25 EXAMINER STOGNER: Geologically

1 speaking, the evidence, I must say, is quite
2 clear. Due to some glitches, I feel, sometimes
3 in our own system, not being able to authorize
4 these administratively, you have to come to
5 hearing and get geological exceptions in these
6 particular instances; however, in doing this
7 geological work and actually having your field
8 people going out there and seeing if the location
9 is applicable, things do need to correspond.

10 MR. KELLAHIN: We understand the
11 problems we've created for ourselves, Mr.
12 Examiner. Ms. Harris and Mr. Balke and I are
13 working together to avoid those in the future.
14 She appreciates, I'm sure, your comments that
15 under a unit concept, it's unfortunate we don't
16 have a method to approve this kind of thing
17 administratively.

18 In the future we'll take better care of
19 staking our locations before we involve your
20 energy to approve these things through the
21 agency.

22 EXAMINER STOGNER: And in the future
23 perhaps cases like this can be alluded to and any
24 changes in the general rules, which will allow
25 some administrative procedures. I'm sure you'll

1 help me remember such instances as this.

2 MR. KELLAHIN: I'm sure Phillips would
3 support that and would actively pursue it, Mr.
4 Examiner.

5 EXAMINER STOGNER: With that
6 readvertisement will be necessary for the
7 September 3 -- I'm getting confused.

8 MR. KELLAHIN: Yes, sir, September 3.

9 EXAMINER STOGNER: September 3, yes, in
10 which I will place in there additional exceptions
11 for the directional drilling. Other than that, I
12 have no other questions of this witness.

13 [A discussion was held off the record.]


14 EXAMINER STOGNER: Would you like to
15 take a little break?

16 MR. KELLAHIN: We're okay, Mr.
17 Examiner. We can do this outside the record.

18 EXAMINER STOGNER: With that, if
19 there's nothing further in Case No. 10512 -- Mr.
20 Balke, you may be excused -- we'll take note of
21 the exhibits today and readvertise this case.
22 And I don't see it necessary to have your witness
23 back here on the 3rd. And an order will be
24 issued after that is called then.

25 MR. KELLAHIN: All right, sir.

[And the proceedings were concluded.]

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner's hearing of Case No. 10512,
heard by me on 16 August 1992.

_____, Examiner
Oil Conservation Division

CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Debbie Vestal, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I caused my notes to be transcribed under my personal supervision; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL AUGUST 17,
1992.



DEBBIE VESTAL, RPR
NEW MEXICO CSR NO. 3