

NEW MEXICO OIL CONSERVATION DIVISION

STATE OF NEW MEXICO

CASE NO. 10531

IN THE MATTER OF:

The Application of Southland Royalty
Company for an unorthodox gas well
location and downhole commingling,
San Juan County, New Mexico.

BEFORE:

DAVID R. CATANACH

Hearing Examiner

State Land Office Building

August 20, 1992

REPORTED BY:

DEBBIE VESTAL
Certified Shorthand Reporter
for the State of New Mexico

ORIGINAL

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel

State Land Office Building

Santa Fe, New Mexico 87504

FOR SOUTHLAND ROYALTY COMPANY:

KELLAHIN & KELLAHIN

Post Office Box 2265

Santa Fe, New Mexico 87504-2265

BY: **W. THOMAS KELLAHIN, ESQ.**

FOR MCKENZIE METHANE:

RODEY, DICKASON, SLOAN, AKIN & ROBB, P.A.

Post Office Box 1357

Santa Fe, New Mexico 87504-1357

BY: **PAUL A. COOTER, ESQ.**

I N D E X

Page Number

Appearances

2

WITNESSES FOR THE APPLICANT:

1. ALAN ALEXANDER

Examination by Mr. Kellahin 10

Examination by Examiner Catanach 15

Examination by Mr. Stovall 17

2. SCOTT DAVES

Examination by Mr. Kellahin 18

Examination by Examiner Catanach 29

Examination by Mr. Cooter 33

3. MS. STEWART-HICKS

Examination by Mr. Kellahin 34

Certificate of Reporter

42

E X H I B I T S

Page Identified

1		
2		
3		
4	Exhibit No. 1	10
5	Exhibit No. 2	11
6	Exhibit No. 3	6
7	Exhibit No. 4	14
8	Exhibit No. 5	35
9	Exhibit No. 6	26
10	Exhibit No. 7	38
11	Exhibit No. 8	15

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 EXAMINER CATANACH: Call the docket to
2 order for Docket No. 25-92 this morning. Call
3 the continuances first. Case 10527 is continued
4 to September 3. Case 10529 is continued to
5 September 3. 10530 is continued to September 3.
6 Cases 10502, 10503, and 10504 are all continued
7 to September 3. Case 10522 is continued to
8 September 3. And Case 10483 is continued to
9 September 17.

10 [A discussion was held off the record.]

11 [A recess was taken.]

12 EXAMINER CATANACH: At this time we'll
13 call Case 10531.

14 MR. STOVALL: Application of Southland
15 Royalty Company for an unorthodox gas well
16 location and downhole commingling, San Juan
17 County, New Mexico.

18 EXAMINER CATANACH: Are there
19 appearances in this case?

20 MR. STOVALL: Did I call the right
21 case, Tom?

22 MR. KELLAHIN: I'm finding my place on
23 the docket. This is 10531?

24 EXAMINER CATANACH: Right.

25 MR. KELLAHIN: Yes, Mr. Examiner. My

1 name is Tom Kellahin, Santa Fe, New Mexico,
2 appearing on behalf of Southland Royalty
3 Company. And I have three witnesses to be
4 sworn.

5 EXAMINER CATANACH: Are there other
6 appearances in this case?

7 MR. COOTER: Paul Cooter with the Rodey
8 law firm in Santa Fe appearing on behalf of
9 McKenzie Methane.

10 EXAMINER CATANACH: Any other
11 appearances?

12 Mr. Cooter, do you have any witnesses
13 this morning?

14 MR. COOTER: No, sir. I would like to
15 make a brief statement when that time comes.

16 EXAMINER CATANACH: Okay. Will the
17 witnesses, please, stand to be sworn in.

18 [The witnesses were duly sworn.]

19 MR. KELLAHIN: Mr. Examiner, so that
20 Mr. Cooter and I can explain to you what we're
21 both seeking to accomplish for our respective
22 clients, let me ask you, sir, to turn to the
23 exhibit book and, if you'll look at the first
24 display behind Exhibit No. 3, there's a plat that
25 may help orient you to Mr. Cooter's concerns on

1 behalf of McKenzie Methane.

2 The section in question is 12. The
3 development of that section for coal gas under
4 the existing rules would require the gas wells to
5 be located either in the northeast quarter or the
6 southwest quarter.

7 The applicant has already developed the
8 east half of the section with a coal gas well in
9 the northeast quarter. That remains available in
10 the west half of the section.

11 Because of Southland's desire to
12 incorporate the development of Pictured Cliffs
13 reserves in the northwest quarter in conjunction
14 with the coal gas well, we're seeking approval of
15 an off-pattern coal gas location in the northwest
16 quarter. Usually it would be in the southwest
17 quarter.

18 In Section 11 McKenzie Methane has the
19 rights to develop that section, in fact, has
20 developed that section with wells on pattern.
21 There's a well in the northeast and southwest.

22 Their concern about our location is
23 they don't want to be exposed to more than one
24 well in the west half. We propose to drill the
25 well in the northwest quarter under current pool

1 rules and spacing exceptions. It's our belief
2 that this will be the only well in the west half
3 under current rules.

4 The opposition of McKenzie Methane is
5 conditioned upon our ability to stipulate that we
6 would not seek an additional infill well in the
7 southwest quarter of this spacing unit under
8 current pool rules. I am unable to verify that
9 stipulation this morning.

10 We would like to go ahead and present
11 this case and let Mr. Cooter make his statement
12 on behalf of his client so that he can preserve
13 his option for another hearing in the event that
14 he and I cannot satisfactorily resolve his
15 concerns for his client.

16 With that statement, we're ready to
17 present our case. Perhaps Mr. Cooter would like
18 to make his own statement.

19 MR. COOTER: Mr. Kellahin has stated it
20 correctly. I was advised by McKenzie Methane
21 that an agreement had been reached with
22 Southland, Meridian, that they would not --
23 unless the pool rules be changed, they would not
24 seek to drill a second well, an infill well, in
25 the southwest quarter.

1 And based upon that agreement, McKenzie
2 Methane has no objection to this proposed
3 location. If that agreement is in error and such
4 a stipulation cannot be agreed to, perhaps
5 subsequently to this hearing, then we would seek
6 either a rehearing or an appeal to the de novo
7 hearing before the Commission.

8 MR. STOVALL: Mr. Kellahin, let me make
9 sure I understand. McKenzie is affirming that
10 there is an agreement at this time, but you are
11 not able to affirm. And I'm assuming that Mr.
12 Alexander, sitting at the end of the table, he's
13 not going to affirm that agreement at this time
14 either; is that correct?

15 MR. KELLAHIN: He is unaware of which
16 individual with Southland the agreement was made
17 on behalf of their company with McKenzie Methane,
18 and he's not authorized this morning to make that
19 stipulation. I hope that after the hearing I can
20 verify it, but I cannot do it now.

21 EXAMINER CATANACH: Go ahead.

22 **ALAN ALEXANDER**

23 Having been duly sworn upon his oath, was
24 examined and testified as follows:

25 EXAMINATION

1 BY MR. KELLAHIN:

2 Q. Mr. Alexander, for the record would
3 you, please, state your name and occupation?

4 A. My name is Alan Alexander. I'm
5 employed as a senior staff landman with Meridian
6 Oil in the Farmington, New Mexico, office.

7 Q. On prior occasions have you testified
8 as a petroleum landman before the Division?

9 A. I have.

10 Q. And pursuant to your employment by
11 Southland Royalty in this instance, are you
12 familiar with the ownership involved in this
13 particular spacing unit and the offsetting
14 ownership surrounding the spacing unit?

15 A. I am.

16 MR. KELLAHIN: We tender Mr. Alexander
17 as an expert petroleum landman.

18 EXAMINER CATANACH: Mr. Alexander is so
19 qualified.

20 Q. (BY MR. KELLAHIN) Mr. Alexander, let's
21 turn to the exhibit booklet. If you'll identify
22 for the record what is behind tab Exhibit No. 1?

23 A. Yes. This exhibit is our application
24 to the Division to commingle the Hanks No. 501
25 well in the Fruitland Coal and the Pictured

1 Cliffs Formation.

2 Q. What are the proposed spacing units to
3 be dedicated to each of those two pools within
4 Section 12?

5 A. We are proposing to dedicate the
6 northwest quarter for the Pictured Cliffs
7 Formation and to dedicate the west half for the
8 Fruitland Coal Formation.

9 Q. When you look at the spacing units for
10 each of those pools that surround your respective
11 spacing units, have you identified the ownership?

12 A. Yes, I have.

13 Q. And have you shown as an attachment to
14 the application the location of those other
15 operators that offset your property?

16 A. Yes. Under Exhibit No. 2 you'll see
17 the offset operator plats for each formation and
18 which shows the offset operators respectively for
19 those formations.

20 Q. Summarize for us what Southland Royalty
21 Company seeks to accomplish with this
22 application, Mr. Alexander.

23 A. We wish to develop both the Fruitland
24 Coal Formation and the remaining reserves in the
25 Pictured Cliffs Formation by drilling a

1 commingled well, a new drill well, in the
2 northwest quarter of Section 12.

3 Q. When you examine the ownership that's
4 entitled to share in the production from the
5 Pictured Cliffs as well as the Fruitland Coal,
6 what do you find?

7 A. The ownership is identical for both
8 formations.

9 Q. What is the ownership of the base lease
10 that's involved in both pools?

11 A. The base lease is a federal oil and gas
12 lease.

13 Q. Let's turn now to the information
14 behind Exhibit No. 3. Describe for us what the
15 current status of development is in Section 12
16 with regards to the coal gas development and the
17 Pictured Cliffs development.

18 A. Currently in Section 12 of 27 North, 10
19 West the Fruitland Coal has been developed
20 through the Hanks 500 well that you will see
21 located in the northeast quarter of Section 12.

22 Additionally, the section is currently
23 producing from three Pictured Cliffs wells
24 located in the northeast quarter, the southeast
25 quarter, and the southwest quarter. You'll see

1 on the plat there is a symbol for a Pictured
2 Cliffs well in the northwest quarter; however,
3 that well was plugged and abandoned in 1989, I
4 believe.

5 And we currently do not have a
6 Fruitland Coal well in the west half of the
7 section.

8 Q. What's Southland Royalty Company's plan
9 for the development then of the west half of the
10 section with a coal gas well?

11 A. We propose to develop both the
12 Fruitland and the Pictured Cliffs through a
13 single wellbore and to commingle these reserves.
14 The most appropriate location for this well in
15 order to develop the remaining Pictured Cliffs
16 reserves would be in the northwest quarter since
17 that quarter is not currently producing from the
18 Pictured Cliffs Formation.

19 Q. Does Southland currently have Pictured
20 Cliffs wells producing in each of the other three
21 quarter sections?

22 A. Yes, we do.

23 Q. With regards to its location in the
24 northwest quarter of 12, have you obtained the
25 necessary surface clearances from the Bureau of

1 Land Management and other regulatory agencies for
2 the location of the well on the surface?

3 A. Yes, we have.

4 Q. Let's turn to the information behind
5 exhibit tab 4 and have you identify and describe
6 that display.

7 A. This display is a topographic map which
8 shows the location of the current Hanks No. 500
9 well. We actually attempted to locate this
10 wellbore a little further to the east, which
11 would put it more in the center of the northwest
12 quarter; however, there are archeological sites
13 involved in that, and the Bureau of Land
14 Management was not agreeable to any location
15 further east.

16 The current location that we're using
17 is an improved location, which was previously
18 staked by Southland Royalty Company, and it was
19 originally intended as a replacement well for the
20 Hanks No. 1 Pictured Cliffs well.

21 Q. Is the location that you're requesting
22 approval for from the Examiner one that now has
23 met all surface approvals?

24 A. It has met all surface and
25 archeological and BLM approvals.

1 Q. Let me show you what I have marked as
2 Exhibit No. 8, Mr. Alexander, and have you verify
3 for me that the offsetting operators entitled to
4 notice in this case were properly notified of the
5 hearing.

6 A. Yes. This Exhibit No. 8 is the
7 certification of mailing. And it does appear
8 that we have in fact contacted all of the offset
9 operators who are entitled to notice in this
10 case.

11 MR. KELLAHIN: That concludes my
12 examination of Mr. Alexander. We move the
13 introduction of his Exhibits No. 1 through 4.

14 EXAMINER CATANACH: Exhibits 1 through
15 4 will be admitted as evidence.

16 EXAMINATION

17 BY EXAMINER CATANACH:

18 Q. Mr. Alexander, is your location
19 standard with respect to setbacks?

20 A. Yes, sir, it is. It's located -- the
21 proposed well is located 790 feet from the west
22 line and 1800 feet from the north line.

23 Q. You said you currently had a Pictured
24 Cliffs well in the northeast quarter, the
25 southwest quarter, and --

1 A. And the southeast quarter.

2 Q. -- and the southeast quarter?

3 A. Yes, sir. You'll note on the plat, in
4 order to clarify that, there is a square symbol
5 that on the legend says a Dakota well, the 14-E.
6 But if you'll look and if you'll see the
7 sub-symbol there that's a "P", that means that
8 well was dually completed in the Dakota and
9 Pictured Cliffs.

10 MR. KELLAHIN: Mr. Examiner, if you'll
11 turn to the next display behind that tab, there's
12 a larger reproduction of the section and the well
13 symbols may be easier to identify on that
14 display.

15 Q. (BY EXAMINER CATANACH) Mr. Alexander,
16 were you aware that negotiations with McKenzie
17 were being conducted?

18 A. Yes, I was. In fact, I talked with Mr.
19 Roger Litke with McKenzie Methane. He first
20 called me, I believe, on Tuesday, perhaps Monday
21 of this week, but I believe it was Tuesday, and
22 we discussed this issue.

23 I think it may be a problem of
24 communication. In fact, I came to the hearing
25 this morning with the understanding that we had

1 worked an agreement with McKenzie whereby we felt
2 that McKenzie was fully protected by the current
3 rules and regulations of the Division whereby we
4 could not put an additional well in the west half
5 without first approaching McKenzie and the
6 Division to get authority to do so.

7 EXAMINATION

8 BY MR. STOVALL:

9 Q. Is it safe to say that your attorney
10 has represented correctly, that you can't say
11 that there's been a definitive agreement reached?

12 A. No, sir. I do not know that there's
13 been a definitive agreement reached with regard
14 to the stipulation about the second well or a
15 possible second well down in the southwest
16 quarter of the section.

17 Q. But it's your understanding you
18 couldn't do it anyway unless we approved it and
19 McKenzie would have to be notified anyway?

20 A. Yes, sir, that's correct.

21 EXAMINER CATANACH: Mr. Cooter, did you
22 have any questions? I'm sorry.

23 MR. COOTER: I'm in an unusual
24 situation, and I feel that I must bide by what my
25 client has told me, that is, to appear that there

1 was a stipulation agreed to and, with that, there
2 would be no objection to this proposed location.
3 Therefore, I have no questions.

4 EXAMINER CATANACH: The witness may be
5 excused.

6 **SCOTT DAVES**

7 Having been duly sworn upon his oath, was
8 examined and testified as follows:

9 EXAMINATION

10 BY MR. KELLAHIN:

11 Q. Would you, please, state your name and
12 occupation?

13 A. My name is Scott Daves. I am a
14 reservoir engineer with Meridian Oil.

15 Q. Mr. Daves, on prior occasions have you
16 testified as a reservoir engineer before the
17 Division?

18 A. Yes, sir.

19 Q. You testified in the hearing on the
20 Aztec 700 well, did you not?

21 A. Yes, sir.

22 Q. And that was an application, among
23 other things, to downhole commingle production in
24 the Pictured Cliffs and the Fruitland Coal Gas
25 Pools?

1 A. Yes, sir.

2 Q. With regards to your employment as a
3 reservoir engineer, have you also made an
4 engineering study of the facts surrounding this
5 particular case?

6 A. Yes, sir, I have.

7 MR. KELLAHIN: We tender Mr. Daves as
8 an expert reservoir engineer.

9 EXAMINER CATANACH: He is so
10 qualified.

11 MR. KELLAHIN: Mr. Examiner, on your
12 copy of the exhibit book behind exhibit tab No.
13 3, we have penciled in some current cumulative
14 production numbers for convenience. Mr. Daves
15 will describe for you that information as he
16 begins to explain his conclusions and opinions.

17 Q. Let's turn to that display, Mr. Daves.
18 Summarize for us what you're proposing to
19 accomplish with the approval of the drilling of
20 this well in this quarter section and downhole
21 commingling that production with the two pools.

22 A. Right. What we're proposing here and
23 the reasoning is, is that we have identified
24 additional reserves in the Pictured Cliffs in
25 that quarter section. And the well that was

1 there was the Hanks No. 1. It's currently
2 plugged and abandoned. So, therefore, there was
3 no option there to do anything with that well.

4 So what we proposed in conjunction with
5 redrilling a Pictured Cliffs well is a Fruitland
6 Coal well there and then commingling the two.
7 And if you'll look at the various offsets there,
8 what those numbers in pencil are, are cumulative
9 production for each of the Pictured Cliffs wells
10 and the nine quarter sections or the eight
11 quarter sections surrounding the northwest
12 quarter of Section 12.

13 And what we identified is that our well
14 in the northwest quarter did not recover all of
15 the reserves that were there, and that's fairly
16 evident if you look at the wells around it,
17 upwards of 2.8 Bcf of cumulative production;
18 whereas, ours was 590 million cubic feet.

19 And if you look just to the east, you
20 see that well has cum'd 1.5 Bcf, almost three
21 times this well.

22 Q. You're looking at the Pictured Cliffs
23 well in the northeast quarter of 12?

24 A. Yes, sir.

25 Q. Let's move clockwise around the section

1 and pick up the additional cumulative information
2 on those PC wells as you move around your well
3 location.

4 A. Okay. If you look in the southeast
5 quarter, that's a new well. And it was
6 completed, I believe, in 1980 or in that era.
7 And it's already cum'd 185 million cubic feet of
8 gas and is currently producing.

9 If you move on to the southeast, that
10 well is currently producing and it has cum'd over
11 750 million cubic feet of gas. If you move to
12 the southeast of 11, that well is currently
13 producing and has cum'd 2.86 Bcf of gas.

14 And if you move to the northeast
15 quarter, that well is currently producing, and it
16 has cum'd 2.2 Bcf of gas. And if you move to the
17 southeast of Section 2, that well has cum'd 945
18 million cubic feet of gas and is currently
19 producing.

20 If you move to the south-southwest of
21 Section 1, that well has cum'd 902 million cubic
22 feet of gas and is currently producing. And then
23 the last one there in the southeast of Section 1
24 was plugged and abandoned in 73, and we've
25 identified that it was an openhole completion

1 which subsequently collapsed, therefore, the low
2 cumulative production there of 78 million.

3 Q. How did you, as a reservoir engineer,
4 validate the volume of remaining gas that's
5 available for production out of the northwest
6 quarter of the section?

7 A. We basically used two methods. We use
8 a material balance method, P over Z versus cum'd
9 gas, and also we verified that number with
10 material balance -- I mean, with volumetric
11 calculations.

12 Q. The end result of that analysis and
13 those calculations causes you to conclude what
14 volume of additional gas can be produced out of
15 the northwest quarter in the Pictured Cliffs
16 Formation?

17 A. Approximately 500 million cubic feet of
18 gas.

19 Q. Is that a sufficient volume of gas to
20 justify drilling the Pictured Cliffs well as a
21 stand-alone well?

22 A. No, sir.

23 Q. How then is it best to develop those
24 remaining Pictured Cliffs reserves?

25 A. The best way that we identified was to

1 drill through the Pictured Cliffs, complete that,
2 in addition to that, complete the Fruitland Coal
3 so that you have enough gas and enough reserves
4 to make an economic prospect or project.

5 Q. What are the approximate costs of
6 drilling a Pictured Cliffs well just to the
7 Pictured Cliffs Formation?

8 A. Approximately \$230,000.

9 Q. What is the savings to the interest
10 owners that pay for the costs of the well if the
11 Pictured Cliffs reserves are developed in
12 conjunction with the coal gas well?

13 A. To drill and complete a commingled
14 well, it could cost approximately \$300,000. So
15 you're saving yourself approximately 230 or --

16 Q. Okay.

17 A. -- \$230,000. Because you're only going
18 to pay, in addition with this Fruitland
19 commingle, the additional cost to complete the
20 well. Facilities and the drilling itself would
21 be the same either way.

22 Q. So something in excess of \$200,000 is
23 going to be saved by approval of this particular
24 application?

25 A. Right.

1 Q. When you examine the offsetting
2 production that is now withdrawing Pictured
3 Cliffs gas from this area, is the northwest
4 quarter exposed to drainage by any of those
5 wells?

6 A. Yes, sir. In fact, all of the wells
7 probably.

8 Q. In the absence of a well in the
9 northwest quarter to further develop the Pictured
10 Cliffs reserves, what is your opinion about who
11 will capture those reserves?

12 A. More than likely the well directly to
13 the west and the well directly to the east and
14 the one directly to the north.

15 Q. When we look at the coal pool for
16 development, where are we within the basin
17 Fruitland Coal Pool Reservoir? Where are we
18 located?

19 A. Can you repeat that?

20 Q. Sure.

21 A. I want to make sure I understand.

22 Q. When you look at the whole coal pool
23 basin, it's a huge basin, what portion of this
24 basin are we in with this particular application?

25 A. In the southwest quarter of the basin,

1 I would say, in the under-pressured envelope.

2 Q. When you try and find on this surface,
3 where do you go?

4 A. It's in our Minute Canyon. It's south
5 of Bloomfield approximately ten miles.

6 Q. When you analyze the coal gas
7 reservoir, trying to optimize your opportunity to
8 get the best possible coal gas location for the
9 west half of the section, what did you do to make
10 that judgment?

11 A. The coal itself in the entire section
12 is fairly continuous, fairly similar, so that
13 really wasn't an issue as far as choosing a
14 location for a coal well. The reason that we
15 chose the location where we did was more for our
16 Pictured Cliffs development.

17 Q. It doesn't compromise your ability to
18 develop the coal gas by putting the well then in
19 the northwest quarter?

20 A. Not at all.

21 Q. Describe for the Examiner how you
22 propose to allocate production between the two
23 pools.

24 A. Okay. Mr. Examiner, if you would turn
25 to Exhibit 6, I believe, the first page of that,

1 what this first general equation states is that
2 the total production is equal to the sum of the
3 Fruitland Coal production and the Pictured Cliffs
4 production.

5 And we rearranged that equation stating
6 that the Fruitland Coal production is equivalent
7 to the total production minus the Pictured Cliffs
8 production. And the reason that we do that in
9 that manner is that we have established declines
10 for the area for the Pictured Cliffs Formation
11 and in particular the Hanks No. 1 well in the
12 northwest quarter.

13 So at that point the primary thing that
14 we're trying to do is to establish a decline and
15 an initial rate. And you'll see there that the
16 Pictured Cliffs production is equal to, in the
17 third equation, the initial Pictured Cliffs
18 production times an established decline rate.

19 And in this case, from a field study
20 that we did, it's approximately 8 percent. And
21 that was verified by evaluating the surrounding
22 wells and also the well that was there
23 previously, the Hanks No. 1. And they both
24 confirm that 8 percent is an extremely reasonable
25 number.

1 And the next equation there is just
2 that put into a monthly term or a monthly
3 decline. And then the final one is establishing
4 what the Fruitland Coal production would be on a
5 monthly basis.

6 If you'll turn to the next page, the
7 determination of that initial Pictured Cliffs
8 production rate, what we've stated here and how
9 we plan to verify that number is upon completion
10 of the Pictured Cliffs Formation, get a flow test
11 and determine what that rate is and then ratio
12 that to the combined flow rates from the tests of
13 the Pictured Cliffs and the Fruitland Coal. So,
14 therefore, we have some fraction of that total
15 rate that we know is Pictured Cliffs production
16 and then apply that back into that original
17 equation.

18 Q. Mr. Daves, is this the allocation
19 formula and the equation that you testified to
20 with regards to the Aztec 700 well?

21 A. Yes, sir, it's exactly the same with
22 the exception that the decline is slightly
23 different in this area.

24 Q. To refresh the Examiner's recollection
25 about the Aztec 700, how does that case differ

1 from the one you're presenting today?

2 A. As far as the overall scheme of it,
3 it's extremely similar with the exception that in
4 this area we've identified that the decline is
5 slightly different.

6 Q. The requested difference is that the
7 Aztec 700 was the recompletion of an existing
8 well, if I remember correctly?

9 A. No. It's a new drill well.

10 Q. The Aztec 700 was a new drill well just
11 as this one was?

12 A. Right.

13 MR. KELLAHIN: For reference, Mr.
14 Catanach, the Aztec 700 was Case 10496, Order No.
15 R-9693. And here's a copy of that order.

16 Q. In your opinion, Mr. Daves, will
17 approval of this application be in the best
18 interests of conservation, the prevention of
19 waste, and the protection of correlative rights?

20 A. Yes, sir.

21 Q. Will it afford Southland Royalty
22 Company and the various interest owners and
23 production in these two pools the opportunity to
24 share in hydrocarbons that they might not
25 otherwise share in?

1 A. Yes, sir.

2 MR. KELLAHIN: That concludes my
3 examination of Mr. Daves. We move the
4 introduction of his exhibit, I believe it's 6,
5 yes, sir, Exhibit 6.

6 EXAMINER CATANACH: Exhibit 6 will be
7 admitted as evidence.

8 EXAMINATION

9 BY EXAMINER CATANACH:

10 Q. Mr. Daves, why was the Hanks well No. 1
11 not able to recover the PC reserves in the
12 northwest quarter?

13 A. What we've identified through
14 evaluation of that wellbore is that it was an
15 openhole completion stimulated with
16 nitroglycerin, completed in approximately 1949.
17 And that over time the wellbore itself, the
18 openhole portion collapsed, and therefore it was
19 not capable of production at that point.

20 Q. Is it not possible or not feasible to
21 reenter the Hanks No. 1 at this time?

22 A. No. It's been permanently plugged and
23 abandoned.

24 Q. Despite the fact that it's plugged and
25 abandoned, could you not reenter it and

1 recomplete it?

2 A. It would probably be cheaper to go and
3 drill a new well. The mechanical problems
4 associated with trying to reenter that wellbore
5 would be significant.

6 Q. The 500 million cubic feet that you
7 determined to be the reserves under the northwest
8 quarter --

9 A. Uh-huh.

10 Q. -- is that recoverable or is that --

11 A. That's remaining recoverable reserves.

12 Q. Remaining recoverable. The decline for
13 the Pictured Cliffs in the area, do the wells
14 exhibit similar decline rates?

15 A. On an average they do. Some of them
16 are greater, some of them are less.

17 Q. Do you know what the range is?

18 A. Anywhere from approximately 15 percent
19 to 3.3 percent. And the well, the Hanks No. 1,
20 its decline was 8 percent, and that was over,
21 from the life of the well, from 1949 until the
22 hole collapsed.

23 Q. So the decline rate that you're going
24 to use, was that just based on the Hanks well, or
25 did you average?

1 A. It was an average of all of them. The
2 average was 8.1 percent, and the Hanks itself was
3 8 percent.

4 Q. Now, you say you averaged all of the
5 offset Pictured Cliffs wells?

6 A. Right.

7 Q. Do you have an estimate on what your
8 initial production rates might be from the two
9 zones?

10 A. We've estimated the Fruitland Coal rate
11 to be approximately 300 Mcf a day and the
12 Pictured Cliffs rate, approximately 120 Mcf a
13 day.

14 Q. Do you have any information regarding
15 reservoir pressure in the two different zones?

16 A. Yes, sir, I do. The Fruitland Coal
17 pressure in the area is approximately 320 PSI,
18 and the Pictured Cliffs in the area is
19 approximately 240 PSI.

20 Q. Does the Fruitland contain water in
21 this area --

22 A. No, sir.

23 Q. -- the Fruitland Formation?

24 A. It's a dry producer.

25 Q. Has Southland actually drilled the

1 Aztec 700?

2 A. No, sir. It's on the schedule for
3 October, I do believe.

4 Q. Okay. Mr. Daves, how long will the
5 Pictured Cliffs be tested initially?

6 A. Approximately 24 hours.

7 Q. You feel like 24 hours is enough to
8 give you a good indication of what that's going
9 to produce?

10 A. Yes, sir, that and the establishment
11 that we do have offset production between the
12 two, we should be able to come up with a
13 reasonable rate.

14 Q. Do you have an opinion as to whether an
15 additional well in -- or whether the proposed
16 well in the northwest quarter will effectively
17 drain the west half of the section?

18 A. For a Fruitland Coal well?

19 Q. Right.

20 A. Yes, sir, I think it would.

21 Q. Do you think it would be less effective
22 than a well that was located in the southwest
23 quarter?

24 A. It would be equivalent. I don't see
25 that there would be a big difference.

1 EXAMINER CATANACH: That's all I have
2 of the witness.

3 Mr. Cooter?

4 MR. COOTER: May I ask just a couple
5 questions?

6 EXAMINER CATANACH: Yes, sir.

7 EXAMINATION

8 BY MR. COOTER:

9 Q. Mr. Daves, would you turn once again to
10 your Exhibit No. 3. My copy doesn't have those
11 penciled figures, and there are a couple of them
12 I didn't get. The Pictured Cliffs well in the
13 northeast quarter of 12, what's the cumulative
14 production there?

15 A. 1,502,000 -- or 1,000,502,000. 1.5
16 Bcf.

17 Q. The southeast quarter is 185 million?

18 A. Yes, sir.

19 Q. And then the southwest quarter, your
20 well there?

21 A. 750 million.

22 Q. I think I got everything else except
23 the Hanks No. 1 well in the northwest quarter
24 prior to it being plugged and abandoned.

25 A. 591 million.

1 MR. COOTER: Thank you sir.

2 MR. KELLAHIN: Call at this time our
3 geologic witness, Ms. Stewart-Hicks.

4 **MS. STEWART-HICKS**

5 Having been duly sworn upon her oath, was
6 examined and testified as follows:

7 EXAMINATION

8 BY MR. KELLAHIN:

9 Q. Ms. Stewart-Hicks, have you on prior
10 occasions testified before the Division as a
11 petroleum geologist?

12 A. Yes, I have.

13 Q. You testified in the hearing on the
14 Aztec 700 well, did you not?

15 A. That's correct.

16 Q. Pursuant to your employment as a
17 geologist, have you also made a geologic study of
18 the Pictured Cliffs and the coal gas pool with
19 regards to this particular application?

20 A. Yes, I have.

21 MR. KELLAHIN: We tender Mrs.
22 Stewart-Hicks as an expert petroleum geologist.

23 EXAMINER CATANACH: She is so
24 qualified.

25 Q. (BY MR. KELLAHIN) Let me have you turn

1 with me to your geologic displays. I believe
2 they start behind exhibit tab No. 5.

3 A. Uh-huh.

4 Q. The first display is what?

5 A. First map is a Pictured Cliffs net pay
6 isopach map. Net pay is defined as resistivity
7 greater than the shale baseline and with an SP
8 deflection of greater than 10 millivolts
9 deflection. The contour interval is 10 feet.
10 But the map is colored in 20-foot increments.

11 You can see the Hanks 501 in the
12 northwest quarter of Section 12 of 27 and 10, and
13 it's identified by a star.

14 Q. When Mr. Daves does his engineering
15 evaluation and determines that he believes
16 there's remaining PC reserves to be produced by
17 another Pictured Cliffs well in the northwest
18 quarter, what is it that you can do to either
19 validate or confirm his engineering conclusions?

20 A. I can supply him net pay figures which
21 will help him determine volumetric calculations.

22 Q. When you look at the Pictured Cliffs
23 net pay isopach, does it surprise you that he has
24 concluded that there are additional reserves in
25 the northwest quarter to be developed and

1 produced?

2 A. No, it does not surprise me.

3 Q. When you look at the four quarter
4 sections within Section 12, which is the best of
5 the four quarter sections for Pictured Cliffs
6 production?

7 A. The northwest quarter is the best.

8 Q. And how do you conclude that?

9 A. It has the thickest net pay. You can
10 see that you can anticipate over 70 feet of net
11 pay in the northwest quarter as contrasted to 50
12 feet in the south half or 60 feet in the
13 northeast quarter.

14 Q. For Pictured Cliffs productions, is
15 there a relationship in productivity and net pay
16 thickness in the reservoir?

17 A. Generally the thicker the net pay, the
18 more reserves that you can recover.

19 Q. Let's turn now to your investigation of
20 the Fruitland Coal. What have you displayed on
21 the next exhibit following the isopach on the
22 Pictured Cliffs?

23 A. This map is a net clean coal isopach of
24 the Fruitland Coal Formation. Contour interval
25 is 5 feet. The coloring is in 15-foot

1 increments. Again you can see the spacing units
2 for the Hanks No. 501 is highlighted in the west
3 half of Section 12, 27 and 10. And the Hanks 501
4 is identified by the star.

5 If you look at that map, you can see
6 that the west half is fairly equivalent
7 thicknesses from 35 feet up to 40 feet.

8 Q. From a geologic point of view, does it
9 compromise the Fruitland Coal production by
10 locating the well in the northwest quarter as
11 opposed to the southwest quarter?

12 A. No. Both locations look equal.

13 Q. And geologically what do you gain with
14 the well located in the northwest quarter that
15 you don't achieve with the well in the southwest
16 quarter?

17 A. You gain the ability to exploit the
18 remaining Pictured Cliffs reserves.

19 Q. You've included a structure map on the
20 base of the Fruitland Coal as the last display in
21 this exhibit section.

22 A. Yes.

23 Q. Identify and describe that for us.

24 A. This is a structure map on the base of
25 the Fruitland Coal Formation. Contour interval

1 is 20 feet, as you can see, the Hanks 501
2 identified by a star in the northwest of 12,
3 Section 12. You can see that structural strike
4 runs from northwest to southeast. And the
5 formation dips to the northeast at approximately
6 50 to 85 feet per mile. In other words, it's
7 quite flat.

8 Q. Structure is not then going to be an
9 important component in determining a geologic
10 conclusion for the optimum location?

11 A. That is correct.

12 MR. KELLAHIN: Let's go to the
13 cross-section, which is in the pocket at the back
14 of the exhibit book, Mr. Examiner. It is marked
15 as Exhibit No. 7, if you'll unfold the
16 cross-section for us.

17 Q. Before you discuss the cross-section
18 itself, explain to us the orientation of that
19 cross-section and tell us why you have selected
20 that particular orientation.

21 A. The locator map, on the right side of
22 the map, shows the cross-section orientation. It
23 runs from southwest to northeast. It runs from
24 -- it's a dip section. And the reason that I ran
25 that was to see if there was any difference in

1 Fruitland Coal continuity, any changes in the
2 Fruitland Coal, and also to show the changing
3 thickness of net pay in the Pictured Cliffs.

4 Q. All right. Let's read across the
5 cross-section and locate where your proposed well
6 is going to be as we would find it on this
7 cross-section.

8 A. The proposed well is -- the twin well
9 is the Southland Royalty Company Hanks No. 13-E,
10 which is the fourth well from the right on the
11 cross-section. The Hanks 501 will be situated
12 between that proposed twin well, the Hanks No.
13 13-E and the R. B. Sullivan Gas Unit No. 3.

14 Q. You've also shown on here the Pictured
15 Cliffs information. What does this cross-section
16 tell you about the Pictured Cliffs?

17 A. What this cross-section tells me is
18 that you're thin in the southwest portion; you're
19 thick in the center of the cross-section; then
20 you're thin again to the northeast. You can see
21 in the twin well to our proposed Hanks 501 that
22 we have a nice, thick Pictured Cliffs section.

23 Q. What is your ultimate conclusion then
24 about the entire geologic investigation you have
25 made concerning this application?

1 A. I conclude that the Pictured Cliffs has
2 remaining recoverable reserves in the northwest
3 quarter and that the best way to exploit those
4 reserves is to drill a commingled Fruitland
5 Coal-Pictured Cliffs well.

6 MR. KELLAHIN: That concludes my
7 examination of Mrs. Stewart-Hicks. We move the
8 introduction of her exhibits. They are marked in
9 the exhibit book as Exhibit 5 and Exhibit 7.

10 EXAMINER CATANACH: Exhibit 5 and --

11 MR. KELLAHIN: 7.

12 EXAMINER CATANACH: Exhibits 5 and 7
13 will be admitted as evidence.

14 EXAMINER CATANACH: I have no questions
15 of the witness.

16 Mr. Cooter, anything of this witness?

17 MR. COOTER: No, sir.

18 MR. KELLAHIN: That concludes our
19 presentation in this case, Mr. Examiner.

20 EXAMINER CATANACH: Mr. Kellahin, do
21 you propose to try and find out what's going on
22 in terms of the agreement after the hearing?

23 MR. KELLAHIN: Yes, sir. I'll make
24 that investigation. And then I'll discuss this
25 matter with Mr. Cooter, and then we'll advise you

1 of the outcome of that discussion. I don't know
2 that it affects you taking this under advisement
3 and concluding the matter.

4 The evidence has been presented, and I
5 see no reason to leave the record open. I think
6 we can simply supplement that by the results of
7 what Mr. Cooter and I determine is the final
8 position of the parties on this issue.

9 EXAMINER CATANACH: If you provide me
10 with that information, I'll appreciate it.

11 MR. KELLAHIN: All right, sir.

12 EXAMINER CATANACH: There being nothing
13 further, Case 10531 will be taken under
14 advisement.

15 [And the proceedings were concluded.]

16

17

18

19

20

21

22

23

24

25

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 10531,
heard by me on August 20 1995.
David R. Catanch, Examiner
Oil Conservation Division


CERTIFICATE OF REPORTER

STATE OF NEW MEXICO)
) ss.
COUNTY OF SANTA FE)

I, Debbie Vestal, Certified Shorthand Reporter and Notary Public, HEREBY CERTIFY that the foregoing transcript of proceedings before the Oil Conservation Division was reported by me; that I caused my notes to be transcribed under my personal supervision; and that the foregoing is a true and accurate record of the proceedings.

I FURTHER CERTIFY that I am not a relative or employee of any of the parties or attorneys involved in this matter and that I have no personal interest in the final disposition of this matter.

WITNESS MY HAND AND SEAL AUGUST 24,
1992.



DEBBIE VESTAL, RPR
NEW MEXICO CSR NO. 3