

NEW MEXICO OIL CONSERVATION DIVISION

STATE OF NEW MEXICO

CASE NO. 10534

IN THE MATTER OF:

The Application of American Hunter
Exploration, Ltd., for a pressure
maintenance project, Rio Arriba
County, New Mexico.

BEFORE:

DAVID R. CATANACH

Hearing Examiner

State Land Office Building

August 20, 1992

REPORTED BY:

DEBBIE VESTAL
Certified Shorthand Reporter
for the State of New Mexico

ORIGINAL

A P P E A R A N C E S

FOR THE NEW MEXICO OIL CONSERVATION DIVISION:

ROBERT G. STOVALL, ESQ.

General Counsel
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.

Post Office Box 2208

Santa Fe, New Mexico 87504-2208

BY: **WILLIAM F. CARR, ESQ.**

FOR BENSON-MONTIN-GREER DRILLING CORPORATION:

KELLAHIN & KELLAHIN

Post Office Box 2265

Santa Fe, New Mexico 87504-2265

BY: **W. THOMAS KELLAHIN, ESQ.**

FOR BILLCO ENERGY, INC.:

HINKLE, COX, EATON, COFFIELD & HENSLEY

Post Office Box 2068

Santa Fe, New Mexico 87504-2068

BY: **JAMES BRUCE, ESQ.**

I N D E X

Page Number

Appearances

2

WITNESSES FOR THE APPLICANT:

1. JIM ARTINDALE

Examination by Mr. Carr

6

Examination by Mr. Kellahin

20

Examination by Mr. Bruce

42

Examination by Mr. Stovall

49

Examination by Examiner Catanach

52

Certificate of Reporter

82

E X H I B I T S

Page Identified

Exhibit No. 1

9

Exhibit No. 2

17

1 EXAMINER CATANACH: At this time we'll
2 call Case 10534, application of American Hunter
3 Exploration, Limited, for a pressure maintenance
4 project, Rio Arriba County, New Mexico.

5 Appearances in this case?

6 MR. CARR: May it please the Examiner,
7 my name is William F. Carr with the law firm,
8 Campbell, Carr, Berge & Sheridan of Santa Fe. We
9 represent American Hunter Exploration, Limited.
10 And I have one witness.

11 EXAMINER CATANACH: Other appearances?

12 MR. KELLAHIN: Mr. Examiner, I'm Tom
13 Kellahin, of the Santa Fe law firm of Kellahin &
14 Kellahin, appearing on behalf of
15 Benson-Montin-Greer Drilling Corporation. I have
16 no witnesses today.

17 MR. BRUCE: Mr. Examiner, my name is
18 Jim Bruce, from the Hinkle law firm of Santa Fe,
19 representing Billco Energy, Inc.

20 EXAMINER CATANACH: I'm sorry, Mr.
21 Bruce?

22 MR. BRUCE: Representing Billco,
23 B-i-l-l-c-o, Energy, Inc., of Farmington. I have
24 no witnesses.

25 EXAMINER CATANACH: Any other

1 appearances?

2 Could I get the witness to stand and be
3 sworn in.

4 **JIM ARTINDALE**

5 Having been duly sworn upon his oath, was
6 examined and testified as follows:

7 EXAMINATION

8 BY MR. CARR:

9 Q. Would you state your full name for the
10 record?

11 A. Jim Artindale.

12 Q. Where do you reside?

13 A. Calgary, Canada.

14 Q. By whom are you employed and in what
15 capacity?

16 A. I'm employed by Canadian Hunter
17 Exploration, Limited, in the capacity of Chief
18 Exploitation Engineer.

19 Q. What is the relationship between
20 Canadian Hunter and American Hunter, the
21 applicant in this case?

22 A. American Hunter is a wholly-owned
23 subsidiary of Canadian Hunter.

24 Q. Have you previously testified before
25 the New Mexico Oil Conservation Division?

1 A. I have.

2 Q. At the time of that testimony, were
3 your credentials as a petroleum engineer accepted
4 and made a matter of record?

5 A. They were.

6 Q. Are you familiar with the application
7 filed in this case on behalf of American Hunter?

8 A. Yes, I am.

9 Q. Are you familiar with the Jicarilla 2-A
10 well, which is the subject of this application?

11 A. Yes, I am.

12 MR. CARR: Are the witness'
13 qualifications acceptable?

14 EXAMINER CATANACH: They are.

15 Q. (BY MR. CARR) Mr. Artindale, would you
16 briefly state what American Hunter seeks with
17 this application?

18 A. Yes. American Hunter seeks to have
19 approval granted for a pressure maintenance
20 scheme within the Niobrara member of the Mancos
21 Formation whereby gas that's produced by the
22 Jicarilla 3-F-1 location would be reinjected into
23 the same formation at a location at the Jicarilla
24 2-A-1.

25 Q. I think initially it would be helpful,

1 Mr. Artindale, if you could review for Mr.
2 Catanach the background events which have
3 resulted in this matter coming for hearing
4 today.

5 A. Okay. American Hunter drilled the
6 Jicarilla 3-F well, and it was completed in
7 February of 1992. On May 1, 1992, a request was
8 sent to the BLM for exemption or basically
9 allowing us to continue to flare the gas from the
10 3-F location. A copy of this request was sent to
11 Mr. Ernie Busch of the New Mexico Oil
12 Conservation Division.

13 At the request of the BLM, another
14 letter was sent May 13, 1992, providing
15 additional information. Once again a copy was
16 sent to Mr. Ernie Busch.

17 On June 3, 1992, American Hunter met
18 with Mr. Al Greer to discuss the possibility of
19 building gas pipeline into the area. On June 4,
20 the following day, we met with the BLM with Mr.
21 Duane Spencer, who informed us that the BLM was
22 granting American Hunter a six-month testing
23 period for the 3-F well, which would end in
24 September 1992 to allow us to gain additional
25 information and review the situation of flaring

1 or conserving the gas.

2 On Friday, June 5, 1992, the OCD
3 informed us that the request was really denied on
4 their part and that the well was in a state of
5 overproduction relative to the gas venting
6 order. It was recommended that we continue this
7 matter at a hearing, which we did so on July 9 of
8 this year.

9 At that hearing American Hunter
10 proposed, first of all, a reservoir testing
11 program, which we had already discussed with the
12 Aztec office of the OCD. We also recommended
13 that we be allowed to inject the solution gas
14 from 3-F into our 2-A location.

15 It was discussed and determined that an
16 additional hearing would be in order to provide
17 the details of such an injection scheme.

18 Q. That's why we're here today?

19 A. Yes, it is.

20 Q. Could you identify what has been marked
21 as American Hunter Exhibit No. 1?

22 A. Yes. Exhibit No. 1 is a copy of Form
23 C-108, in which we've provided all the necessary
24 backup information for this application.

25 Q. What zone do you propose to inject

1 into?

2 A. We propose to inject into the Niobrara
3 member of the Mancos Formation.

4 Q. This is not an expansion of an existing
5 project; this is a one-well injection program?

6 A. That's right.

7 Q. And what is the present status of the
8 Jicarilla 2-A well?

9 A. The Jicarilla 2-A well is suspended at
10 the moment. The pumping rods have been removed,
11 and currently a GRC pressure gauge is in the
12 well.

13 Q. Let's go to the plat in Exhibit No. 1,
14 which I believe is the last page of page 32, of
15 that exhibit, and I'd ask you to refer to that
16 plat and review it for the Examiner.

17 A. In compliance with the requirements of
18 the C-108 form, we prepared this plat which shows
19 primarily two areas. The first area is called
20 the area of review, and that equates to a
21 half-mile radius around the proposed injection
22 location.

23 Q. Now, in doing that, what did you use,
24 since this is a horizontal well, to determine the
25 center of the area of review?

1 A. Okay. The area of review is in the
2 center of the plat. And it basically is a circle
3 of a half-mile radius surrounding the Jicarilla
4 2-A location.

5 As you mentioned, the Jicarilla 2-A
6 location is a horizontal well. The surface
7 location is the hollow dot; whereas, the bottom
8 of the horizontal section or the end of the
9 horizontal section is the little "x."

10 The well was completed with the
11 pre-perforated liner. However, when we drilled
12 it, there was a specific fracture system that we
13 encountered. And that fracture system is where
14 we referenced our half-mile radius because that's
15 where the injection would go into. That's marked
16 by another little, I guess, like a little cross.

17 Q. In essence what you're doing is
18 centering the area of review on the completion
19 interval on the wellbore?

20 A. That's right.

21 Q. Let's go ahead and review the other
22 information on this exhibit.

23 A. This plat provides the lessors and
24 lessees for all the sections. It also references
25 all the wells within the area. The wells are

1 clearly visible, and each well has a number
2 associated with it. The numbers reference the
3 scout ticket completion cards, which are
4 contained within the package for easy reference.

5 We've also marked a two-mile radius
6 surrounding our injection well. And there are
7 approximately twelve wells that are contained
8 within that radius. The only well that's
9 contained within the area, within the radius of
10 area of review is our injection well.

11 Q. There are no other wells in the area of
12 review that penetrate the injection zone?

13 A. No, there are not.

14 Q. And there are no plugged and abandoned
15 wells within that area of review?

16 A. There are not.

17 Q. Could you refer to the tabular data on
18 the Jicarilla 2-A well, which I believe is set
19 forth on page 5 of the enclosed material, and
20 also to the schematic drawing on page 10 of the
21 exhibit, and using these review for Mr. Catanach
22 the present and proposed completions.

23 A. Yes. It would be somewhat easier to
24 follow on the completion diagram. We've also
25 summarized a significant amount of this data on

1 pages 2 and 3 as well.

2 The Jicarilla 2-A well was completed as
3 a horizontal well in attempt to find production,
4 commercial production in the Niobrara zone. The
5 surface casing or the surface hole was drilled
6 and casing was set at a depth of 250 feet.

7 We then drilled with a 7-5/8 -- I'm
8 sorry. We then drilled down and set 7-5/8 inch
9 casing just at the top of the producing
10 interval. And we set that casing at a depth of
11 4569 feet measured depth.

12 We then ran a liner. And, as I
13 mentioned, it was a pre-perforated liner,
14 although the perforations were selected to
15 basically run across the fractured interval. The
16 top of the liner is at 4218 feet measured depth,
17 and the bottom of the liner is at 6625 feet
18 measured depth.

19 The proposed injection interval is
20 identified as an interval where we lost returns
21 while drilling. And it's identified as being
22 between 5324 feet in measured depth to 6632 feet
23 measured depth.

24 The casing, production casing was
25 cemented. It was cemented from the bottom all

1 the way up to, I believe, 330 feet. And the
2 cement was determined to be in place by using a
3 temperature log. As I mentioned, the liner is
4 not cemented.

5 Q. Now, what is required to convert this
6 well for injection?

7 A. Very little is required. All the
8 formations other than the Niobrara have been
9 cemented through the production casing. The only
10 zone that is open is in fact the Niobrara
11 member.

12 Likely what we will do is rerun the
13 tubing at a slightly higher depth than we had for
14 the well when it was producing. And we'll likely
15 set either a tubing anchor or a packer just to
16 stabilize the tubing in place.

17 Because we are injecting solution gas,
18 there's no corrosive of component to it. It is
19 natural to the formation, and we foresee very
20 little problem with injecting into it.

21 Q. So basically you're going to be
22 injecting into the liner; is that correct?

23 A. That's right.

24 Q. And the zone that you'll be injecting
25 in is well segregated because of the cement and

1 the packer is used primarily to stabilize the
2 tubing?

3 A. That's right.

4 Q. Exactly what is the footage interval,
5 the measured depth, if you could give me that on
6 the injection interval?

7 A. Okay. The injection interval that we
8 believe the gas will be going into is in fact the
9 natural fractures which occur within the
10 formation. And they occur between 5324 feet and
11 6632 feet measured depth.

12 Q. What is the source of the gas that
13 you're going to be injecting in this well?

14 A. The gas comes from the 3-F location,
15 which is completed in the same zone, but
16 down-dip. And its solution gas will be
17 reinjected into this location.

18 Q. And you're not proposing to inject gas
19 from any other source?

20 A. No, we're not.

21 Q. What is presently being done with this
22 gas?

23 A. Gas is presently being flared during
24 the time that we're now producing in accordance
25 with our pressure test injection.

1 Q. You do have the Division approval to
2 continue this during the testing period?

3 A. Yes, we do.

4 Q. What volumes are you proposing to
5 inject?

6 A. The average daily rate will likely be
7 between 600 and 800 Mcf per day. And there may
8 be rates as high as 1500 Mcf per day, but that is
9 just a maximum rate that we're designed for. The
10 average rates will be likely be between 600 and
11 800 Mcf per day.

12 Q. This is a closed system, of course?

13 A. Yes.

14 Q. And what pressures do you anticipate
15 you would be utilizing?

16 A. Injection pressures likely would be
17 between 600 and 800 pounds PSI.

18 Q. What maximum pressure would you request
19 be authorized for injection?

20 A. Maximum injection pressure would likely
21 be no more than 1200 pounds. We base that on an
22 analysis of what the original pressure in this
23 formation was at this depth, and it was
24 approximately 1200 pounds.

25 Q. So injection at this pressure would not

1 damage the reservoir?

2 A. No. The reservoir is extremely
3 under-pressured, and we wouldn't even be close to
4 a fracture pressure.

5 Q. Mr. Artindale, are there freshwater
6 zones in the area?

7 A. We are not familiar with any freshwater
8 zones.

9 Q. Are there any freshwater wells in the
10 area?

11 A. We are not aware of any freshwater
12 wells in the area.

13 Q. Is Exhibit No. 2 a copy of an affidavit
14 confirming that notice of this application has
15 been provided to all offsetting owners and the
16 surface owners required by OCD rule?

17 A. Yes, it is.

18 Q. Are there similar applications in the
19 area which have been granted for the injection of
20 gas into this formation?

21 A. Yes. In fact, the pool that we are
22 producing from, the West Puerto Chiquito Pool, in
23 fact has approvals for gas injection south of us
24 in the West Puerto Chiquito Field where
25 Benson-Montin-Greer in fact has been injecting

1 gas since the late 60s in a similar situation.

2 Q. How long will it take you to actually
3 convert this well to injection?

4 A. We anticipate that if we expedite the
5 matter it will take between 45 and 60 days to
6 build the pipeline, bring in the compressor, and
7 get all the necessary approvals --

8 Q. And --

9 A. -- facilitate it.

10 Q. Do you therefore request that the
11 application be expedited?

12 A. Yes, very much so. We are currently in
13 the midst of an injection -- an interference test
14 between the 3-F and the 2-A location. And this
15 test will probably continue for another 30 to 40
16 days after which this well would again be in a
17 penalty situation due to the gas flaring. And we
18 would like to remedy that situation as quickly as
19 possible.

20 Also within three months the conditions
21 out there could change fairly significantly in
22 terms of operating.

23 Q. In essence you're racing with the end
24 of the test period to get this thing going; is
25 that right?

1 A. Yes.

2 Q. Could you just summarize for Mr.
3 Catanach what it is that American Hunter hopes to
4 achieve by being able to inject this gas in terms
5 of pressure maintenance?

6 A. Yes. By reinjecting the solution gas
7 into the 2-A location, we hope really to achieve
8 two things: Number one, we will be conserving
9 the gas; but number two, we also will be
10 partially maintaining the pressure within the
11 reservoir.

12 And it has been well documented that
13 this reservoir is in fact a gravity drainage
14 system and pressure maintenance can be extremely
15 beneficial in such a system. And so that's
16 really our intent.

17 Q. In your opinion will approval of this
18 application prevent the waste of hydrocarbons?

19 A. Yes, it would.

20 Q. In fact, it will be reinjected instead
21 of flooded?

22 A. Yes. That's right.

23 Q. Will approval of this application in
24 your opinion have an adverse impact on the
25 correlative rights of any other interest owner in

1 the area?

2 A. We do not believe it would, no.

3 Q. Were Exhibits 1 and 2 prepared by you
4 or compiled at your direction?

5 A. Yes, they were.

6 MR. CARR: At this time, Mr. Catanach,
7 I move the admission of American Hunter Exhibits
8 1 and 2.

9 EXAMINER CATANACH: Exhibits 1 and 2
10 will be admitted as evidence.

11 MR. CARR: That concludes my direct
12 examination of Mr. Artindale.

13 EXAMINER CATANACH: Mr. Kellahin.

14 MR. KELLAHIN: Thank you, Mr.
15 Examiner.

16 EXAMINATION

17 BY MR. KELLAHIN:

18 Q. Mr. Artindale, if you'll, please, help
19 refresh my memory about the current status of the
20 test, am I correct in now remembering that
21 American Hunter and Mr. Greer finally worked out
22 a mutually agreeable test procedure to arrive at
23 reservoir data for the test?

24 A. Yes.

25 Q. And you're continuing on with that

1 test?

2 A. Yes, we are.

3 Q. The area affected by the gas injection,
4 concerns me, Mr. Artindale. And when you look at
5 page 32, perhaps this display can help me
6 understand the arrangement. You have not yet
7 proposed a unit agreement to then have a unit
8 area in which to contain the pressure maintenance
9 project, have you, sir?

10 A. No, we have not.

11 Q. Without the unit area, you propose to
12 operate this as a leasehold pressure maintenance
13 project?

14 A. Yes.

15 Q. When we look at the lease that is
16 affected in Section 2 where the injection well
17 is, what additional acreage is included in that
18 same lease?

19 A. I guess --

20 Q. Did I confuse you?

21 A. Yeah.

22 MR. STOVALL: Let me back up, Mr.
23 Kellahin and help lay a little groundwork so I
24 understand. Is this a leasehold relationship or
25 a joint venture relationship with the tribe? Is

1 it a lessor/lessee or both?

2 THE WITNESS: It really is a joint
3 venture. In fact, the solution gas from the 3-F
4 well or the -- in fact the whole well is a
5 jointly-owned well with the tribe. And in fact
6 we have certainly a -- kind of almost like a
7 partnership with the tribe versus it strictly
8 just being a lease.

9 It's somewhat unusual in the
10 arrangement. That's why it's sort of difficult
11 to put a normal --

12 MR. STOVALL: That's why I ask. The
13 context of Mr. Kellahin's question is in the more
14 traditional leasehold rights interest. My
15 understanding is that you are joint venturing out
16 there in some arrangement?

17 THE WITNESS: Yes, very much.

18 Q. (BY MR. KELLAHIN) All right. Let's
19 pursue that. When you look at Section 2, the
20 joint venture arrangement among those owners
21 participating with a well in the injection well
22 location, are those the same interest owners that
23 would participate for Section 11 to the south, or
24 do we now have different parties involved?

25 A. Okay. Let me explain somewhat the

1 ownership. I believe all the acreage on this
2 plat is owned by the Jicarilla Tribe.

3 Q. Okay.

4 A. We have an arrangement with the tribe
5 that covers Sections 2 and 3. I believe Section
6 11, there is no current arrangement with any
7 other party with the tribe.

8 Q. That would be acreage outside then the
9 joint venture arrangement.

10 A. Yes, it is outside the joint venture
11 arrangement. And the Jicarilla Tribe has given
12 us written consent to this proposal.

13 Q. Okay. When we look over in Section 10,
14 that looks like Jicarilla tribal lands, but now
15 you have Benson, Montin, and Greer as the
16 operator?

17 A. That's true.

18 Q. And that is not part of this joint
19 venture?

20 A. No, it's not.

21 Q. And when we go to Sections 9, 15, and
22 16, those are also Benton, Montin, and Greer
23 operated sections that are not part of the joint
24 venture arrangement?

25 A. That's true.

1 Q. Okay.

2 MR. STOVALL: If I might interrupt
3 again, just to build the information, do you know
4 if those are traditional leasehold relationships
5 between BMG and --

6 THE WITNESS: Yes. I think they're
7 traditional leases.

8 Q. (BY MR. KELLAHIN) With regards to this
9 joint venture arrangement, are there overriding
10 interests that we would see applied to the joint
11 venture properties that we might be more familiar
12 with in other transactions with oil and gas
13 properties?

14 MR. STOVALL: You mean overriding
15 royalty, Tom? .

16 MR. KELLAHIN: That's what I asked.

17 Q. Are there other royalty interests,
18 overriding royalty interests that affects the
19 tribal interest?

20 A. Well, I certainly don't feel at liberty
21 to explain the details of the deal between the
22 tribe --

23 Q. I'm not asking you to do that. I want
24 you to identify, are there parties that are
25 different?

1 A. No. I think all the parties are in
2 fact similar between the two sections, between
3 Section 2 and Section 3, yes. The same parties
4 are in both sections.

5 Q. Okay. Do you have plans to unitize
6 this area for pressure maintenance purposes?

7 A. We are certainly not opposed to the
8 concept of unitization. We are somewhat at a
9 dilemma because many of the sections that are
10 owned by, for example, Benson-Montin-Greer are
11 under contention right now with the tribe. In
12 fact, the tribe has put a moratorium on
13 development in this area. And so really there
14 just is no opportunity to consider unitization at
15 this time.

16 However, when the legal aspects of the
17 ownership are clarified, we're certainly not
18 opposed to reviewing that possibility.

19 Q. So your proposal to the Division is to
20 obtain approval for the pressure maintenance
21 project independent of unitization for pressure
22 maintenance?

23 A. Yes.

24 Q. When we look at the injection
25 interval --

1 A. Uh-huh.

2 Q. -- is this injection interval now the
3 total Niobrara member of the Mancos, or have you
4 subdivided the injection to isolate a different
5 portion of the Niobrara?

6 A. No, we have not segregated the
7 wellbore. As I said, it's an openhole liner.
8 The injection will be going into the fractures
9 that we encountered in the Niobrara.

10 Q. I don't remember from the last
11 presentation whether that horizontal, that
12 lateral exposes the A, B, and C of the Niobrara
13 in that wellbore.

14 A. It would expose primarily what you
15 would term the A.

16 Q. Okay. You mentioned a while ago that
17 this area had the opportunity for gravity
18 drainage again. The gas injection had the
19 potential effect to assist the gravity drainage
20 in production of oil in the Niobrara for you?

21 A. Yes. As a matter of fact, we just
22 completed a research of literature on gravity
23 drainage systems throughout the US. And in
24 pretty well every case, they recommended that you
25 should at least consider in the early stages the

1 concept of gas reinjection.

2 Now, our intent is by doing this we are
3 going to be conserving the gas. We are going to
4 be implementing a technically sound pressure
5 maintenance scheme. And that within
6 approximately a year to year-and-a-half, we will
7 review the whole situation. We'll be able to
8 review the concept of unitization. We will have
9 drilled several more wells in the area. And
10 we'll just evaluate the advantages of continuing
11 with the injection schemes.

12 Q. Okay. Again, I didn't bring your
13 structure map from last time, but how does your
14 structural relationship compare to what Benson,
15 Montin, and Greer has in the Canado Hito Unit?

16 A. In fact the structural environment here
17 is substantially more favorable than the Canado
18 Hito Unit for gravity drainage and for gas
19 injection. The dip at the West Puerto Chiquito
20 Field is, I think, up to 4 degrees. Here it's up
21 to 20 degrees. And the concept of gravity
22 drainage is directly dependent on the depth of
23 the formation.

24 So we have a much more intense gravity
25 mechanism working for you. Plus that gravity

1 mechanism also helps to segregate the gas from
2 the well when you inject. So it's much more
3 effective to inject gas in that environment than
4 in an environment that has less dip.

5 Q. Can you give us a visual picture that
6 we can overlay on Exhibit 2 to show us where
7 Sections 9 and 10 are structurally in relation to
8 the injection well and the producing well?

9 A. Well, I can somewhat relate it. I
10 assume most of you are familiar that we are
11 dealing with a steeply dipping monocline.
12 Between Section 2 and Section 3, as I mentioned,
13 it has a dip of around 20 degrees. And the
14 vertical displacement is approximately 2,000 feet
15 between those two wells.

16 Once you move further west from Section
17 3, you basically reach the base of the monocline,
18 and the dip changes to around 2 to 3 degrees.

19 Q. Show me where I am with Section 10.

20 A. Just a second. I need to -- well, I'm
21 trying to recall the structure map. But I
22 believe Section 10 would be in similar, somewhat
23 similar placement as section -- the well in
24 Section 3 potentially. Of course we do not have
25 any seismic data through that area, so it could

1 move either way.

2 And Section 9 would be likely at --
3 along the base of the monocline.

4 Q. I am interested in how far the gas
5 injected into the injector well is going to
6 migrate or invade throughout the reservoir and
7 what potential risk Mr. Greer's sections have
8 with regards to that gas injection.

9 A. Okay. Well, let me relate it, first of
10 all, to the wells in West Puerto Chiquito. When
11 Benson-Montin-Greer proposed their scheme, they
12 have a series of injectors on the up-dip portion
13 of the reservoir, and then their producers are of
14 course further west along the down-dip side.

15 They have approximately 1400 feet of
16 vertical displacement over six miles. We have
17 substantially more vertical displacement over one
18 mile. Benson-Montin-Greer have never recorded
19 any concept of a gas override problem.

20 And, in fact, when you look at the
21 calculations for gas segregation within the
22 literature, there really should be no reason to
23 believe that you would have gas override at the
24 allowable that the state has set of 800 barrels a
25 day.

1 From our situation, in fact, it's much
2 more positive because you have steeper dip, more
3 vertical displacement. We just see no technical
4 merit in considering that there would be a
5 problem with gas override in this situation. It
6 just almost is technically impossible.

7 We made the calculation as to what the
8 maximum oil rate could be before you would have
9 gas override. And it's substantially higher than
10 the current allowable.

11 Q. Perhaps you have -- part of your
12 reservoir study has already addressed my concern
13 and you may be able to share it with me. What
14 I'm interested in knowing is whether or not as
15 part of this study you have made the calculations
16 to determine the gas advancement, if you will,
17 through the reservoir and how long it may take
18 under this operation to advance into Section 10.

19 Is that the kind of thing you've
20 studied?

21 A. Yes. There are two things that will
22 cause gas to migrate down. One is gas override,
23 and that results when you produce the oil
24 producer too hard and it basically draws the gas
25 towards the oil well. That calculation is fairly

1 well established in literature. It's fairly
2 easy. The difficult part with that is coming up
3 with the reservoir parameters.

4 We used fairly conservative reservoir
5 parameters and determined that the maximum oil
6 rate that we could withstand would be thousands
7 of barrels of oil per day.

8 Q. Without going through the tedium of
9 having you tell me all the calculations, do you
10 simply have those calculations and information
11 that you could supply me?

12 A. Well, I haven't brought the details of
13 calculations. I could quote the paper from which
14 it's very simple to make. One of the two
15 references, one is a paper called "Gas Injection
16 for Up-Structure Drainage." It's by George Combs
17 and Knezek, both with Esso or Humble. And it was
18 published in March of 1971. And it was published
19 in the Journal of Petroleum Technology. And the
20 appropriate page is page 362, Equation 1.

21 The equation relates to the maximum
22 segregation rate. And the equation basically
23 calculates the maximum rate which you could
24 produce oil. And it's a direct function of
25 permeability, the reservoir length, which we

1 assumed in our case would be one mile, which is
2 the spacing.

3 The permeability we assumed to be 1
4 darcy, which is extremely conservative based on
5 all the measurements in the whole field.
6 Reservoir thickness, which we assumed to be very
7 conservative as well, we used 10 feet. The
8 reservoir angle, which we used as 20 degrees.
9 And then it's a function of the specific gravity,
10 viscosity, and the formation volume factor for
11 oil, all of which are fairly readily available.

12 As I said, when you go through the
13 calculation, you look at rates of between 3- and
14 5,000 barrels of oil per day before you'd have a
15 segregation problem.

16 Q. Let me interrupt you, because I don't
17 want to belabor this. If counsel will agree to
18 supply me with the parameters and the
19 calculations as they apply to your project, it
20 will go a long way to satisfy my client that he's
21 not at risk in Sections 9 or 10 with the
22 reinjection of gas?

23 A. Well, I could also quote your client's
24 own information that he provided for his
25 reservoir that suggested rates.

1 Q. I don't want to argue with you, but he
2 was doing it in a unit context. And I'm
3 concerned about the close proximity of this
4 property to your injection well.

5 A. Yeah. Well, I'm just saying, from a
6 calculation point of view, it doesn't really
7 matter whether you're a unit or a non-unit; it's
8 just a technical calculation.

9 The information that he used was for a
10 reservoir that has a dip of approximately
11 one-fifth our dip. So ours has a much more
12 favorable circumstance. The relative closeness
13 really has nothing to do with the segregation
14 component. It's the technical parameters of the
15 reservoir that are important here.

16 Q. Let me ask you some of those
17 parameters. Have you made an estimate of what
18 you consider to be the important volume of the
19 reservoir?

20 A. You're mixing apples and oranges here.
21 As I mentioned, there are two components. The
22 first one is segregation or gas override. This
23 calculation determines that there's no reason to
24 believe that there will be gas override due to
25 producing the 3-F well.

1 The second component that you have to
2 be concerned about with gas migration is in fact
3 the volume of oil or reserves in place between
4 the 3-F and the 2-A location.

5 Q. It's that part of this discussion that
6 I want to pursue with you.

7 A. Yes. Now, that really has very little
8 bearing on whether or not you should implement a
9 gas injection scheme. If anything, the gas
10 injection scheme will help to increase the
11 recovery of fluid between those two points.

12 If you are not to inject gas, you still
13 are dealing with the same amount of reserves.
14 And you will get gas breakout, but it will just
15 be due to solution gas breakout.

16 Q. Can you answer my question? How many
17 barrels of oil per acre do you estimate for your
18 area?

19 A. Right now we're in a testing program
20 that may be able to give us some of that
21 information. However, there is information
22 available directly to the north of us and
23 directly to the south of us. It has been
24 estimated that there are anywhere between 300,000
25 and 500,000 barrels of recoverable reserves per

1 section. That's based on work primarily that was
2 done by people like Benson-Montin-Greer, Mallon,
3 Sun, and companies that were involved to the
4 south.

5 In a fractured reservoir it's
6 impossible to accurately determine the amounts of
7 reserves in place. And it's particularly very
8 difficult when you're dealing with a gravity
9 drainage system because it's very difficult to
10 apply material balance calculations to the
11 system.

12 Q. Do you have a range of the percentage
13 of displacement of oil that might occur in your
14 area due to gravity drainage?

15 A. I don't understand the question.

16 Q. As the gas is injected up-structure and
17 the oil is produced down-structure, there is
18 going to be, I assume, an engineering calculation
19 you can make to show the percentage of
20 displacement you're going to have in the
21 reservoir that is directly attributable to the
22 gravity in the reservoir.

23 A. Well, in fact, the displacement due to
24 gravity will occur with or without gas
25 reinjection. That's a gravity drainage. All

1 you're doing is assisting the effectiveness of
2 the gravity drainage system by gas reinjection.

3 Q. Separate and apart from the gas
4 injection, what is your opinion of the percentage
5 of oil that will be displaced by gravity?

6 A. We really have no information that
7 would give us a number. Again, I can just
8 reference you to what other people have cited
9 down south. But it may or may not be applicable
10 where we're producing from. For example, you
11 know, it was mentioned that the recovery from the
12 Boulder Field was up to 500,000 barrels per
13 section.

14 Well, in the Boulder Field they didn't
15 implement a gas injection scheme; whereas, in the
16 West Puerto Chiquito Field, where Al Greer has
17 proposed values of approximately 300,000 barrels
18 per section, they did implement a gas injection
19 scheme that seemed to be very effective.

20 So it's quite a broad range. And to be
21 honest with you, we just do not have the
22 reservoir information to give you a qualitative
23 number.

24 Q. If Mr. Greer was to tell you that 60
25 percent is the displacement efficiency of oil,

1 then you have no way to determine whether or not
2 that's a reasonable number to use in the
3 calculation?

4 A. Well, that -- again, I'd have to
5 question Mr. Greer. Is that based on a gas
6 injection scheme being in place?

7 Q. No. Just straight gravity drainage.

8 A. Yeah. That number, certainly you could
9 not agree to that number without more information
10 because there are many gravity drainage schemes
11 throughout the continent of which have had better
12 and of which have had lower due to a myriad of
13 reasons so --

14 Q. What is the volume of gas that you
15 propose to inject into this 2-A injector?

16 A. Okay. Well, we plan to inject just the
17 produced solution gas from the 3-F location. So,
18 in fact, it will not provide full voidage
19 replacement. In fact, it will be extremely
20 partial voidage replacement.

21 Another scheme is identical to the
22 concept that Benson-Montin-Greer implemented to
23 the south. It should have a very positive impact
24 on the reservoir; at least that's what we
25 anticipate. There should be really negligible or

1 no adverse effects caused by the reinjection of
2 solution gas from a well produced down-dip.

3 Now, the actual rates we anticipate
4 will be 600 and 800 Mcf per day injected into the
5 reservoir.

6 Q. I guess, under the allowable that
7 applies to the pool, it could be a maximum of
8 1600 Mcf a day?

9 A. It could be.

10 Q. But your production is coming from the
11 3-F well, and it does not produce that volume of
12 gas?

13 A. We are not producing that well at that
14 rate.

15 Q. Okay. Does is it have the ability to
16 produce at maximum allowable?

17 A. In the short-term it probably could,
18 but it would be probably very short-term. And at
19 this point we do not want to produce it that hard
20 for a couple of reasons. Number one, we have
21 been in an overproduced state and we want to try
22 to retire that overproduction.

23 But also we are, you know, and as we
24 expressed at the last hearing, at this point in
25 time, you have to be concerned about the

1 production of large quantities of gas from the
2 reservoir. See, the opposite concept to gas
3 reinjection is just flaring or the sale of gas
4 from the reservoir.

5 And most experts in gravity drainage
6 would suggest that you should be very careful
7 about doing that before you understand the
8 reservoir. Because in a gravity drainage system,
9 you do not want to have solution gas breakout
10 happening at large levels early on in the
11 project.

12 Q. Have you selected the parameters and
13 made the calculations to determine the rate at
14 which you would move oil through the reservoir
15 with the gas injection?

16 A. Well, again, it's strictly a function
17 of how much oil exists up-dip of the 3-F well.
18 And in a fractured reservoir there is just
19 absolutely no way of qualitatively assessing that
20 other than possibly through an interference test
21 which we are proposing.

22 Now, an interference test is a good way
23 of quantifying that. However, because of the
24 amount of free gas that's already present in the
25 2-A location, we're not sure how good the data

1 we'll able to retrieve is that will give us that
2 qualitative number.

3 So, number one, it's very difficult to
4 quantify the amount of oil in place. And
5 producers that have been operating here for years
6 have not been able to do an accurate job of
7 that.

8 Also, number two, we are faced with the
9 fact that we have production up-dip from us. The
10 Boulder Field has produced several million
11 barrels. East Puerto Chiquito has produced 4
12 million barrels. We're not sure of the effects
13 of drainage and depletion on our properties from
14 those sources.

15 Certainly the 2-A well and the 3-F well
16 were depleted in pressure when we drilled them.
17 So it's very difficult to quantify the amount of
18 oil.

19 Q. Okay. So I don't misunderstand you, we
20 don't yet have data, and perhaps the interference
21 data will help generate that information, but we
22 don't now have data to determine what the effect
23 will be of gas injection in moving oil up to and
24 through Sections 10 or 9; you just don't know?

25 A. No. I think you're trying to put some

1 words in my mouth. In a sense we know
2 technically it's very sound and prudent to
3 reinject gas up-dip in a gravity drainage
4 system.

5 The migration of oil down-dip,
6 regardless of the volumes -- we do not know
7 quantitatively the volumes between the 3-F
8 location and the 2-A location, but then I would
9 contend that if you took the 200 wells in the
10 Mancos zone that, you know, surround us, the
11 operators wouldn't know how much oil exists
12 between very many of those wells either.

13 It's a difficult calculation. You just
14 cannot acquire the necessary information very
15 easily to quantify that.

16 However, it really doesn't have any
17 technical bearing on whether or not it's prudent
18 to inject gas up-dip. Because if you don't
19 inject gas, you still have the same amount of
20 oil, and it will still -- not only will it -- if
21 you produce it at the same rate, come down just
22 as quickly, but you will of solution gas breakout
23 which will or certainly could significantly
24 impede your recovery in the reservoir.

25 Q. To go back, do you have the parameters

1 and the calculations to share with me on the gas
2 breakthrough analysis?

3 A. Well, we certainly have the
4 calculations. The parameters, I've already
5 mentioned the ones we've used. They are not
6 quantitative. We've used very conservative
7 numbers to be on the safe side. Certainly the
8 permeability is much greater than 1 darcy.

9 You -- really Mr. Greer should assess
10 the calculation himself. I provided the numbers
11 that we've used. The calculations are very
12 simple. There are certainly more complicated
13 calculations you can get into. And I could give
14 references for those. However, this reservoir
15 even to the South and West Puerto Chiquito does
16 not have the information that would enable you to
17 make those calculations.

18 MR. KELLAHIN: No further questions.

19 EXAMINER CATANACH: Mr. Bruce.

20 EXAMINATION

21 BY MR. BRUCE:

22 Q. Mr. Artindale, looking at your map
23 again, as to probably rehashing something of what
24 Mr. Kellahin went over, looking at Section 4,
25 there's a dotted line down the middle. What does

1 that provide?

2 A. Oh, okay, Section 4, in our agreement
3 with the tribe, there are different terms between
4 the odd and the even sections. When we drilled
5 the well in Section 3 horizontally, we were
6 anticipating in fact going across the --
7 potentially going across the section line. So we
8 created a 640-acre spacing unit that combined the
9 west half of Section 3 and the east half of
10 Section 4.

11 Now, that was through a pooling
12 arrangement with the tribe. So that's what those
13 dots refer to.

14 Q. Then looking at Section 3, up in the
15 west half it says, "American Hunter, 100 percent
16 joint venture." Over in the east half it says,
17 "Jicarilla, 100 percent joint venture." Are
18 those different?

19 A. Again, it comes to the deals of our
20 agreement. The odd sections, there is a
21 different agreement than in the even sections.
22 And in the odd sections, in essence, the tribe is
23 the owner and operator of the odd sections. But
24 through our agreement we have the opportunity to
25 drill in those lands under different terms, but

1 they still hold the rights to them.

2 Q. Okay. And then going over to the east,
3 Section 6, there's the American Hunter 6-A well?

4 A. Yes.

5 Q. Is that a proposed well or --

6 A. No. As the symbol would suggest, it's
7 been drilled and abandoned.

8 Q. Okay. And then the wells to the north,
9 the Billco wells, and I guess there's some
10 Jicarilla wells there, are those all Mancos oil
11 producers?

12 A. Yes, they are or were. "Were" is the
13 operative word.

14 Q. What was the pressure in the 3-F well
15 when you drilled it?

16 A. I believe it was just under 1400
17 pounds.

18 Q. Is that what the current pressure is?

19 A. Well, we took a fluid level just prior
20 to implementing this interference test and it
21 appeared that the reservoir pressure was
22 approximately the same. However, we have bombs
23 in the hole now, and once they're retrieved,
24 we'll have a much better handle on the current
25 reservoir pressure.

1 Q. It may have decreased some, but it's
2 still fairly close to 1400; is that what you're
3 saying?

4 A. Well, the fluid level suggested that,
5 but we'll have to wait until the bombs are
6 retrieved to get an accurate measurement.

7 Q. What was your pressure in the 2-A well?

8 A. Well, in the 2-A well we've had two
9 pressure measurements. The first was a buildup
10 after we swabbed the well. Unfortunately the
11 pressure was not very stable, and it required,
12 you know, significant interpretation. We've
13 interpreted that the original pressure could have
14 been anywhere from 550 pounds to 600 pounds from
15 that measurement. As I said, it was very
16 difficult to interpret.

17 We then ran a static pressure on the
18 2-A well on June 27, 1992. And when you
19 calibrate this pressure to the midpoint of
20 perforations, it's approximately 500 pounds.

21 Again, we have pressure bombs in the
22 2-A well right now that should give us a more
23 accurate reading from that well.

24 Q. Do you have any idea what the pressures
25 are in the wells to the north, the Billco and

1 Jicarilla wells?

2 A. Well, we certainly do not have what I
3 call current pressures. However, we do have an
4 historic, the historic pressures that were
5 recorded.

6 Q. What are those or what are the latest
7 figures you have on those wells?

8 A. Well, based on information that, I
9 believe, has been previously presented to this
10 Commission, there was included in that a
11 bottomhole pressure versus cumulative production
12 for the Boulder Field. And it suggested that, at
13 a datum depth of approximately 3300 feet, the
14 bottomhole pressure had been reduced to below 200
15 pounds.

16 Now, we've talked with operators in the
17 area. Unfortunately they did not have current
18 pressures. Some of them believed that there
19 might have been some recharge since this time
20 where the pressure has gone up. But they were
21 not able to provide any data that could clarify
22 that.

23 Q. Would you be surprised that the
24 pressure was 300 or 400 pounds in those wells?

25 A. No, I wouldn't be surprised. Three

1 hundred wouldn't surprise me. Four hundred still
2 wouldn't surprise me. No.

3 Q. And those same wells to the north,
4 looking at your 2-A well, are those wells
5 down-dip from the 2-A well? Are they
6 structurally higher or lower?

7 A. In fact the Boulder wells kind of
8 represent both down-dip and up-dip locations. I
9 might just want to clarify that, if you'll look
10 at the plat, there was in fact a gas cap well
11 drilled into the Boulder Field when it was being
12 developed in the southeast quadrant of Section
13 26. That is up-dip, slightly up-dip from our
14 well. But there are wells drilled in Section 27
15 which are in fact down-dip from our well.

16 I believe, and we've looked at the
17 production from the Boulder Field, I believe that
18 it's producing in the order of under 600 barrels
19 of oil per month from all the existing wells. So
20 very much in a stripper stage. In fact, the
21 wells in Section 26, I believe, are producing,
22 you know, a couple barrels per day on average.

23 Q. Okay. And I believe at this point
24 there's no gas gathering system in this area; is
25 that correct?

1 A. That's right. In fact all the gas from
2 the Boulder Field has been flared. And in fact,
3 looking at the current data, it would suggest
4 that even at the low oil rates, the GORs are
5 extremely high in the Boulder Field.

6 Q. If you have an approximate number, what
7 are the GORs?

8 A. Well, I'm just looking at the data that
9 is available from the state for April 1992. And
10 it suggests the GORs are between 2500 and 3000.
11 I don't know again how accurately they're
12 measuring the gas rates out there.

13 Q. That's fine.

14 A. But once again that is, I guess,
15 encouraging to us in the sense that we're
16 injecting or we propose to be injecting gas in an
17 up-dip point, which is structurally on strike
18 with an existing gas cap. So that's kind of the
19 best of both worlds.

20 Q. American Hunter, do they have any plans
21 for a gas gathering system in the area?

22 A. We have reviewed the concept of gas
23 gathering system. Our basic philosophy right now
24 is that within the next 12 months, 12 to 18
25 months, we do not want to commit to producing

1 large amounts of gas from this zone.

2 If in fact the analogs and the
3 technology and the literature is correct, we may
4 very well want to conserve as much gas as
5 possible into the reservoir to optimize the
6 recovery and performance of the gravity drainage
7 system.

8 However, we, I guess, are willing to
9 say that within a year to a year-and-a-half after
10 we've drilled more wells, got more information,
11 we would then review the whole situation and
12 reevaluate the feasibility of continuing with a
13 gas injection scheme or, you know, building
14 pipelines to produce the gas.

15 MR. BRUCE; Thank you. I don't have
16 anything further, Mr. Examiner.

17 MR. STOVALL: Mr. Examiner, I just want
18 to show that all of us attorneys can go out and
19 try to get our own little information for
20 whatever reasons. And I've got a couple of
21 questions which are just for me really for
22 interest.

23 EXAMINATION

24 BY MR. STOVALL:

25 Q. The strike, the dip is mostly

1 east-west; right?

2 A. It is.

3 Q. What's the orientation of that
4 structure? I mean, if I lay my hand on it and
5 try to make -- do you have -- I mean, just
6 roughly.

7 A. Primarily north-south.

8 Q. Primarily north-south?

9 A. In this plat primarily north-south.
10 There is a little jog in it to the south part,
11 but primarily north-south.

12 Q. And you said in the East Puerto
13 Chiquito it's a much flatter dip?

14 A. No, not East Puerto.

15 Q. I mean West Puerto Chiquito. Excuse
16 me.

17 A. See, it dips steeply and then, at what
18 we call the base of the monocline, it flattens
19 right out. The West Puerto Chiquito, the unit
20 has the base of the monocline running through
21 it. So part of it is on the steeply dipping
22 part, and part of it is on the base.

23 However, there the monocline when it
24 runs through the West Puerto Chiquito, it is not
25 nearly as steep as it is here.

1 Q. And it runs on up into the Boulder. So
2 if I laid it down, it would be somewhere -- come
3 down to roughly 25, 26 on the north part of this
4 plat or right in that boundary area, the east
5 boundary?

6 A. What would come down there?

7 Q. The monocline.

8 A. Well, the monocline goes across the
9 whole plat.

10 Q. I mean the strike of it, the length of
11 it.

12 A. Oh, from the 2-A location? I guess,
13 I'm somewhat confused.

14 Q. Okay. The steepest part of your
15 monocline --

16 A. Yes. It would run from -- let's, first
17 of all, look at our lands from, say, Section 6
18 where our 6-A well is all the way down to 3-F
19 well, that's extremely steep.

20 Q. Right.

21 A. Then it flattens off west of the 3-F
22 well. Now, the Boulder would be very similar
23 from Section 25. It would be very steep all the
24 way down to, I guess, somewhere in Sections 27 or
25 28.

1 Q. Okay. And then if you went down to the
2 south, say, section -- what is that? Right
3 between the East Puerto Chiquito-West Puerto
4 Chiquito boundary?

5 A. Say Sections 10, 11, in there?

6 Q. Yes.

7 A. Again, there's no wells for well
8 control, but we'd estimate that the monocline is
9 very steep between Section 7 all the way down to,
10 say, Section 10 and then it would flatten off in
11 Section 9.

12 Q. 18 to 15?

13 A. Yes.

14 Q. I was just trying to get an orientation
15 of it.

16 A. Approximately that's true.

17 MR. STOVALL: Okay. That's all I
18 have. I got all my information. I like building
19 structure maps by oral examination.

20 MR. CARR: You should be happy.

21 MR. STOVALL: I'll try cross-sections
22 next.

23 EXAMINATION

24 BY EXAMINER CATANACH:

25 Q. Mr. Artindale, you mentioned that you

1 had already been to hearing, I believe, before
2 Examiner Stogner on a reservoir testing request?

3 A. Well, the hearing actually centered
4 around several concepts. Primarily it was
5 centered on our request to get exemption to
6 continue to flare or vent the gas that we're
7 producing from the 3-F.

8 Now, as a component of that, we
9 discussed this interference test. Also we
10 discussed the concept of what to do with the
11 overproduction that had accumulated between the
12 time we had made application to the BLM and the
13 hearing. So that was the general discussion with
14 the hearing. It was basically --

15 MR. STOVALL: Let's clarify that, if I
16 may. The actual hearing itself had to do with
17 the nonproductive disposition of gas produced
18 from the 3-F well and how much you'd be allowed
19 to produce and whether you'd have to get back in
20 balance for any overproduction from venting or
21 flaring. And that was the subject of the
22 hearing.

23 Concurrent with that you had developed
24 a testing procedure in conjunction with the Aztec
25 office --

1 THE WITNESS: That's right.

2 MR. STOVALL: -- with some input from
3 Mr. Greer. And part of the process was you
4 wanted to be able to flare gas to determine all
5 sorts of things to make some of these decisions
6 about reinjection, selling, et cetera, et cetera;
7 is that correct?

8 But the order itself coming from that
9 hearing and the subject matter at the hearing did
10 not address a specific testing procedure. It
11 only addressed --

12 THE WITNESS: That's right.

13 MR. STOVALL: -- how volumes of gas that
14 were vented or flared would be handled or
15 permitted; is that correct?

16 THE WITNESS; I believe that's true.
17 We did not discuss the details of the --

18 MR. KELLAHIN: Is there an order?

19 MR. CARR: I don't believe there's an
20 order entered on that.

21 MR. STOVALL: I thought maybe that had
22 come out while I was gone. Sorry about that.
23 That was the discussion, and that was the subject
24 of the hearing; is that correct?

25 MR. CARR: We're assuming you're going

1 to order us back here today at some point in
2 time.

3 MR. STOVALL: Let me say I don't know
4 what's in it because it doesn't exist.

5 THE WITNESS: What's resolved, as I
6 said, we got approval from the BLM to continue to
7 flare gas for a period while we gain more
8 information. We then worked out an arrangement
9 with the Aztec office where we began quite an
10 involved interference test between these two
11 wells. We also worked with Mr. Al Greer to come
12 up with kind of an acceptable program between all
13 the parties. That was done.

14 The test is now being conducted. We
15 are hoping it will provide us some quality
16 reservoir information. But the presence of a
17 large gas saturation around the 2-A well, you
18 know, puts technical risk on the test. But we
19 are willing to spend the money in at least an
20 attempt to acquire it.

21 Also at the hearing we discussed the
22 concept that we were willing to proceed with the
23 gas injection plan; that at this time we do not
24 feel it's prudent or technically wise to spend
25 the money to bring in a pipeline and then produce

1 a large volume of gas from this reservoir.

2 In fact, based on negotiations we had
3 with Benson-Montin-Greer, with Northwest, with
4 other pipelines in the area, it looked that we
5 would have to guarantee at least 1 billion cubic
6 feet of gas to be produced from the reservoir to
7 justify bringing a line in. Just technically
8 that was not acceptable at this point in time.

9 So we believed that it would be
10 prudent, technically beneficial, and economically
11 reasonable to go ahead with a gas injection
12 scheme whereby we would take the 3-F solution gas
13 and reinject it into the 2-A well.

14 Now, we have not received, as was
15 mentioned, an order relative to the first
16 hearing, so we're at somewhat of a loss as to the
17 conclusions that were reached. We're proceeding
18 with the test. We really don't know where the
19 overproduction stands. And we're proceeding with
20 the gas injection scheme at this hearing.

21 Q. (BY EXAMINER CATANACH) Does the
22 outcome of the original case have any effect on
23 this case in your opinion?

24 A. No. And, in fact, what this would
25 really help to do was that the whole problem

1 arose out of the concept of venting gas. We've
2 never produced above the GOR level. We've never
3 produced, you know, on a monthly average over the
4 oil allowable.

5 It really was a case that we were
6 venting the gas contrary to the state provision.
7 This would enable us to really comply with --

8 MR. STOVALL: What you anticipate might
9 come out in the issues that were raised in the
10 order; is that fair to say? I think, again
11 knowing now that I know there's no order out, is
12 it not fair to say one of the issues was, one of
13 requests you had was for a temporary permission
14 to vent the gas to conduct these tests?

15 THE WITNESS: Yes.

16 MR. STOVALL: One of the issues that
17 came out -- and this is in response to the issue,
18 not to the order -- is that at some point in the
19 fairly near future the OCD was probably going to
20 require a beneficial disposition of the gas
21 either through reinjection --

22 THE WITNESS: In fact they've already
23 requested that by applying an overproduction
24 penalty against our well for venting.

25 MR. STOVALL: Okay. Back to that

1 thing. The overproduction is based upon the
2 Aztec District Office --

3 THE WITNESS: Right.

4 MR. STOVALL: -- limitation of 30 Mcf a
5 day vented.

6 THE WITNESS: They're basically saying
7 you have to do something with the gas as we'll
8 continue to penalize you. You have to conserve
9 the gas. Technically it's not reasonable at this
10 point in time to build a pipeline, both from a
11 reservoir point of view and an economic point of
12 view.

13 The only effective option to comply
14 with the venting order and to do what's prudent
15 is to reinject gas. It's technically sound, and
16 it's economically feasible.

17 MR. STOVALL: If I hear you correctly,
18 we're here today because of a response from OCD
19 requirements. But what you're seeking today
20 makes good sense from a reservoir standpoint; is
21 that correct?

22 THE WITNESS: Yes. Now, as I
23 mentioned, we would certainly monitor this
24 system, monitor the performance of this system,
25 both at the 2-A location and the 3-F location.

1 And within a 12-month period we will reassess the
2 validity of the system. So --

3 MR. STOVALL: One of the issues you
4 will be concerned with, but which does not affect
5 this order, is what level of overproduction you
6 may be at as a result of venting based upon the
7 order that Examiner Stogner will enter from the
8 other hearing?

9 THE WITNESS: Yes. That's very
10 critical to us. Because, of course, if the order
11 is that you will shut down and make up that
12 overproduction now, we of course wouldn't go
13 ahead with the gas injection scheme until we had
14 made up the overproduction.

15 One thing I do want to, I guess,
16 address here is that we would -- you know, we are
17 within the West Puerto Chiquito Pool. They are
18 under -- they have similar operations going on
19 for gas reinjection. We are very much
20 comfortable with the rules set out for them, and
21 we would certainly like to have similar rules.

22 Number one, we will comply with the
23 allowable. We will injection gas. The GOR
24 calculations should be a net GOR calculation. So
25 any gas injected should not count towards a GOR

1 base, and that's standard for the southern pool.

2 So we're really asking for a standard
3 approval here for a scheme that's been tried and
4 true several times to the south.

5 MR. STOVALL: The only other thing, and
6 you mentioned something with respect to the
7 relationship between this hearing and the
8 previous hearing before Examiner Stogner, is the
9 only thing I heard you say is even if you get
10 approval here, if Examiner Stogner says shut it
11 in until you catch up --

12 THE WITNESS: We would wait. Exactly.
13 If we have approval, we would just time it
14 accordingly.

15 MR. STOVALL: But you would go ahead
16 and get the approval at this time?

17 THE WITNESS: Oh, it's very important
18 because the hearing in July really dealt with the
19 issue up to today. This hearing deals with how
20 we deal with this gas from this day forward. If
21 we cannot inject the gas, basically the only
22 other option economically is to continue to flare
23 it.

24 And so, you know, this body would then
25 have to decide whether that's what they really

1 want to do. Because it's not really economic to
2 build a million dollar pipeline for a single well
3 at this point in time, even with these existing
4 wells around it. And technically you just don't
5 want to do that; you want to inject gas.

6 MR. STOVALL: From a business
7 decision-making standpoint, and again this is
8 more for my own information, if this results in
9 an order approving your injection, am I correct
10 in assuming it would be helpful to you to have an
11 order out from the other case to help you make
12 the decision with respect to timing?

13 THE WITNESS: Oh, very much. In
14 essence, in order to implement this, we have to
15 expedite the whole process. As locals you're
16 very familiar with the winter conditions up in
17 the Jicarilla tribal lands. It's extremely
18 difficult and extremely costly to operate.

19 MR. STOVALL: Something like northern
20 Alberta; right?

21 THE WITNESS: Yes. And so we really
22 need to do this in the next three months. And we
23 very much want to do it concurrently with the
24 final portion of the test. So that when the test
25 is done everything is clear, and we can begin our

1 injection under an approved basis. And then this
2 whole concept of conserving gas has been dealt
3 with in an efficient matter.

4 So I think it's important that
5 everything be sort of tied up in a neat,
6 little --

7 MR. STOVALL: I will say to you now, in
8 the context of this case, that I will discuss
9 with Examiner Stogner, and I'm sure Catanach and
10 Stogner will get together to see that you get two
11 orders that will allow you to make a decision.
12 Regardless of what they are, at least you'll have
13 the whole thing tied up.

14 THE WITNESS: We certainly would
15 encourage the OCD to try to expedite that process
16 of getting an order out. I know you're very full
17 and have a lot of cases, but, you know, it's a
18 very significant issue to us.

19 EXAMINER CATANACH: Are you done?

20 MR. STOVALL: I was just trying to
21 clear a few things up for you, Dave.

22 Q. (BY EXAMINER CATANACH) Mr. Artindale,
23 generally when we approve a pressure maintenance
24 from a waterflood project, there is a project
25 area associated with the order. Do you have any

1 recommendations as to maybe what that project
2 area should initially consist of?

3 A. Yes, I would recommend that it would
4 consist of Sections 2 and 3.

5 MR. STOVALL: Would that include the
6 east half of 4 just because it's part of the
7 proration for 3-F?

8 THE WITNESS: Sure. You could
9 certainly include that.

10 I assume your project units include the
11 producing wells as well?

12 EXAMINER CATANACH: Right.

13 THE WITNESS: Yeah. You could include
14 Sections 2, 3, and 4 or the east is half of 4.

15 Q. (BY EXAMINER CATANACH) What is the
16 fracture orientation direction in this area?

17 A. Well, in fact there are two fracture
18 directions. One runs north-south, and the other
19 a conjugate set runs east-west. The gravity
20 drainage system depends on the east-west set.

21 Just like most fracture systems, you
22 have two sets, a primary set and then a conjugate
23 set.

24 Q. The primary set being the east-west?

25 A. No. The north-south.

1 Q. North-south?

2 A. It's primary in the sense that it has
3 extremely good permeabilities, but from our
4 information, contains a lot less storage. Your
5 primary storage fractures are in fact the
6 conjugate set, running east-west.

7 Q. Injection into the No. 2 well will have
8 some effect on the wells to the north?

9 A. They likely will, yes. They -- in
10 fact, it may help to maintain pressure in that
11 environment. Certainly it should not affect
12 their production because they're already
13 producing under a gas cap and highly gas
14 saturated conditions.

15 And also our data suggests that their
16 reservoir pressure is between 200 and 300 pounds
17 currently. Our initial pressure was 500, so
18 there wasn't absolute direct communication
19 already. They produced 2 million barrels out of
20 there and dropped our reservoir pressure down to
21 theirs. So we know that it's not going to an
22 instantaneous direct communication, which also is
23 very favorable.

24 As I mentioned, all the wells in
25 Section 26 basically are stripper wells. Gas

1 injection into Section 2 should be nothing other
2 than beneficial to them.

3 MR. STOVALL: That would raise a
4 question. First prefaced, I understand you to
5 say that you don't think there will be a very
6 significant volume of gas going up that way; is
7 that correct?

8 THE WITNESS: Well, it's all a function
9 of the communication. But we're putting in 800
10 Mcf a day of gas. That's not a large volume of
11 gas. Don't forget it will disburse in all
12 directions.

13 MR. STOVALL: Correct.

14 THE WITNESS: It will primarily try to
15 maintain the pressure from the number one source
16 of production. They're producing 30 barrels of
17 oil per day north. We're producing 600 barrels
18 of oil per day west. Its primary reaction will
19 be to maintain pressure in an east-west
20 direction. There's no pressure driving going,
21 you know, north-south.

22 MR. STOVALL: Where I'm going with
23 that, I mean, those wells, to the extent they're
24 producing gas, they're venting it; right? So if
25 there were a line of communication, one of the

1 concerns would be that you would put gas in that
2 we're not permitting you to vent from the 3-F.
3 If it were too open, you would send it north and
4 let them vent it from the Boulder Field.

5 THE WITNESS: That's why I say it's
6 kind of a guess in both senses that you do not
7 have, you know, great communication between the
8 two sources. You can just tell by the initial
9 pressures. We almost have twice the pressure
10 that they have.

11 MR. STOVALL: So what you're saying is
12 that the issue I've raised is not a practical
13 concern because you don't think there will be
14 enough gas going there to --

15 THE WITNESS: Well, you have to
16 understand 800 Mcf a day of gas -- let's assume
17 that it would go north.

18 MR. STOVALL: I understand all that.
19 You don't have to repeat that.

20 THE WITNESS: It has to disburse,
21 number one. So it's not as if it goes to one
22 well and --

23 MR. STOVALL: I understand.

24 Q. (BY EXAMINER CATANACH) You've stated
25 at this point in time you can't assess what

1 increase in recovery will result from gas
2 reinjection?

3 A. Well, all we can do is share with you
4 what people have found in other cases and other
5 circumstances. You know, it's difficult to put a
6 number on it. I could put a number on it and be
7 very convincing, but I'm just telling you that
8 you truly can't quantify numbers at this point in
9 time.

10 Every bit of information we've been
11 able to assess or read in literature or other
12 case studies suggests that it will be beneficial
13 in some fashion. We don't know if it's going to
14 be widely beneficial or only marginally
15 beneficial.

16 Q. Let me talk a little bit about the
17 mechanical configuration of your well.

18 A. Yes.

19 Q. You've got an uncemented liner in 4218
20 down to total depth, or close to total depth.

21 A. Yes.

22 Q. Do you have any -- do you anticipate
23 the gas going anywhere but in the Niobrara
24 Formation?

25 A. No, we do not. Of course, this well

1 was producing gas prior to injection, and we
2 certainly didn't sense any loss of gas to any
3 other formation while it was producing. The
4 whole production liner has been cemented. The
5 only zone that the liner is completed into is in
6 fact the Niobrara zone. So it really doesn't
7 have any access to another zone other than the
8 Niobrara.

9 Q. I'm sorry. You said the production
10 liner?

11 A. No. The production casing --

12 Q. Okay.

13 A. -- that's been set to 4569 feet, has
14 been cemented to almost all the way to the
15 surface, to 330 feet from surface, so just about
16 80 feet from the bottom of the surface casing.
17 So in fact all the other zones have been cemented
18 in this wellbore.

19 The liner, which is not cemented, is
20 only set through the Niobrara zone. So the whole
21 liner is within the zone of application here.

22 Q. Right. But in fact the annulus is open
23 up to a depth of 4218?

24 A. The annulus between the production
25 casing and the liner, yes. But the production

1 casing itself is cemented, so the annular area
2 is. But that would be the same annular area
3 that's available in the tubing; right?

4 Q. Uh-huh. The liner, right out of the
5 shoe of the production casing, are those
6 perforations at that point?

7 A. Yes, they are. And the reason we like
8 to perforate near there is for workover reasons.
9 If you ever want to circulate out anything or any
10 material that might be in the well, you like to
11 have perforations close to the top of the liner.
12 Again, those perforations are within the Niobrara
13 Formation.

14 Q. Where would the top of the Niobrara
15 Formation occur in this well?

16 A. Well, we have an attachment in here
17 that shows all the tops. And the top of the
18 Niobrara A at measured depth is 4348. The top of
19 the Mancos is 3155. In fact, the top of the
20 Niobrara A that we quoted, 4348, is the top of
21 the Niobrara A sand interval, not truly the top
22 of the Niobrara A.

23 So a good reference point is in fact
24 the Mancos top, which is 3155. And then you have
25 what's called the gray zone, and that goes down

1 from there. And somewhere between 3155 and 4348
2 is in fact the true top of the Niobrara A zone.
3 So we're well within the Niobrara and Mancos
4 members.

5 Q. Okay. Injection wells in the state are
6 required to pass mechanical integrity tests. How
7 would you propose to demonstrate mechanical
8 integrity on this well?

9 A. Well, I guess there are several ways.
10 One way we could propose, which in fact we have
11 already done, is that we ran a short-term
12 injectivity test into this well to determine the
13 permeability of the 2-A so that we know we could
14 inject into it. And that test certainly
15 established that we had mechanical integrity in
16 the wellbore, unless the state has some other
17 suggestions which we would certainly be open to.

18 You know, one thing that's very
19 difficult with this is that you're dealing with
20 fractures that are extremely permeable. As soon
21 as you apply any sort of pressure, you basically
22 get a vacuum condition and the fluid is gone into
23 the fractures. So it's very difficult to ever
24 challenge the true integrity of the wellbore
25 because the system is just so permeable.

1 Q. And the way the well is set up now, you
2 can't run the traditional pressure test on the
3 liner?

4 A. No. There's no way that you could run
5 a pressure test on the liner. You could
6 conceivably run a pressure test on the casing,
7 but I don't know why that would be necessary.

8 Q. Where do you intend to set the packer?

9 A. The tubing packer?

10 Q. Uh-huh.

11 A. That hasn't really been determined
12 yet. Likely we would set it, you know, right
13 near the end of the production casing, around the
14 bend. There's no real need to set it into the
15 liner as we have. We did that for production
16 pumping purposes.

17 You know, I don't know exactly -- oh,
18 that would be the end of the tubing. I'm not
19 sure exactly where we would set the packer.
20 Likely the packer would be set more uphole out of
21 the severity of the horizontal bend. But the end
22 of the tubing would likely be moved up somewhat.

23 Q. Have you supplied an analysis of the
24 fluid you're going to be injecting?

25 A. I don't believe I've provided it in

1 this documentation. We have an analysis that
2 could be sent to this department. As I
3 mentioned, it is the solution gas from the
4 3-F-1. So it's native gas to the system. We
5 certainly have a gas analysis that we could
6 submit.

7 Q. Is it generally dry gas?

8 A. There appears to be liquids in it.
9 We're going to be running it through a different
10 separator to remove those liquids.

11 Q. Prior to injection?

12 A. Prior to compression because the
13 compressor is the key thing here. And in fact,
14 in talking with Mr. Al Greer, he suggests that
15 it's beneficial to maintain as much of the
16 liquids as we're comfortable with in injecting
17 because in fact a little bit of liquids in the
18 injection gas can be beneficial.

19 So we're more concerned about the
20 liquids in the compressor stages than we are in
21 the injection stage.

22 Q. You don't have any plans to utilize any
23 different tubing? Generally we require lined
24 tubing. Do you have an opinion on that?

25 A. Well, I guess our position is that it

1 would probably be just an economic waste in the
2 sense that this is native gas. The tubing was
3 designed to produce the same gas that we're going
4 to be injecting. Therefore, we would certainly
5 not want to change out the tubing. It would not
6 be technically necessary. There's no corrosive
7 components to this gas.

8 Q. You stated that you were going to drill
9 or you had plans to drill more wells in this
10 area. Do you anticipate more gas production from
11 the new wells that may be added to the No. 2-A?

12 A. Well, we certainly have plans to drill
13 more wells. The wells that we are drilling are
14 to the west of the Section 3 well. They are on
15 the base of the monocline. We will have to deal
16 with the gas.

17 When we drill them and test them to
18 determine the quantities of gas that they're
19 going to be producing, we will then have to
20 assess whether or not we want to inject that gas
21 into the Section 2 location or whether in fact
22 it's prudent to produce or to sell that gas.

23 Because on the base of the monocline,
24 you could do not have gravity drainage; it's a
25 solution gas-drive mechanism. So it's kind of

1 like apples and oranges. So really once we drill
2 those wells, we have to assess the validity of
3 gas injection or gas conservation through a
4 pipeline at that point in time.

5 I can assure you, though, that we're
6 going to respond quite a bit quicker than we did
7 this time.

8 MR. STOVALL: You say you know about
9 the 60-day rule now.

10 THE WITNESS: It's drilled into our
11 minds.

12 Q. (BY EXAMINER CATANACH) At this point
13 in time you have no foreseeable plans to add any
14 more injection wells?

15 A. We do not.

16 EXAMINER CATANACH: I believe that's
17 all I have.

18 Any further questions?

19 MR. CARR: Nothing further.

20 MR. KELLAHIN: I have a statement of
21 our position.

22 EXAMINER CATANACH: Okay. Mr.
23 Kellahin, I would welcome your statement.

24 MR. KELLAHIN: Thank you. On behalf of
25 Mr. Greer, Mr. Catanach, he sympathizes with the

1 difficulties American Hunter has had in jumping
2 over a multitude of various jurisdictional
3 hurdles to accomplish the success of their
4 project. And it seems to never end for them, and
5 he certainly has sympathy for them.

6 They're nice guys, good engineers.
7 He's developed a friendship and rapport with
8 these people on both a personal and a
9 professional level. However, he must oppose this
10 application until it is coordinated with the
11 formulation of a unit area so that the pressure
12 maintenance project can be done under a unit
13 concept.

14 I think that's the appropriate way to
15 do this, Mr. Examiner. You can see that by the
16 extreme permeability of these fractures, the gas
17 injected in this well, that we simply have no
18 clue as to how far it will go and how fast it
19 will take to get wherever it's going to be.

20 Mr. Greer overcame that problem in his
21 area when he developed an entire unit, a
22 substantial area to give everyone protection,
23 comfort, and satisfaction that the gas injection
24 was going to stay confined among those properties
25 that were participating in that effort.

1 Mr. Artindale referred several times to
2 expedite the process. And I think what you have
3 seen today is not a pressure maintenance project
4 but simply an application for gas disposal. This
5 gas is their way; they need to get rid of it; and
6 here's a place to put it.

7 The application is premature. It is in
8 advance of its science. He's gotten ahead of his
9 data, his calculations, the kinds of questions I
10 asked as a layman, to give me comfort that he has
11 studied the reservoir and has the data from which
12 to make those calculations, he candidly admits
13 are going to await the outcome of some of this
14 interference data that's being generated.

15 The presentation is incomplete. We, as
16 lawyers, have to sit here and guess at the
17 geology. You have to speculate about some of
18 these items, and yet you're supposed to approve
19 this and take comfort in the fact that the gas
20 instead of being flared is being reinjected.

21 I maintain that they're ahead of their
22 proof. It's premature to approve it at this
23 point. And their desire to expedite the process
24 should not cause you to jeopardize the
25 correlative rights of other interest owners.

1 For example, when you asked him what a
2 project area ought to be, he suggested Sections
3 2, 3, and the east half of 4. If that's his
4 project area, he has got area dedicated to this
5 project that is farther removed from his
6 injection well than a substantial portion of
7 Section 10 controlled by Mr. Greer. You know,
8 there's no rhyme, sense, or reason to that
9 project area.

10 We ought to go back and build this boat
11 right. It's got to float through all these
12 regulatory hurdles, and it's got a bunch of holes
13 in it right now. It's going to leak. And one of
14 the big leaks is that it doesn't have a
15 well-defined, defensible project area. And the
16 only way you're going to get that is to form a
17 unit so that parties that are potentially
18 affected with this gas injection have the
19 opportunity to share in that risk and derive the
20 benefits if it's successful.

21 I'm not suggesting that this can't
22 ultimately be approved, but they have come before
23 you too soon. Until the data is there to justify
24 and answer some of the questions posed, then it
25 serves no one's purpose to approve this gas

1 disposal application at this point in time.

2 Thank you.

3 EXAMINER CATANACH: Mr. Bruce.

4 MR. BRUCE: Mr. Examiner, Billco's
5 primary concern is that injected gas will migrate
6 to its leases and gas out its wells. Current
7 pressure by this witness' own testimony of the
8 3-F well is still close to 1400 pounds. The
9 injection pressures are about 6- to 800 pounds.

10 We do not believe that the pressure or
11 the injection of gas into the 2-A well will
12 enhance the 3-F well at all due to the difference
13 in the bottomhole pressures. Rather we believe
14 that the gas will migrate over to the Billco
15 wells which have pressures of about 300 pounds.

16 Billco's wells are stripper wells in a
17 depleted field. At this time they're producing
18 small amounts of oil, several wells. Billco
19 fears that the injected gas proposed by American
20 Hunter will migrate to Billco's wells, gasing out
21 of the wells, and causing them to be
22 nonproductive of oil.

23 Since there is no gathering, gas
24 gathering system in the vicinity, Billco's wells
25 will then have to be shut-in and abandoned, and

1 we do not think that's proper. As a result, we
2 would request that you deny the request by
3 American Hunter. Thank you.

4 MR. CARR: May it please the Examiner,
5 American Hunter is before you in an effort to
6 comply with requirements that we believe are
7 being imposed by the Oil Conservation Division,
8 although admittedly we have not received an order
9 in that regard as of yet.

10 We've been out developing an area in
11 which there's really been no development for over
12 12 years and where the wells are in an advanced
13 state of depletion. And yet the people who have
14 been there for 12 years suggest that trying to do
15 something that is consistent with sound
16 conservation principles with the gas we are
17 producing is premature. Maybe we should go back
18 and sit back for another 12 years.

19 You see, what we've done is triggered
20 an awful lot of activity up here and we're wading
21 through a regulatory maze only now to discover
22 that the section in which these wells are located
23 is under study by the federal authorities and no
24 drilling will be permitted.

25 Until we get over that hurdle, until

1 the actual status of the leases involved in the
2 area can be determined, because there are
3 questions about whether or not they've been
4 prudently developed and are in good standing, we
5 can't form a unit.

6 And so the option is to, say, shut down
7 the effort of the people who have come out here
8 and taken the risk, developed the property, and
9 are making a good faith effort to comply with
10 your directives as best we can understand them.

11 What you have today is a lot of
12 speculation but no technical evidence from
13 competent witnesses that say anything except this
14 application will prevent waste. This application
15 will protect correlative rights.

16 I have great respect for both Mr.
17 Kellahin and Mr. Bruce, but what they have been
18 saying is simply commentary emanating from the
19 lips of counsel, not from technical witnesses.
20 And on the record before you, you have no
21 alternative, I submit, if you follow your
22 statutory directive and look at this record but
23 to grant this application.

24 And we would request that it be done in
25 an expeditious fashion because, yes, we have gas

1 that we are producing, and we do need something
2 to do with it. And we are before you with a
3 proposal which will permit us to handle this in a
4 way which is sound from a conservation point of
5 view.

6 EXAMINER CATANACH: Thank you, Mr.
7 Carr. There being nothing further, Case 10534
8 will be taken under advisement.

9 [And the proceedings were concluded.]

10
11
12
13
14 I do hereby certify that the foregoing is
15 a complete record of the proceedings in
16 the Examiner hearing of Case No. 10534,
heard by me on August 19 92.

17 David R. Catanach, Examiner
18 Oil Conservation Division
19
20
21
22
23
24
25


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4) ss.
5 COUNTY OF SANTA FE)

6 I, Debbie Vestal, Certified Shorthand
7 Reporter and Notary Public, HEREBY CERTIFY that
8 the foregoing transcript of proceedings before
9 the Oil Conservation Division was reported by me;
10 that I caused my notes to be transcribed under my
11 personal supervision; and that the foregoing is a
12 true and accurate record of the proceedings.

13 I FURTHER CERTIFY that I am not a
14 relative or employee of any of the parties or
15 attorneys involved in this matter and that I have
16 no personal interest in the final disposition of
17 this matter.

18 WITNESS MY HAND AND SEAL AUGUST 26,
19 1992.
20
21

22 
23 _____
24 DEBBIE VESTAL, RPR
25 NEW MEXICO CSR NO. 3