

1 NEW MEXICO OIL CONSERVATION DIVISION

2 STATE LAND OFFICE BUILDING

3 STATE OF NEW MEXICO

4 CASE NO. 10571

5
6 IN THE MATTER OF:7
8 The Application of Chevron U.S.A., Inc.
9 For a High Angle/Horizontal Directional
10 Drilling Pilot Project, Special
11 Operating Rules, Unorthodox Oil Well
Location, Non-standard Oil Proration
Unit, and Simultaneous Dedication,
Lea County, New Mexico.12
13 BEFORE:

14 DAVID R. CATANACH

15 Hearing Examiner

16 State Land Office Building

17 October 15, 1992

18
19
20
21 REPORTED BY:22 CARLA DIANE RODRIGUEZ
23 Certified Court Reporter
for the State of New Mexico24
25
ORIGINAL

A P P E A R A N C E S

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN

Post Office Box 2088

Santa Fe, New Mexico 87504-2088

BY: WILLIAM F. CARR, ESQ.

FOR JOHN H. HENDRIX CORPORATION:

PADILLA & SNYDER

Post Office Box 2523

Santa Fe, New Mexico 87504-2523

BY: ERNEST L. PADILLA, ESQ.

I N D E X

Page Number

Appearances

2

WITNESSES FOR THE APPLICANT:

1.

PATRICIA HARRIS

Examination by Mr. Carr

5

Examination by Mr. Padilla

20

Examination by Mr. Catanach

21

2.

LLOYD TRAUTMAN

Examination by Mr. Carr

23

Examination by Mr. Catanach

37

Examination by Mr. Padilla

40

Certificate of Reporter

44

E X H I B I T S

Reference

Exhibit No. 1

8

Exhibit No. 2

8

Exhibit No. 3

11

Exhibit No. 4

13

Exhibit No. 5

16

Exhibit No. 6

19

Exhibit No. 7

25

Exhibit No. 8

31

1 EXAMINER CATANACH: At this time we'll
2 call Case 10571, the application of Chevron,
3 U.S.A., Incorporated, for a high-angle horizontal
4 directional drilling pilot project, special
5 operating rules, unorthodox oil well location,
6 nonstandard oil proration unit, and simultaneous
7 dedication, Lea County, New Mexico.

8 Are there appearances in this case?

9 MR. CARR: May it please the Examiner,
10 my name is William F. Carr with the Santa Fe law
11 firm, Campbell, Carr, Berge & Sheridan. We
12 represent Chevron U.S.A., Inc., and we have two
13 witnesses.

14 EXAMINER CATANACH: Are there any other
15 appearances?

16 MR. PADILLA: Mr. Examiner, my name is
17 Ernest L. Padilla for John H. Hendrix
18 Corporation. I have no witnesses.

19 EXAMINER CATANACH: Any other
20 appearances? Will the two witnesses please stand
21 to be sworn in.

22 [The witnesses were duly sworn.]

23 PATRICIA HARRIS

24 Having been first duly sworn upon her oath, was
25 examined and testified as follows:

EXAMINATION

BY MR. CARR:

Q. Would you state your full name for the record, please.

A. Patricia Harris.

Q. Where do you reside?

A. Midland, Texas.

Q. By whom are you employed and in what capacity?

A. I'm employed as a petroleum geologist for Chevron.

Q. Have you previously testified before the New Mexico Oil Conservation Division?

A. No, I have not.

Q. Would you briefly review for Mr. Catanach your educational background and then summarize your work experience.

A. I received a bachelor's degree in geology from Hunter College of the City University of New York, and a master's degree in geology from the State University of New York at Stonybrook; the master's degree in 1980.

I went to work for Gulf Oil in August of 1980 as a petroleum geologist, continued on with Chevron, and am currently employed as a

1 petroleum geologist responsible for properties in
2 Southeastern New Mexico.

3 Q. Are you familiar with the application
4 filed on behalf of Chevron in this case?

5 A. Yes.

6 Q. Are you familiar with the proposed well
7 in the subject area?

8 A. Yes.

9 Q. In fact, you've made a geological study
10 of the area, have you not?

11 A. Yes.

12 MR. CARR: We would tender Ms. Harris
13 as an expert witness in petroleum geology.

14 EXAMINER CATANACH: Ms. Harris is so
15 qualified.

16 Q. Would you briefly summarize what
17 Chevron seeks with this application?

18 A. Chevron is here today to seek approval
19 to recomplete the Drinkard B No. 5 well by
20 horizontally drilling in the South Brunson
21 Drinkard Abo pool.

22 This would also require a resulting
23 unorthodox bottom hole location and a nonstandard
24 proration unit dedication of 80 acres with the
25 allowable assignment based on a total acreage

1 dedicated to the well.

2 Q. Now, what pool do you propose to
3 complete this well in?

4 A. In the South Brunson Drinkard Abo pool.

5 Q. What formation are we talking about?

6 A. We're talking the Abo formation in that
7 pool.

8 Q. What is Chevron's purpose in bringing
9 this application to the Division?

10 A. We intend to show the Division today
11 that in allowing us to plug back the Drinkard B
12 No. 5 well from its currently producing
13 Wantz-Granite Wash oil pool, by kicking off and
14 drilling horizontally in the Abo formation of the
15 South Brunson Drinkard Abo pool, that we'll be
16 able to maximize our penetration of naturally
17 occurring fractures which occur in this
18 reservoir.

19 This will allow us to maximize our
20 permeability and ultimate oil recovery and
21 enhance the life of the well. We also believe
22 that this project will prevent waste and will not
23 violate any correlative rights.

24 Q. Is it also Chevron's intention to
25 gather information to determine whether or not

1 this drilling technique can be effectively used
2 in other properties in Southeastern New Mexico?

3 A. Yes. We'll be using a fairly new
4 technology that is specifically designed to be
5 used in old, existing wellbores. We'll be
6 collecting data to evaluate the potential of this
7 technique for numerous wells in Southeastern New
8 Mexico, not just in the South Brunson Drinkard
9 Abo pool.

10 Q. Could you identify what has been marked
11 for identification as Chevron Exhibit No. 1 and
12 review this for Mr. Catanach?

13 A. Exhibit No. 1 is simply a location
14 plat. The top map is the map of New Mexico
15 showing the location of the area we'll be
16 discussing in Southeastern Lea County, New
17 Mexico.

18 The middle map shows the geographic
19 outline of the South Brunson Drinkard Abo pool.
20 It highlights Section 30 where our project well
21 is located, and that Section 30 is shown on the
22 bottom of the location plat. Shown in the heavy
23 dashed line is a stand-up 80 acres for which we
24 are asking the nonstandard proration unit.

25 Q. Let's move to Exhibit No. 2 which is

1 another plat of Section 30, and I would ask you
2 to review the information on this exhibit for the
3 Examiner?

4 A. Yes. We're looking at a blow-up of the
5 map on the bottom of Exhibit 1. Section 30 is
6 comprising the upper two-thirds of that map. The
7 same heavy dashed line shows the 80 acres that
8 we're asking for.

9 The Drinkard No. 5 well is located in
10 the center of the map, has a number "5" numeral
11 next to it. Shown on there by the No. 5 well is
12 a 200-foot-by-400-foot target window in which the
13 horizontal bottom hole location of our proposed
14 plug back will be located. We will be drilling
15 in a north/northeast direction.

16 Q. The project area is comprised of the
17 west half of the southeast of 30, and that's
18 what's indicated here?

19 A. That's correct.

20 Q. This exhibit also shows offsetting
21 operators?

22 A. Yes. We're offset by American
23 Exploration on the west, Texaco on the south, and
24 Hendrix on the northeast.

25 Q. And the other offsetting properties are

1 operated by Chevron?

2 A. Yes. The 80 acres we're asking for is
3 a portion of the larger Chevron-operated lease in
4 which we have 100 percent working interest.

5 Q. What is the status of the ownership in
6 the acreage which is designated as the project
7 area?

8 A. Chevron operates it 100 percent. We
9 operate four wells there. They're all numbered,
10 Wells 2, 4, 3 and 5. The No. 3 well currently
11 produces from the South Brunson Drinkard Abo pool
12 and will require a simultaneous dedication once
13 we perform our workover in the No. 5.

14 Q. Is the working interest common
15 throughout the project area?

16 A. Yes.

17 Q. Is the royalty interest also common in
18 all horizons?

19 A. Yes.

20 Q. Could you explain to Mr. Catanach
21 exactly how the proposed bottom hole location
22 will be unorthodox?

23 A. Okay. The current rules for the South
24 Brunson Drinkard Abo pool is for a well to be
25 located no closer than 330 feet from any section,

1 lease, or government quarter quarter section
2 line.

3 The proposed bottom hole location for
4 the Drinkard B No. 5 will violate the third of
5 those qualifications in that we may come within
6 40 feet of a government quarter quarter section
7 line.

8 Also the field rules provide that 40
9 acres be the standard proration unit for the
10 pool, and we are asking for an 80-acre proration
11 allowable along with the increased oil allowable
12 to be assigned to our project well.

13 Q. So, basically, the reason we're
14 unorthodox is the horizontal portion of the hole
15 may come as close as 40 feet to the quarter
16 quarter section line that defines the northern
17 boundary of the southwest of the southeast of 30?

18 A. Yes.

19 Q. Let's move now to Exhibit No. 3, your
20 structure map, and I would ask you to review that
21 for Mr. Catanach.

22 A. This is a structure map on top of the
23 Abo formation. Section 30 lies directly in the
24 center of the map. The Drinkard B No. 5 is
25 highlighted by an arrow pointing to the wellbore

1 location. The dashed line there is the same
2 target window that we saw on the previous
3 exhibit.

4 The contour interval on the map is 25
5 feet which shows the structure trending northwest
6 to southeast. The importance of this structural
7 alignment is that the dominant regional
8 fracturing trend in the Abo parallels that trend,
9 northwest to southeast.

10 We will be drilling our well in a
11 northeasterly direction hoping to penetrate
12 additional fractures in a horizontal portion of
13 the wellbore which cannot be penetrated by the
14 vertical current wellbore.

15 Also highlighted on the map in the
16 dark, larger circles are the wells which have
17 produced or are currently producing or have
18 produced in the past from the Abo portion of the
19 South Brunson Drinkard Abo pool, unless otherwise
20 known.

21 Wells with a slash through them
22 indicate wells which are no longer active in the
23 pool, and the numbers next to those highlighted
24 wells are the cumulative productions from those
25 wellbores.

1 Q. You constructed this map using wellbore
2 information?

3 A. Yes.

4 Q. Are there dry holes in the Abo in the
5 area?

6 A. Yes. Also highlighted on there you can
7 see to the southwestern and western portion of
8 Section 30, you'll see a line-up of dry holes in
9 the Abo. This is another reason why we are
10 projecting our well off into the northeast
11 direction away from this dry hole area.

12 Q. Let's move to the structural
13 cross-section and go first to Exhibit No. 4.
14 Could you identify and review that for Mr.
15 Catanach?

16 A. Exhibit No. 4 is a structural
17 cross-section in our proposed 80-acre proration
18 unit. The maps on the right are a duplicate of
19 Exhibit No. 1, and again show the location of the
20 cross-section down on the bottom there, running
21 from north to south.

22 The purpose of this cross-section is to
23 provide information on the current and past
24 status of all the wells on our proposed 80 acres
25 which have produced or are currently producing

1 from the South Brunson Drinkard Abo pool.

2 If we start on the right, we have the
3 Chevron Drinkard B No. 5 well, which is our
4 project well. It is twinned the Chevron Drinkard
5 B No. 3 well. The Drinkard B No. 5 well is
6 currently producing out of the Wantz-Granite Wash
7 pool. It has never perforated or tested in the
8 South Brunson Drinkard Abo pool.

9 The vertical limits of the pool are
10 highlighted on the central portion of the
11 cross-section that shows you the top of the Abo
12 and the top of the Drinkard. The pool actually
13 contains the two formations, the Drinkard
14 formation being the upper third, the Abo
15 formation being the lower third. Our target is
16 identified as target zone, horizontal wellbore,
17 and we plan on getting out about 400 feet in a
18 northeasterly direction, and it occurs within
19 about, oh, the top half of the Abo formation.

20 If we turn our attention to the
21 Drinkard B No. 3 well, this well currently
22 produces about 300 Mcf of gas a day out of the
23 Drinkard portion of the South Brunson Drinkard
24 Abo pool.

25 The TD in the well, its total depth, is

1 only about 50 feet into the top of the Abo
2 formation. This well does not penetrate our
3 target zone, and is separated by about 300 feet.

4 As we go to the north we have two more
5 wells in our proposed 80-acre proration unit.
6 The Chevron Drinkard B No. 2 is an older well
7 that was completed open hole in 1946 and
8 commingled the Drinkard and the Abo formations,
9 and was then plugged back in 1974. It currently
10 produces from the Blinbry.

11 The Chevron Drinkard B No. 4 currently
12 produces from the Wantz-Granite Wash, has never
13 been completed or tested in the South Brunson
14 Drinkard Abo pool.

15 Q. The subject well is the Drinkard B No.
16 5?

17 A. Yes.

18 Q. It's currently completed in the
19 Wantz-Granite oil pool, is that right?

20 A. Yes.

21 Q. Is it capable of marginal production in
22 that pool, or what are its producing
23 capabilities?

24 A. Oh, it's down to about five Mcf a day
25 and a barrel or two of oil. It's uneconomic at

1 this time.

2 Q. Let's move to Chevron Exhibit No. 5,
3 the other cross-section, and I would ask you to
4 again review that for the Examiner.

5 A. Okay. Exhibit No. 5, the purpose of
6 this cross-section is to show the correlativeness
7 of production in our target horizon within the
8 Abo formation with existing production in that
9 formation.

10 It is a location map on the left-hand
11 side, showing the line of the cross-section in
12 Section 30. The well on the right-hand side is
13 the Chevron Drinkard B No. 5 and it's been
14 correlated to another Chevron well in the north,
15 the Chevron No. 10 Vivian which currently
16 produces out of the South Brunson Drinkard Abo
17 pool.

18 Next to that log on the Vivian 10 is a
19 temperature log, a production log which was run
20 in the Vivian 10, which shows by deflections on
21 the temperature curves that the major oil and gas
22 entry in this particular well is coming out of
23 perforations highlighted by that black bar on the
24 temperature log.

25 We just labeled the electric log for

1 the Vivian 10 alongside of it and see that this
2 correlates to perforations in the carbonate zone
3 which, on the right-hand side of that log, shows
4 spiking or extreme deviation of the well curve in
5 the density log to the left. This is indicative
6 of fracture formation.

7 There's also some porosity shown in
8 there. We then correlated this well to our
9 proposed target well, the project well, the
10 Chevron Drinkard B No. 5. We see again another
11 carbonate bed with spiking on the density log
12 indicating fracturing. The caliper log indicates
13 little washouts where the caliper curve deviates
14 to the right and that, again, is indicative of
15 fracturing in the reservoir.

16 The additional purpose of this
17 cross-section is to show that our kickoff point
18 will be at approximately 6772 feet. Within 30
19 feet we will be into the target bed. This is our
20 target bed. We are approximately 300 feet below
21 the producing horizon in this same pool in the
22 twin well to this well.

23 Q. You've indicated that the horizontal
24 portion of the proposed well could be within 40
25 feet of quarter quarter section line. Do you

1 have an opinion as to whether or not correlative
2 rights would be impaired by approval of this
3 application?

4 A. They will not be impaired.

5 Q. In fact, Chevron is the owner of the
6 offsetting tract for which the wellbore is
7 oriented?

8 A. Yes.

9 Q. Will approval of the application
10 prevent waste?

11 A. Yes.

12 Q. Will it enable Chevron to effectively
13 produce reserves in this reservoir that, with
14 current wells, will not be recovered?

15 A. Yes. Without this new technology which
16 allows us to go into an existing wellbore and
17 horizontally go out into a particular target bed,
18 we will not be able to intersect the greatest
19 density of naturally occurring fractures in the
20 reservoir that in a vertical wellbore we are
21 limited by what the wellbore actually
22 penetrates. We're greatly extending our
23 penetration of these fractures, and we should see
24 a greater recovery and extend the life of the
25 well.

1 Q. Ms. Harris, is Exhibit No. 6 a copy of
2 an affidavit confirming that notice of this
3 hearing has been provided in accordance with
4 Division rules to the individuals identified in
5 that affidavit?

6 A. Yes.

7 Q. To whom was notice given?

8 A. To American Exploration, to Texaco and
9 to John Hendrix.

10 Q. So all offsetting operators have been
11 notified?

12 A. Yes. In fact, John Hendrix Corporation
13 has expressed their lack of opposition and are
14 interested in our results.

15 Q. Will Chevron also call an engineering
16 witness to testify in this matter?

17 A. Yes.

18 Q. Were Exhibits 1 through 5 prepared by
19 you?

20 A. Yes.

21 Q. And Exhibit No. 6 is the affidavit?

22 A. Yes.

23 Q. At this time we would move the
24 admission of Chevron Exhibits 1 through 6.

25 EXAMINER CATANACH: Exhibits 1 through

1 6 will be admitted as evidence.

2 Q. Ms. Harris, how soon would Chevron be
3 ready to commence this project?

4 A. We have money appropriated to do this
5 project this year.

6 MR. CARR: I have nothing further on
7 direct of Ms. Harris.

8 EXAMINER CATANACH: Mr. Padilla, any
9 questions of the witness?

10 MR. PADILLA: Yes, I have a couple.

11 EXAMINATION

12 BY MR. PADILLA:

13 Q. Ms. Harris, I'm not sure that I
14 understood one of your land maps, I guess Exhibit
15 2, your land plat. Did you say the status of
16 Wells 2 and 4 had been plugged and abandoned?

17 A. 2 and 4, the Chevron wells?

18 Q. Yes.

19 A. The No. 2 is a former producer in the
20 pool and No. 4 currently produces out of the
21 Wantz-Granite Wash pool.

22 Q. Are they going to be counted towards
23 the allowable, the production from that well?

24 A. No, neither of them produces from the
25 pool. We would be simultaneously dedicating the

1 3 and the 5.

2 Q. You're going to be unorthodox to the
3 north. Is that the reason that you combined two
4 40s instead of simultaneously dedicating the two
5 wells in the south to the 40?

6 A. I'm going to defer that to our
7 engineering witness. We do believe we will be
8 draining part of that northern 40 acres.

9 Q. You said something about there being
10 natural fracturing and your horizontal hole is
11 going to encounter this natural fracturing?

12 A. Yes.

13 Q. What is the trend of that natural
14 fracturing in order to encounter the--

15 A. It parallels the structural trend of
16 the central basin platform, essentially, and runs
17 northwest to southeast. By drilling in a
18 perpendicular direction to that, we should
19 encounter more fractures.

20 MR. PADILLA: I have nothing further,
21 Mr. Examiner.

22 EXAMINATION

23 BY EXAMINER CATANACH:

24 Q. Ms. Harris, the No. 2 well is producing
25 from what pool?

1 A. It's producing from the Blinebry.

2 Q. How have you identified the orientation
3 of the fractures?

4 A. There's documented literature and
5 in-house studies showing that the regional trend
6 of fracturing along the central basin platform is
7 parallel to this structural trend of this
8 platform; that is, northwest to southeast.

9 There are also studies and oriented
10 cores in subadjacent and superadjacent formations
11 which have confirmed that trend.

12 Q. The target zone is the Abo formation
13 only?

14 A. Yes.

15 Q. As I understand it, just a portion of
16 the Abo formation?

17 A. That's right. A 22-foot bed in
18 the--well, it occurs at 6792, would be the top of
19 the bed, as shown on Exhibit No. 5.

20 Q. The target zone has just been
21 identified as the main oil producing zone?

22 A. By correlativeness to the Vivian No.
23 10, yes.

24 Q. Which is located--

25 A. It's located about 2000 feet to the

1 north. Well, maybe about 4000 feet. On Exhibit
2 No. 5, the location map shows the two wells.

3 Q. The Well No. 3 does not penetrate the
4 portion of the Abo that you plan to target?

5 A. It does not. It TDs about 300 feet
6 above it.

7 EXAMINER CATANACH: I think that's all
8 I have of the witness. You may be excused.

9 MR. CARR: We have nothing further of
10 this witness, and at this time Chevron would call
11 Lloyd Trautman.

12 LLOYD TRAUTMAN

13 Having been first duly sworn upon his oath, was
14 examined and testified as follows:

15 EXAMINATION

16 BY MR. CARR:

17 Q. Would you state your full name for the
18 record, please.

19 A. My name is Lloyd Trautman.

20 Q. And where do you reside?

21 A. I live in Midland, Texas.

22 Q. By whom are you employed and in what
23 capacity?

24 A. I work for Chevron, U.S.A. as a
25 petroleum engineer.

1 Q. Have you previously testified before
2 this Division?

3 A. No, I have not.

4 Q. Would you review your educational
5 background for Mr. Catanach and then briefly
6 summarize your work experience.

7 A. I received a bachelor's degree in
8 chemical engineering from the South Dakota School
9 of Mines in Rapid City, South Dakota. I started
10 work with Chevron in 1976 and progressed through
11 various drilling functions with Chevron through
12 drilling and production functions to the current
13 time.

14 Q. Are you familiar with the application
15 filed in this case?

16 A. Yes, I am.

17 Q. Does the geographic area of your
18 responsibility for Chevron include the portion of
19 Southeastern New Mexico involved in this case?

20 A. Yes, it does.

21 Q. In fact, you are the engineer on the
22 project?

23 A. I am the petroleum engineer for
24 Southeast New Mexico.

25 Q. Have you made an engineering review of

1 the proposed project and you're prepared to
2 testify and present exhibits here today?

3 A. Yes, I am.

4 MR. CARR: At this time, Mr. Catanach,
5 we would tender Lloyd Trautman as an expert
6 witness in petroleum engineering.

7 EXAMINER CATANACH: He is so qualified.

8 Q. Let's go to what has been marked as
9 Chevron Exhibit No. 7. I would ask you to first
10 identify what this exhibit shows and then review
11 the two well schematics for the Examiner.

12 A. Okay. What this exhibit is determined
13 to show is the current condition of the well, and
14 then through a discussion of the drilling
15 procedure, to show how we arrived at the final
16 proposed condition of the wellbore.

17 Q. Briefly review the current status of
18 the well.

19 A. Okay. The current condition of the
20 well is shown on the left. We have 5-1/2" casing
21 cemented at 7590 feet with perforations from 7257
22 to 7351 in the Wantz-Granite Wash pool, cemented
23 to surface through the outside of the casing.

24 Q. Okay. And as to the proposed changes
25 you're hoping to make in the well?

1 A. Okay. We plan to abandon the lower
2 perfs in the Wantz-Granite Wash pool per
3 Commission requirements, and set a cast-iron
4 bridge plug at 7180 feet, come in with a section
5 mill and mill a section of the 5-1/2" casing out
6 from approximately 6765 to 6780, and then set a
7 cement plug to approximately 6750.

8 At that time we'll come in with a fresh
9 water polymer based drilling fluid and drill to
10 cement out to the kickoff point of approximately
11 6772.

12 At that point in time we'll pick up
13 pool horizontal drilling equipment tools,
14 consisting of a bit, a bent sub, a nonrotating
15 collar, specially designed flex collars to get
16 around this short-term radius kickoff, and begin
17 drilling from the cement and out through the
18 milled section and continue with a 3-15/16 bit to
19 the final 400-foot horizontal lateral distance.

20 Q. Do you anticipate any problems keeping
21 the wellbore within the 22-foot target zone?

22 A. We don't anticipate any problems. We
23 will take directional surveys prior to drilling
24 from the kickoff point at 6772 and orient the
25 tool in the direction we want, which right now is

1 approximately 15 degrees east of north.

2 Then we will drill approximately three
3 to four feet, take directional surveys to verify
4 we're headed in that direction, and then through
5 the build section of the wellbore, we plan to
6 take surveys approximately every 10 feet.

7 Through the horizontal portion of the
8 wellbore we'll take surveys approximately every
9 hundred feet. The contractor, Poole Horizontal
10 Drilling, has drilled approximately 10 of these
11 wells, 10 to 15 of these wells in Texas, and
12 they've not had a problem maintaining that within
13 a 10-foot interval.

14 Q. Will copies of these directional
15 surveys be filed with the Oil Conservation
16 Division?

17 A. Yes, they will, upon completion of the
18 well.

19 Q. Is the horizontal portion of the hole
20 going to be cased or is this an open hole
21 completion?

22 A. This will be an open hole as we feel
23 that carbonate is a competent formation and will
24 not fall in.

25 Q. Has Chevron drilled other highly

1 deviated wells in this area?

2 A. No, we have not. Not in New Mexico.

3 Q. What is the status of the technology
4 you're going to be employing on this project?

5 A. Poole Horizontal Drilling acquired this
6 technology from Amoco, has made certain
7 improvements as to the directional control and
8 the use of these especially designed drill
9 collars, to allow getting around this 30-foot
10 radius of curvature turn, which allows us to only
11 drill a minimum formation and the rest of the
12 wellbore stay within cased hole.

13 They are currently in the process of
14 trying new collar design in Texas on another 10
15 to 15-well program to see if they can improve
16 upon that flex collar design.

17 Q. Is this a fairly new technology?

18 A. This is a new technology for this area,
19 for the use in older wells and the short-term
20 radius of curvature.

21 Q. What are the costs associated with this
22 effort?

23 A. The costs associated with this is a
24 flat fee to Poole, and then our associated costs
25 to prepare the well with the sectioning and the

1 cement. The total cost is approximately
2 \$130,000.

3 Q. How will this compare with the costs
4 associated with, say, a fracture stimulation of
5 the well?

6 A. Our cost to fracture-stimulate a
7 vertical completed well in this area will be
8 approximately \$110,000 to \$120,000.

9 Q. The costs are fairly comparable?

10 A. They're very close.

11 Q. What are the benefits of this procedure
12 as opposed to simply frac'ing the well?

13 A. The benefit that we see with this
14 technology is that when we fracture-stimulate a
15 vertical well, we have no control over where the
16 fractures go. We believe that they tend to go in
17 this same general direction as the existing
18 fractures in the formation and, therefore, you do
19 not intersect additional fractures unless they're
20 part of that matrix.

21 With this horizontal technology and
22 heading in a direction generally perpendicular to
23 the existing fractures, we feel that we will
24 intersect a larger portion of the natural
25 occurring fractures and thus allow a higher

1 percentage of reserves to be accessed.

2 Q. I may have covered this with Ms.
3 Harris, but is the interval that is the target or
4 the subject of this hearing currently being
5 produced by any other well in the project area?

6 A. No, it is not.

7 Q. And there are no wells on the spacing
8 or proration unit that would effectively drain
9 this interval at this time?

10 A. Not at this time, no.

11 Q. There is the existing well, the No. 3
12 well, that is completed in this pool, is that
13 correct?

14 A. Yes, it is in this pool.

15 Q. You are recommending that that well,
16 plus the proposed horizontal well, be
17 simultaneously dedicated?

18 A. Yes, we are.

19 Q. Would you recommend that these wells
20 share one allowable?

21 A. Yes, we do.

22 Q. How will that allowable be determined?

23 A. It will be determined by the normal
24 pool rules as a portion from that zone will be
25 allocated to the total.

1 Q. Will the allowable for the project area
2 be equal to the number of acres that are involved
3 in the project area?

4 A. Yes, we want it to be to the total
5 number of acres in the area.

6 Q. Are there special pool rules in effect
7 right now for the Brunson Drinkard Abo pool?

8 A. The special field rules are 40-acre
9 spacing and a gas/oil ratio limit of 6000-to-1.

10 Q. Let's move to Chevron Exhibit No. 8.
11 Would you identify and review that for Mr.
12 Catanach?

13 A. Exhibit No. 8 is a plat diagram,
14 essentially, that Ms. Harris presented earlier,
15 with a drainage radius calculated on field rules
16 of 40-acre spacing; therefore, a radius of 660
17 feet.

18 Q. So basically what this shows is the
19 project area, and you've placed the horizontal
20 wellbore on the project area and the drainage
21 area you've indicated is simply a 40-acre
22 drainage pattern around that horizontal hole?

23 A. Yes, it is.

24 Q. Have you reviewed the other Abo
25 producers in the immediate area?

1 A. I've reviewed the Abo producers in the
2 immediate area of Section 30 and adjacent to it.

3 Q. Have you been able to determine whether
4 or not these wells in fact drain 40 acres?

5 A. Of the 48 wells reviewed, Hendrix',
6 Texaco's, American Exploration's and Chevron's,
7 approximately 65 percent or two-thirds of these
8 wells show drainage radiuses in excess of 660
9 feet.

10 Q. Did you determine that by doing
11 volumetric calculations on those wells?

12 A. Yes, I did.

13 Q. How many acres would the better wells
14 in this area drain?

15 A. There were approximately five or six
16 wells that were close to 80 acres, with one well
17 actually exceeding an 80-acre calculated drainage
18 radius.

19 Q. To get a good well in the area, what do
20 you need to do?

21 A. We feel to get a good well you need to
22 intersect a network of fractures, and that means
23 intersecting more than just one fracture that's
24 there.

25 Q. With the proposed horizontal drilling

1 program, do you have an opinion on whether or not
2 that's going to enable you to effectively
3 intersect the natural fracturing in the
4 reservoir?

5 A. We feel it does, based on the fact that
6 the general trend has been along with structure,
7 and we're drilling basically perpendicular to
8 that. We anticipate intersecting more than one
9 fracture system.

10 Q. If you're successful in that, would it
11 be fair to at least hope that this well, once
12 completed, would perform like the better wells in
13 the pool?

14 A. We would think it would perform at
15 least as good on an ultimate recovery.

16 Q. Your Exhibit No. 8 basically just
17 indicates a 40-acre drainage pattern?

18 A. It indicates 40 acres, which we
19 hope--we consider it a minimum case in this
20 instance.

21 Q. Even if you have what is a minimum case
22 in this instance, a substantial portion of the
23 drainage comes from the 40 acres north of the
24 tract on which the well is located, is that not
25 correct?

1 A. Yes, sir. There's approximately 30
2 percent of that drainage radius that is in the
3 north 40 acres.

4 Q. You're requesting a higher allowable
5 based on the number of acres dedicated to the
6 well?

7 A. Yes, sir.

8 Q. Why do you need that?

9 A. We feel we're going to drain more than
10 40 acres. Plus, with the new technology, to
11 fully evaluate it, we would like to be able to
12 produce this well at its maximum rate so that we
13 can compare that rate to our vertical completed
14 wells.

15 Q. Would the higher allowable rate permit
16 you to do that, do you believe?

17 A. Yes, we believe it will. If we don't
18 have that, we'll probably be limited by gas.

19 Q. In terms of the proposed horizontal
20 well, how would you expect the producing
21 capability of that well to compare to, say, a
22 vertical hole?

23 A. I would expect that the horizontal
24 well, and from calculations and some of the
25 literature, that production rates of a horizontal

1 well are between two to three times that of a
2 vertical completed well.

3 Q. So, with a 40-acre allowable, you would
4 be allowable restricted?

5 A. We believe we would be allowable
6 restricted.

7 Q. You indicated a minute ago that you
8 might also have a gas problem?

9 A. We feel that with Well No. 3 producing
10 approximately 300 Mcf per day, that reduces our
11 allowable gas production on this well. And, with
12 that gas allowable and the gas/oil ratio around
13 here, that would be restricted on our production.

14 Q. If you drilled the horizontal well and
15 you're producing that and simultaneously
16 dedicating it with the No. 3, would you
17 anticipate a gas/oil ratio restriction on the
18 project area at that time, if you produce both
19 wells?

20 A. If we produce both wells, we believe we
21 would be curtailed and have a restriction on
22 production with the 40 acres.

23 Q. If you go to the 80 acres?

24 A. With the 80 acres, we do not believe we
25 would have a restriction on production.

1 Q. You've indicated directional surveys
2 will be filed with the Division?

3 A. Yes, sir.

4 Q. If this application is granted, in your
5 opinion, would waste result?

6 A. If we get what we're asking, I don't
7 believe waste will be incurred due to the ability
8 to produce reserves that would not be produced by
9 wells in this area.

10 Q. In your opinion, would correlative
11 rights be impaired?

12 A. I don't believe correlative rights
13 would be impaired because it's our correlative
14 rights we're looking after here, and we're not
15 infringing on anyone else's.

16 Q. In fact, you have a project area where
17 you have located the well as centrally as
18 possible on Chevron owned and operated
19 properties, is that right?

20 A. Yes. That was one of the prerequisites
21 when we were looking for a candidate.

22 Q. Are you aware of any opposition to this
23 application?

24 A. No, I'm not aware of any option.

25 Q. In your opinion, will approval of this

1 application be in the best interest of
2 conservation?

3 A. I believe it will be. We can evaluate
4 the potential of this technology for additional
5 wells in Southeast New Mexico. It also allows us
6 to complete one well and get reserves that we
7 could not get.

8 Q. Were exhibits 7 and 8 prepared by you?

9 A. Yes, they were.

10 MR. CARR: At this time, Mr. Catanach,
11 we move the admission of Chevron Exhibits 7 and
12 8.

13 EXAMINER CATANACH: 7 and 8 will be
14 admitted as evidence.

15 MR. CARR: That concludes my
16 examination of Mr. Trautman.

17 EXAMINATION

18 BY EXAMINER CATANACH:

19 Q. Mr. Trautman, this is a short radius?

20 A. Yes, sir.

21 Q. At what rate would you build angle in
22 this well?

23 A. We would build rate at two and a half
24 or two degrees per foot through the build-up, and
25 that would give us a 30-foot radius of curvature

1 through that build-up portion of the wellbore.

2 Q. So you would enter the producing
3 formation horizontally how far away from the
4 wellbore, approximately?

5 A. Approximately 20 to 25 feet.

6 Q. And then you propose to continue
7 drilling laterally, close to 400 feet?

8 A. Yes, sir. Plus or minus 400 feet is
9 our target range.

10 Q. Has this short radius type of drilling
11 procedure been successful in other areas?

12 A. It has been in Texas. Poole Horizontal
13 Drilling has completed approximately 10 to 15
14 wells. I have no results on their production
15 response. They're all confidential for the
16 company. They're currently under contract to do
17 another 10 to 15 wells in Texas for another
18 operator.

19 Q. The lateral portion of the wellbore
20 will not, in fact, penetrate one of the 40-acre
21 units?

22 A. No, sir. It will be 40 feet from that
23 quarter quarter line.

24 Q. In the past, the Division has granted
25 allowables based on the number of tracts

1 penetrated by the horizontal wellbore. I don't
2 know if you were aware of that. But you feel
3 like you need the extra allowable. Is that a
4 consideration in drilling the well?

5 A. It is a consideration in the fact that
6 to fully evaluate this technology, we really need
7 to know the production rates encountered with
8 this and if it is competitive with our fracture
9 stimulation treatments.

10 And, based on the technical papers,
11 that with the production rate of two to three
12 times in an existing gas well on the tract, we
13 will not be able to produce at maximum rates as
14 we calculated on this well.

15 Q. Do you know what the allowable is for
16 the pool, in terms of oil?

17 A. As I understand it, it's 142 barrels
18 per 40 acres, with a gas/oil ratio of 6000-to-1,
19 which I believe is 852 Mcf total.

20 Q. It is your opinion that that wellbore
21 will drain a substantial portion of that northern
22 tract?

23 A. Yes, sir. We believe that we should
24 drain--that at least 30 percent of our drainage
25 radius will be, in a minimum case, be in that top

1 40-acre plat.

2 Q. You estimate 30 percent of the tract is
3 in your drainage area?

4 A. As this picture denotes, it's 30
5 percent of this minimum drainage radius will be
6 in that north 40 acres.

7 Q. Do you have any estimates of what the
8 initial production might be from the well?

9 A. Based upon a reservoir analysis, we
10 matched production in Abo producers on IP and
11 decline rates, and we estimate production on this
12 well to be 117 barrels of oil per day.

13 Q. Any estimates on gas production?

14 A. Well, with the gas/oil ratio of 6000, I
15 believe it's about 1800 Mcf a day.

16 EXAMINER CATANACH: I believe that's
17 all I have of the witness.

18 Mr. Padilla?

19 MR. PADILLA: I have a couple of
20 questions, Mr. Trautman.

21 EXAMINATION

22 BY MR. PADILLA:

23 Q. Are you saying that this project would
24 be uneconomic if you only did it on a 40-acre
25 allowable?

1 A. I'm not saying that it would be
2 uneconomic, I'm saying that we could not fully
3 evaluate the technology.

4 Q. Could you also, using the existing
5 technology as well, could you also go in a
6 southwesterly direction?

7 A. We could go in a southwesterly, but as
8 indicated on the map that Ms. Harris presented,
9 we have a row of dry hole producers in the Abo
10 formation to the south and west of us, and we do
11 not feel it would be in our best interest to
12 drill the well towards dry holes, as our recovery
13 would be limited. Plus we would be getting
14 closer to Texaco's and get within 330 of the
15 section line down there.

16 Q. Could you drill in both directions?

17 A. I believe at this time that would be
18 stretching the limits of their technology in the
19 same wellbore.

20 Q. Essentially, using the existing
21 technology only?

22 A. Only using this technology because it
23 is price competitive with fracture-stimulation.

24 Q. What plans does Chevron have in the
25 future, if this is successful, to drill other

1 locations in a similar fashion in this area?

2 A. Chevron plans in the future, if this is
3 successful, that we're going to look for other
4 candidates throughout New Mexico and look at
5 proposing those.

6 Q. Assuming this is successful in this
7 pool, would you be proposing 80-acre spacing for
8 other locations in this pool?

9 A. Right now I would say yes. If we
10 evaluate the technology and determine the
11 production rates are not there, we would adjust
12 our request based on that production response.

13 Q. But you're saying, essentially, you
14 think 80 acres is a minimum spacing requirement
15 in order to make it economically feasible, at
16 least for now?

17 A. For now.

18 MR. PADILLA: I have nothing further,
19 Mr. Examiner.

20 EXAMINER CATANACH: There being nothing
21 further, Case 10571 will be taken under
22 advisement.

23 MR. PADILLA: Mr. Examiner, I have a
24 short statement to make. We don't have any
25 objection to the application. Since they're not

1 asking for a greater allowable, then we will not
2 object to it. As long as the application doesn't
3 exceed the 80-acre allowable, that will be fine.

4 EXAMINER CATANACH: Okay.

5 MR. PADILLA: And obviously we want to
6 make sure they don't exceed the 330 side
7 boundary, that they don't get out of that
8 window. Thanks.

9 EXAMINER CATANACH: Okay. Nothing
10 further?

11 MR. CARR: Nothing further.

12 EXAMINER CATANACH: Case 10571 will be
13 taken under advisement.

14 (And the proceedings concluded.)
15
16
17

18 I do hereby certify that the foregoing is
19 a true and correct copy of the proceedings of
20 the hearing held on October 15, 1992 at 10571
21 David R. Catanch, Examiner
22 Oil Conservation Division
23
24
25


1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4 COUNTY OF SANTA FE) ss.
5

6 I, Carla Diane Rodriguez, Certified
7 Shorthand Reporter and Notary Public, HEREBY
8 CERTIFY that the foregoing transcript of
9 proceedings before the Oil Conservation Division
10 was reported by me; that I caused my notes to be
11 transcribed under my personal supervision; and
12 that the foregoing is a true and accurate record
13 of the proceedings.

14 I FURTHER CERTIFY that I am not a
15 relative or employee of any of the parties or
16 attorneys involved in this matter and that I have
17 no personal interest in the final disposition of
18 this matter.

19 WITNESS MY HAND AND SEAL November 3,
20 1992.
21

22
23 
24 CARLA DIANE RODRIGUEZ, RPR
25 CSR No. 4