

NEW MEXICO OIL CONSERVATION COMMISSION

Santa Fe, NEW MEXICO

Hearing Date November 5, 1992 Time: 8:15 AM

NAME	REPRESENTING	LOCATION
Bill Hawkin	Amoco	Denver
Maurice Truitt	Byram	SF
Steven Brown	Cumbre Coast Reporting	SF
R. J. Kellin	Kellin & Kellin Santa	Santa Fe
Tom Olle	MOI	MIDLAND
Tom O'Donnell	MOI	MIDLAND
William A. ...	Campbell, ... Sgt. ...	Santa Fe

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
CASE 10,593

EXAMINER HEARING

IN THE MATTER OF:

Application of Amoco Production Company for
acreage rededication and an unorthodox coal gas
well location, San Juan County, New Mexico

TRANSCRIPT OF PROCEEDINGS

ORIGINAL

RECEIVED

NOV 23 1992

BEFORE: DAVID R. CATANACH, EXAMINER OIL CONSERVATION DIVISION

STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

November 5, 1992

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

CAMPBELL, CARR, BERGE & SHERIDAN, P.A.
Attorneys at Law
By: WILLIAM F. CARR
Suite 1 - 110 N. Guadalupe
P.O. Box 2208
Santa Fe, New Mexico 87504-2208

* * *

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I N D E X

Page Number

Appearances	2
JAMES WILLIAM HAWKINS	
Direct Examination by Mr. Carr	4
Examination by Examiner Catanach	28
Examination by Mr. Stovall	34
Further Examination by Examiner Catanach	35
Certificate of Reporter	37

* * *

E X H I B I T S

APPLICANT'S EXHIBITS:

Exhibit A	6
Exhibit B	7
Exhibit C	10
Exhibit D	26

* * *

1 WHEREUPON, the following proceedings were had
2 at 8:10 a.m.:

3 EXAMINER CATANACH: At this time we'll call
4 Case 10,593.

5 MR. STOVALL: Application of Amoco Production
6 Company for acreage rededication and an unorthodox coal
7 gas well location, San Juan County, New Mexico.

8 EXAMINER CATANACH: Are there appearances in
9 this case?

10 MR. CARR: May it please the Examiner, my
11 name is William F. Carr with the Santa Fe law firm
12 Campbell, Carr, Berge & Sheridan. I represent Amoco
13 Production Company in this case, and I have one
14 witness.

15 EXAMINER CATANACH: Any other appearances?
16 Will the witness please stand to be sworn in?

17 JAMES WILLIAM HAWKINS,
18 the witness herein, after having been first duly sworn
19 upon his oath, was examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. CARR:

22 Q. Would you state your name for the record,
23 please?

24 A. James William Hawkins.

25 Q. Where do you reside?

1 A. Denver, Colorado.

2 Q. By whom are you employed and in what
3 capacity?

4 A. Amoco Production Company as a senior
5 petroleum engineering associate.

6 Q. Have you previously testified before this
7 Division?

8 A. Yes, I have.

9 Q. At the time of that testimony, were your
10 credentials as a petroleum engineer accepted and made a
11 matter of record?

12 A. Yes, they have been.

13 Q. Are you familiar with the Application filed
14 in this case on behalf of Amoco Production Company?

15 A. Yes, I am.

16 Q. Mr. Hawkins, have you made an engineering
17 study of the portion of the Basin Fruitland Coal Pool
18 that is affected by this case?

19 A. Yes, I have.

20 MR. CARR: Are the witness's qualifications
21 acceptable?

22 EXAMINER CATANACH: They are.

23 Q. (By Mr. Carr) Mr. Hawkins, would you briefly
24 state what Amoco seeks with this Application?

25 A. Amoco seeks two things: One, rededication of

1 the acreage within Section 25 of Township 2 North,
2 Range 11 West; and also seeks an unorthodox location
3 for our replacement wells for the Fields A-21 that's
4 located in the west half of that section.

5 Q. What is the status of Amoco's request to
6 rededicate acreage in Section 25, 32 North, 11 West?

7 A. We have filed an acreage dedication plat for
8 Section 25 for both the west half and east half to the
9 Aztec District Office, and it has been approved. At
10 least that's what I've been told verbally by Ernie Bush
11 with that office.

12 Q. And would you identify what has been marked
13 as Amoco Exhibit A?

14 A. Exhibit A is a copy of the acreage dedication
15 plats that have been filed for both the east half and
16 west half of that section.

17 Q. The ownership in Section 25 is common
18 throughout, so this rededication can occur without
19 affecting the ownership in that section?

20 A. That's correct this is one common lease over
21 the entire section.

22 Q. The only indication you've gotten today from
23 the Division concerning approval of the rededication is
24 a telephone conversation, however, with Mr. Bush?

25 A. That's correct.

1 Q. All right. Let's go to what's been marked as
2 Amoco Exhibit B. Would you identify that for Mr.
3 Catanach and then review it for him, please?

4 A. Yes, Exhibit B are a few pages that were
5 taken from a large exhibit book used in Case 9420,
6 presented to the OCD in February, 1991. This was a
7 hearing to establish permanent spacing for the Basin
8 Fruitland Coal Pool, and the exhibits that you have
9 here are the excerpts -- came from a booklet put
10 together by the Coalbed Methane Committee, and I
11 believe they were testified to by ICF, Dr. John
12 McIlhenney. Also this was in conjunction with a Gas
13 Research Institute study.

14 Q. Why have you included this material in your
15 exhibit package?

16 A. Well, I thought it gave a good background
17 into what we're going to be talking about today.

18 If you turn to the next two pages within the
19 little packet, you see a large map of the San Juan
20 Basin, and it shows that that has been broken up into
21 three areas, designated Area 1, Area 2 and Area 3.

22 What I'd like to talk about, just to go back
23 over this briefly, is that Area 1, shown in the legend,
24 is described as a high-pressure area with 100-percent
25 water saturation, Area 2 is an under-pressured area

1 with less than 100-percent water saturation, and Area 3
2 is an under-pressured area. I'm now back in the 100-
3 percent water saturation area.

4 And if you'll look at the text that's marked,
5 page 1, Introduction, and go to the fourth paragraph,
6 there's some statements here that talk about this
7 designation of Area 1, Area 2 and Area 3. And it says
8 that the San Juan Basin was studied by the Texas Bureau
9 of Economic Geology under contract to the Gas Research
10 Institute, and that provided the foundation for
11 selecting areas of coal-bed development within this
12 basin, areas of study, that is.

13 And on the basis of hydrodynamics and
14 geology, the basin was divided into these three main
15 regions having similar reservoir characteristics within
16 each region. And then it describes these as the over-
17 pressured north-central part of the basin, et cetera.

18 The final sentence here says that, It should
19 be noted that the boundaries between these areas are
20 very complex and are not as well defined as shown on
21 Exhibit 1.

22 And then it talks about, The implications of
23 subdivisions on reservoir characterization and
24 performance will be discussed in more detail later in
25 this study.

1 The point that I'd like to make is that our
2 Application area lies on the boundary between Area 1
3 and Area 2. We have sufficient well development within
4 this area to be able to have a better idea of where
5 this transition occurs between Area 1 and Area 2,
6 although it is very complex, and it is very difficult
7 to pinpoint exactly where it is. You can define it as
8 finding wells that are in the Area 1 high-pressure side
9 and wells that are in Area 2 on the low-pressure side
10 that don't produce water.

11 So I think with that, I wanted you to be
12 aware that what we're going to be talking about has
13 been known for a number of years. It's been a very
14 complex part of the Basin Fruitland Coal that I guess
15 companies are beginning to learn more and more about.
16 It's not something new that we've totally discovered,
17 but it is something that we are beginning to learn more
18 about.

19 Q. Mr. Hawkins, are you familiar with the
20 Application filed by Meridian in Case 10,588, in which
21 Meridian was also seeking an unorthodox well location
22 in the Fruitland Coal?

23 A. Yes.

24 Q. And where, generally speaking, in this field
25 was that unorthodox location?

1 A. It was on this boundary between Area 1 and
2 Area 2 as well.

3 Q. And are you aware that Conoco has recently
4 been considering a similar application?

5 A. Yes.

6 Q. And where is that located?

7 A. It is also on the boundary of this Area 1 and
8 Area 2.

9 Q. In your opinion, do these recent proposals
10 indicate a desire on the part of the industry to
11 abandon spacing requirements in the Fruitland Coal
12 Pool?

13 A. Absolutely not. We feel like that the well-
14 location requirements in the Basin Fruitland Coal Pool
15 are there for a reason, to protect correlative rights
16 and to promote orderly development.

17 But along these boundaries I think there are
18 some very unique conditions that may require deviation
19 from those location requirements.

20 Q. Is your engineering study on this portion of
21 the field contained in what has been marked as Amoco
22 Exhibit Number C?

23 A. Yes.

24 Q. Or letter C. Can you go to that exhibit now
25 and identify the first document in that portion of your

1 exhibit package?

2 A. Okay, the first document is really a copy of
3 the Application that was filed in this case. If we
4 skip through about the first four pages, we'll come to
5 what's marked as Exhibit Number 1, and that's a plat
6 showing the Section 25 and the offset operators in this
7 -- that will be affected by this Application.

8 You'll notice that Meridian Oil, Inc., and
9 Conoco, Inc., both show as offset operators, and they
10 have been noticed in this Application of our intent to
11 ask for an unorthodox location for the Fields A-21-R
12 well.

13 Q. And this exhibit shows the two proposed
14 standup units in Section 25?

15 A. Yes, they do.

16 Q. It also indicates the exact footage location
17 for the proposed Fields A-21-R well?

18 A. Yes, that is 820 feet from the north line and
19 1820 feet from the west line of Section 25, Township 32
20 north, Range 11 West.

21 Q. So basically, Mr. Hawkins, what we have here
22 is a standard setback from the outer boundary in
23 accordance with the Basin Fruitland Coal rules, but
24 we're in the wrong quarter section?

25 A. That's correct.

1 Q. Let's go to what is marked Exhibit 2 in this
2 portion of your exhibit package.

3 A. Exhibit 2 is simply a plat map of the nine
4 sections in the vicinity of Section 25, and we show all
5 of the Basin Fruitland Coal wells that have been
6 drilled in this area, and also our proposed location
7 for the Fields A-21 replacement well.

8 I would draw your attention to a couple of
9 things on this map. On the north -- Just to the north
10 of our proposed replacement well is -- are a couple of
11 Amoco wells. The Barnes Gas Com A Number 1 appears to
12 be in Section 23, in the top left corner, and it shows
13 two well symbols. In fact, what we have here is a well
14 that was drilled originally and cased, and then
15 subsequently sidetracked and completed open-hole with
16 cavitation. So it isn't just a misprint on the map.

17 Again, in Section 24, immediately north,
18 there's the Barnes Gas Com D Number 1 that was drilled,
19 cased, and then subsequently sidetracked and completed
20 open-hole. And in fact, the A -- the well in Section
21 25, the Fields A-20 is also a well that was drilled,
22 cased and then subsequently sidetracked and completed
23 open-hole.

24 The other things to note, I guess, is that in
25 Section 30, immediately to the east, is the Hamilton

1 Mesa Limited Partnership well. This was taken over by
2 Conoco and actually redrilled as the Hamilton Federal
3 3-R, and it was redrilled so that it could be drilled
4 as an open-hole well, as opposed to a cased-hole well.

5 Q. The proposed well is actually located in the
6 Basin Fruitland Coal Gas pool; is that correct?

7 A. That's correct.

8 Q. And how close are we, actually, to the Cedar
9 Hill Pool?

10 A. I think the Cedar Hill Pool boundary is on
11 the township here between 32 -- excuse me, 11 West and
12 10 West, which would be immediately there between
13 Section 25 and Section 30.

14 Q. Mr. Hawkins, let's go now to the next page in
15 Exhibit C, and I'd ask you to identify this and then
16 review it for Mr. Catanach.

17 A. Okay, the next page is a contour map, based
18 on current rate in MCF per day, and I'd like to draw a
19 couple of things to your attention.

20 First, on this map we see posted by the well
21 symbol a -- the current rate that each of those wells
22 is making.

23 And as you look from the southwest portion of
24 this map, you'll see that wells generally make a
25 hundred MCFD or less, and as you get to the first dark

1 blue color contour, that is contoured on 1 million
2 cubic feet per day. And to the right of that line,
3 wells generally are producing 1 million to 2 million
4 cubic feet per day. And in fact, in Section 24, the
5 well that just is immediately offset of our proposed
6 location is producing about 7 million cubic feet per
7 day.

8 This dark blue contour represents a
9 reasonable expectation of where this boundary between
10 Area 1 and Area 2 occurs. And you can see that there's
11 a dramatic difference in production capability of the
12 wells that are on the northeast of this boundary, this
13 1-million-a-day line, and the wells that are on the
14 southwest of that line in Area 2.

15 The other things that are different in terms
16 of production from these two areas is that the wells on
17 the northwest in Area 1 generally produce water with
18 the gas, and the wells in the southwest in Area 2 do
19 not produce water with the gas.

20 The other point of interest, I guess, is that
21 the wells on the north side in Area 1, or northeast
22 side, generally have a higher pressure, with a pressure
23 gradient on the order of .45, maybe, to .5. The wells
24 on the southwest in Area 2 have a lower pressure with a
25 pressure gradient on the order of .3.

1 Q. The well in Section 24 is operated by
2 Meridian, is it not?

3 A. That's correct.

4 Q. And you have located the location of the
5 replacement well with a red well spot?

6 A. Yes, that's right.

7 Q. What do you attribute these variations in
8 well-producing characteristics to?

9 A. Well, there's a number of factors that
10 contribute to the differences in production, but by far
11 and away the most dramatic characteristic that's
12 driving that production is permeability.

13 There is a -- probably a tenfold increase in
14 permeability from the southwest to the northeast, from
15 Area 2 to Area 1, in this -- at least along this
16 boundary.

17 The other things that are changing are,
18 again, the pressures, I talked about, and that -- You
19 might be able to get a -- maybe double the pressure
20 drawdown from wells that are on the northern -- you
21 know, Area-1 portion of this field, as opposed to wells
22 that are in the southwest Area 2 portion of the field.

23 Q. The primary factor is permeability?

24 A. Yes, that's right.

25 Q. And you would be in agreement, then, with the

1 testimony presented by Meridian on September 17th in
2 that regard?

3 A. That's correct.

4 Q. Let's go to the next page in Exhibit C.
5 Could you identify that, please?

6 A. Yes, Exhibit C is a contour map on cumulative
7 production.

8 Q. What is the scale, now, that you've used
9 here?

10 A. The scale is not shown on the map, but in the
11 legend it does say contour interval equal to 200. That
12 200 is 200 million cubic feet of gas produced.

13 And as you get from the very light colors on
14 the southwest you again see a transition or a marked --
15 the first contour where it turns dark yellow, 200
16 million cubic feet of gas produced, and as you get to
17 the orange color, that is the 1 BCF cumulative
18 production line.

19 So what you see in Section 25 is again a
20 pretty dramatic indication of where this transition is
21 occurring from Area 1 to Area 2, and wells to the
22 northeast being much more prolific and having higher
23 cumulative production.

24 Also shows pretty dramatically that the well
25 in the southwest of Section 24, immediately offset of

1 our replacement well, has cum'd close to 4 BCF of
2 production and is, in our opinion, fully capable of
3 draining reserves out of our spacing unit in the west
4 half of Section 25.

5 Q. If the Application today is not approved and
6 a replacement well drilled, would there be any way for
7 Amoco to offset drainage to 24 with the existing wells
8 in Section 25?

9 A. No, there would not. Our only way to offset
10 that drainage is to drill this replacement well.

11 You note that our well, the A-21 down in the
12 southwest of 25, shows a cumulative production of about
13 59 million cubic feet of gas. We've calculated the
14 expected ultimate recovery for this well to be 340
15 million cubic feet of gas to an economic limit of 10
16 MCFD. So its ultimate recovery will be way lower than
17 any of the wells on the northern -- in Area 1, and in
18 particular, the well that's in Section 24.

19 Q. Let's move on to the next page in this
20 exhibit, marked 5. Would you identify that for Mr.
21 Catanach?

22 A. Yes, Exhibit 5 shows the -- again, the nine
23 sections broken into spacing units. And typed into
24 each of these spacing units is the calculated gas in
25 place in BCF over the entire 320 acres.

1 You'll -- Let's look at Section 25. Our
2 Fields A-21 well, the west half of Section 25, has
3 calculated 12.3 BCF of gas in place within that spacing
4 unit. You'll recall we expect the ultimate recovery of
5 the A-21 well to be only 340 million cubic feet of gas,
6 or about three percent of the gas in place.

7 The other point I would draw is that the gas
8 in place in our section, you can see in all of Area 1,
9 is typically greater than that in Area 2, or at least
10 in this case it is. There's a couple of things that
11 are driving that.

12 One is that there is some changes in
13 thickness as you look at the net feet of coal moving
14 from the southwest to the northeast.

15 There's also a change in pressure, as we
16 talked about, which would affect the amount of gas
17 that's in place within the coal.

18 Q. Basically, what this shows is that if you're
19 unable to drill an additional well, that you're only
20 going to recover three percent of the gas in place in
21 the west half of Section 25?

22 A. That's correct.

23 Q. As part of your study did you determine
24 whether or not there was a geologic reason for the
25 variations in producing capabilities?

1 A. We've conducted a study. I worked with one
2 of the geologists in Amoco, and I asked him to prepare
3 some exhibits for us to evaluate, is there any way for
4 us to predict where this transition occurs or why it's
5 occurring, based on typical geologic exhibits?

6 And we have prepared three exhibits for you
7 to look at on that, if you'd like to turn to the next
8 exhibit.

9 Q. And what is this?

10 A. Okay, this is a map of net coal thickness,
11 and let me just generally describe to you what we see
12 here.

13 Over the nine sections, as we move from the
14 far southwest we see coal thicknesses of around 43 --
15 you know, low 40 feet of coal. And move towards the
16 northeast, we see this net coal thickness increasing up
17 to about 90 feet. So there is a gradual change across
18 this area, increasing coal thickness as you move to the
19 northeast.

20 But if you look in the vicinity of Section
21 25, and in particular kind of -- You see some dashed
22 lines on this map. That is going to be describing a
23 cross-section we'll look at in just a little bit.

24 The net feet of coal around Section 24 and
25 Section 25 generally ranges from the mid-seventies to

1 the mid-eighties. It's fairly consistent in that area.

2 And we could just look at a few of the wells
3 here. First would be -- We show the Primo Mudge well
4 in the southwest of 24 -- that's the Meridian well --
5 at 86 feet of coal. And you'll recall that is in Area
6 1, one of the higher-pressure, better-rate, higher-
7 permeability wells.

8 And then moving down to the Fields A-20,
9 which is in the northeast of 25, we have about 76 feet
10 of coal.

11 We then move over to what we have identified
12 as the Fields 14 well. That is a Picture Cliffs well
13 that we have a log, and we can look at the coal in that
14 log, and it again has about 74 feet of coal.

15 And then move down to the A-21 well, which is
16 our low -- we know in Area 2 it's a lower-pressure,
17 low-permeability well, has about 74 feet of coal,
18 pretty similar to the Fields A-20, although production
19 there is dramatically different.

20 And then if we move back again to the
21 northeast -- or excuse me, northwest, we see the Barnes
22 Gas Com E well at about 86 feet of coal, identical to
23 the Meridian well, but it is in the Area-2 side of the
24 reservoir and has much poorer permeability and lower
25 producing rate.

1 So the conclusion we draw from this net coal
2 thickness is that in the general area that we're
3 interested in, the coal is relatively constant at about
4 75 to 85 feet thick. It is not -- Thickness is not one
5 of the important factors in determining productivity in
6 this area. And in fact, you could not predict where
7 the transition between Area 1 and Area 2 lie on the
8 basis of thickness.

9 Q. All right. Let's go now to your structure
10 map, Exhibit Number 7. Review that for the Examiner.

11 A. Exhibit Number 7 is a structure map on the
12 Picture Cliffs structure. In this area, Picture Cliffs
13 sandstone lies immediately below the Fruitland Coal
14 seams, and so it does provide a consistent picture to
15 see where are the coals sitting on, and is there any
16 structural relief that would cause some change in
17 reservoir characterization.

18 What you see is a gently dipping structure
19 change from the east to the west of about 80 feet over
20 three miles. So it is basically flat in this area.
21 There is no dramatic structural relief that would --
22 that you could tie to a change in reservoir
23 characteristics.

24 Q. Now, let's go to the cross-section, Exhibit
25 Number 8. Would you review that for Mr. Catanach?

1 A. Exhibit Number 8 -- let's open it up -- is a
2 big cross-section. It shows about six wells, and you
3 might want to look at that net coal thickness map in
4 conjunction with this, because it does show the wells
5 that are tied in on the cross-section.

6 If you look at the coal thickness map, this
7 cross-section is shown from -- The first well is the
8 Barnes 6A, which is a PC well located in the southeast
9 of Section 23, and it shows about 83 feet of coal.

10 On the structure map I draw your attention to
11 the well on the far left. That on the far right-hand
12 track is the density log associated with that well, and
13 we've highlighted in dark black the net coal less than
14 two grams per cc, and that shows up very clearly where
15 the coal seams lie in this well.

16 Now, if we move along the cross-section to
17 the Meridian well, the Primo Mudge 100, that's the next
18 well immediately adjacent. It shows again the coal
19 seams on the density log. They are easily
20 correlatable. There's no dramatic change in the coal
21 seams as you go from one well to the next. And as you
22 follow this around, we'll follow it through the same
23 wells that I discussed in terms of thickness when we
24 looked at the coal thickness map.

25 The third well over is the Fields A-20 well.

1 It shows similar deposition of the coals. There is a
2 channel sand occurring between the bottom two packages
3 of coal that we've marked as Fruitland A and Fruitland
4 B. You can see about 50 feet of sand deposited there,
5 which is a channel sand.

6 But the point being is that both the Mudge
7 well, 100 Mudge well, and the Fields A-20 well are both
8 in Area 1. There is not a dramatic change in terms of
9 thickness or structure here.

10 And then as you begin to move, now, to the
11 next wells over, we're going to go into the south, Area
12 2, where the wells' productivity is much lower and the
13 permeability is much higher, and yet there is still no
14 dramatic change at all on the cross-section in how the
15 coals were deposited or the correlatability of those
16 coals.

17 The next well over is the -- which is the
18 fourth well -- is the Fields 14. It's a PC well,
19 located in the northwest of Section 25.

20 The fifth well is the Fields A-21 well, which
21 is the well we're going to be replacing, and you can
22 see that coal stratigraphy is still very similar.
23 There is some deposition of channel sand occurring in
24 the Fruitland B interval, but it is not a dramatic
25 change that would cause you to go from Area 1 to Area

1 2. It's simply the channel sands that are deposited in
2 the Fruitland.

3 And the last well over is the Barnes Gas Com
4 E, which is located in the northeast of Section 26.
5 And again it shows about 86 feet of net coal, without a
6 dramatic difference in terms of how the stratigraphy
7 lies or how the wells -- how you correlate the coals.

8 Q. If you look at this cross-section, you've
9 indicated the coal by shading it in black?

10 A. That's correct, on the far right-hand track
11 of the density log.

12 Q. Looking at this exhibit, do you see anything
13 in terms of these coal zones that would appear to you
14 to be anything other than normal variations or regular
15 variations that you would anticipate in this?

16 A. Absolutely not. This looks -- is very
17 typical, as you move across an area of a couple of
18 miles within the Fruitland Coal.

19 Q. If we look back at the net pay map, Exhibit
20 Number 6, we have the second and last well on this
21 cross-section both showing a thickness of 86 feet; is
22 that correct?

23 A. That's correct.

24 Q. And how do they compare in terms of their
25 producing capabilities?

1 A. The producing capability of the Primo Mudge
2 well 100 -- it's in the southwest of 24, it has 86 feet
3 of coal -- is about 100 times the producing capability
4 of the Barnes Gas Com E well with 86 feet of coal
5 located in the northeast of Section 26.

6 Q. Based on your review of this information, do
7 you see any geologic basis that would explain the
8 transition which is occurring between the Area-1 and
9 Area-2 portions of the Basin Fruitland Coal at this
10 point?

11 A. Nothing that could be picked out on these
12 typical geological exhibits.

13 Q. So basically, you're still back at looking at
14 changes in permeability?

15 A. That's correct.

16 Q. What plans does Amoco have for the well that
17 is currently producing in the southwest quarter of
18 Section 25?

19 A. At this point we would continue to produce
20 the well while we drill our replacement well. But once
21 we complete that replacement well as a commercial
22 producer, we would stop production from the Fields A-21
23 well, utilize that as a monitor well to observe changes
24 in pressure within the reservoir and maybe help us
25 determine a little bit more about this transition zone

1 and, you know, what it really represents.

2 Q. Mr. Hawkins, is Exhibit D an affidavit
3 confirming that notice of today's hearing has been
4 provided to both Conoco and Meridian, the offsetting
5 operators?

6 A. Yes, it has.

7 Q. And have you received any response from
8 either Conoco or Meridian to this notification?

9 A. Well, Conoco has an interest in this well,
10 and so they would be participating or at least have the
11 option to participate in this redrill.

12 We have heard from Meridian, and they have
13 indicated they have no objection to our Application.

14 Q. How soon does Amoco propose to drill this
15 well?

16 A. We want to drill it before the end of the
17 year.

18 Q. Do you request that the Order in this case be
19 expedited to the extent possible?

20 A. Yes, I would. This is a federal tract, and
21 we have processed a notice of staking for the
22 replacement well, but I think in order for the BLM to
23 process a permit to drill, we're going to need an
24 approved unorthodox location from the State, before
25 they'll proceed with that.

1 MR. CARR: Mr. Catanach, if you desire, we'll
2 be happy to submit a proposed order in this case. It
3 would be modeled after the order that you entered in
4 the Meridian case a few weeks ago for the presentation,
5 in fact is modeled after that.

6 EXAMINER CATANACH: Okay.

7 Q. (By Mr. Carr) Mr. Hawkins, will approval of
8 this Application prevent waste and protect correlative
9 rights?

10 A. Yes, it will.

11 Q. How will it prevent waste?

12 A. It will allow recovery of the majority of the
13 gas in place under the west half of Section 25, as
14 opposed to right now we're only going to recover about
15 three percent of the gas in place in that spacing unit.

16 And it will also protect our spacing unit
17 from drainage that is occurring from the Meridian well
18 to the north.

19 Q. Do you believe you'll be gaining an advantage
20 on the Meridian well to the north?

21 A. Absolutely not. The Meridian well to the
22 north is producing at about 7 million cubic feet a day,
23 one of the best wells in the pool. I think we would be
24 lucky to get a well that would produce 1 to 2 million
25 cubic feet of gas per day. And it will help protect

1 our acreage, but it will not gain an advantage on the
2 Meridian well.

3 Q. Were Amoco Exhibits A through D either
4 prepared by you or compiled under your direction?

5 A. Yes, they were.

6 MR. CARR: At this time, Mr. Catanach, we
7 would move the admission of Amoco Exhibits A through D.

8 EXAMINER CATANACH: Exhibits A through D will
9 be admitted as evidence.

10 MR. CARR: That concludes my direct
11 examination of Mr. Hawkins.

12 EXAMINATION

13 BY EXAMINER CATANACH:

14 Q. Mr. Hawkins, is there a method to measure the
15 permeability in the coal?

16 A. The method that -- There are two methods, I
17 guess, to measure permeability. One is to attempt to
18 do such under pressure buildup analysis within your
19 well. The other would be to attempt to model from a
20 reservoir model the production history in the area and
21 then get a better refinement on permeability in the
22 area around that well.

23 I think if you do a pressure buildup
24 analysis, you're probably going to be influenced by
25 whatever stimulation you've done on the well, whether

1 it be fracture or cavitation. And it may not give you
2 an idea of what the permeability is, you know, some
3 distance away from your wellbore, but certainly what's
4 controlling your ultimate recovery.

5 Q. Are all of these wells that have been
6 completed in the coal in this area -- Have they all
7 been similarly completed?

8 A. Generally in the Area 1, high-pressured area,
9 these wells are all completed open-hole. I pointed out
10 a number of the wells that were originally drilled and
11 cased and frac'd and then subsequently sidetracked or
12 replaced and completed as open-hole completion.

13 Generally, the wells on the Area-2 side have
14 been fracture-stimulated to try to improve
15 productivity.

16 I think we're beginning to see that in the
17 Area-1 portion of the field, the open-hole completion
18 is the best completion we can make, and that in Area 2
19 the casing frac is probably as good as you can do.

20 Q. The Fields A Number 21 was completed open-
21 hole?

22 A. No, it was cased and frac'd.

23 Q. Cased and frac'd.

24 A. We have looked at what would be the potential
25 if we were to re-drill this well and complete it open-

1 hole, and our conclusions are that given the low
2 permeability on this side of the reservoir, you would
3 not achieve a significantly different well, whether you
4 contemplated it cased-and-frac or open-hole, that the
5 productivity and the ultimate recovery in this part of
6 the field is not driven by completion technique but by
7 the reservoir characteristics that exist in that part
8 of the field and, in this case, permeability, which is
9 so dramatically lower than in Area 1.

10 Q. Now, you say that permeability is so much
11 lower. Have you actually done some tests to confirm
12 that, or is it just due to the productivity, you're
13 just assuming that it's lower?

14 A. Well, it's primarily due to the productivity.
15 We have done some pressure-buildup testing. I know
16 we've estimated the permeability to be on the order of
17 .1 millidarcies in this general area.

18 But I think the productivity of the wells
19 clearly is telling you that permeability is
20 dramatically lower than the wells to the north.

21 Just to look at it simply, we know that
22 productivity is a function in this area of two main
23 things: permeability and pressure drop. Well, there
24 is some difference in pressure between Area 1 and Area
25 2, and that pressure drop can probably be increased by

1 a factor of two as you move from Area 1 to Area 2.

2 For instance, in Area 1, shut-in pressures,
3 reservoir pressures, are on the order of 1200 pounds
4 and line pressure on the order of 200 pounds. So you
5 can get a pressure drop of about 1000 pounds to
6 contribute to your productivity, okay?

7 In Area 2, reservoir pressures are about 800
8 pounds and line pressures are about 200 pounds, so you
9 get a pressure drop of about 600 pounds to contribute
10 to your productivity.

11 So you can almost double that pressure drop,
12 and that may contribute a doubling in producing rate.

13 But we see producing rates increasing on the
14 order of 10 to 100 in this area.

15 So the other increase there is driven only by
16 permeability.

17 That's a factor of five to ten, you know,
18 bigger permeability, larger permeability. Maybe a
19 factor of 50 in the case of the Mudge well and the well
20 directly to the southeast in Section 26. I think
21 that's the Barnes Gas Com E. Those are the two wells
22 with the same feet of thickness, 86 feet. The pressure
23 drops there probably account for a twofold change in
24 production, but there's a hundredfold increase in
25 productivity, so there must be a fiftyfold increase in

1 permeability between those two wells.

2 MR. STOVALL: Just to follow up on that,
3 you're saying -- You're basing your permeability
4 assumptions on production, but is it not also based
5 upon the study that you presented as Exhibit B and
6 the -- the in-depth part of that, pulling those
7 conclusions together?

8 THE WITNESS: Well, I think --

9 MR. STOVALL: Does that help -- Does that
10 help you get there? I guess that's my --

11 THE WITNESS: No, I don't really think it
12 does.

13 In the study that was done by the Coalbed
14 Methane Committee, the reservoir work that was
15 conducted in terms of modeling work and history
16 matching was conducted on Cedar Hill field, which is in
17 the Area-1 portion of the field, and also the Tiffany
18 area, which is up in Colorado, and it doesn't focus on
19 anything in Area 2. So there was no history matching
20 performed in Area 2 by the Coalbed Methane Committee.

21 But what it does tell us is that -- It gives
22 us an idea of what the permeabilities are in Area 1 or
23 what range of values you might look to. And generally,
24 in Area 1, you look to a permeability of 5 to 10
25 millidarcies.

1 In this case, I think we've got 5 to 10
2 millidarcies in this area. And then as you cross into
3 Area 2, you drop down to the order of .1 millidarcies,
4 something like that, at least in this portion of Area
5 2.

6 Elsewhere in Area 2, it may increase a little
7 bit, but I still think you're going to see a dramatic
8 change in permeability between these two areas.

9 Q. (By Examiner Catanach) Mr. Hawkins, in terms
10 of recoveries, what did you estimate the Fields A-21
11 will recover?

12 A. About 340 million cubic feet of gas.

13 Q. And if you were to be authorized to drill
14 your new well, have you estimated recoveries from that
15 well?

16 A. Well, without having drilled it, it would be
17 very difficult. Our best guess would be to apply a
18 recovery factor of about 60 percent or so on the gas in
19 place, and that would give us -- of the 12 BCF in
20 place, you know, it may be an opportunity to recover 7
21 BCF.

22 You'll note that the Meridian well that
23 offsets us has already recovered about 4 BCF of gas and
24 is still producing at a significantly higher rate than
25 any well in the area.

1 Q. And it's your contention that that Meridian
2 well is in fact draining the west half of your section?

3 A. Yes, it is.

4 EXAMINATION

5 BY MR. STOVALL:

6 Q. One quick one, just a little technical -- On
7 your structure, I think you've testified that it's
8 dipping from east to west. Are these elevations subsea
9 or above sea?

10 A. They're subsea.

11 Q. They are subsea? Okay.

12 A. Well, I guess they're not. They are above.
13 So you're right, they are not subsea.

14 Q. So the higher number would be a higher
15 elevation, right?

16 A. That's correct.

17 Q. So it dips from west to east? Is that --

18 A. Yes.

19 Q. Okay, I just wanted to --

20 A. Sorry about that.

21 Q. Somebody may come along and question that,
22 because we're so used to subsea --

23 A. Right.

24 Q. -- they might assume that that's correct.

25 The other question, as far as BLM processing,

1 will they go all the way through their processing up to
2 the point of issuing the APD even without an order, or
3 do they just stop processing until you get an order?

4 A. To be real honest, I don't know. I know
5 we're working with them to try to expedite the approval
6 for this well, and it's just my opinion that they will
7 get to a point where they can move no further if we
8 don't have an approval by the State to --

9 Q. But they can do surface work up to that
10 point; is that correct?

11 A. I think that's correct, and we're proceeding
12 with notice of staking and that type of work.

13 FURTHER EXAMINATION

14 BY EXAMINER CATANACH:

15 Q. Mr. Hawkins, is it your opinion that the new
16 proposed well will adequately drain the west half of
17 that section?

18 A. If we get it into the Area-1 portion of the
19 reservoir, I have no doubt that it will adequately
20 drain that west half of the reservoir. I think there
21 is still some risk of where exactly that boundary lies.
22 We can tell, when you have a good well or a bad well,
23 so to speak, whether it's in Area 1 or Area 2. But
24 exactly where the transition lies between those two
25 wells is still uncertain.

1 Q. This is a federal lease; is that right?

2 A. That's correct.

3 Q. And it's commonly owned?

4 A. Yes, it's a common lease over the entire
5 section, and so the acreage rededication will have
6 absolutely no impact on anyone's ownership or
7 correlative rights within the section.

8 Q. Is Meridian the only working-interest owner?
9 I mean Amoco?

10 A. Amoco and Conoco.

11 Q. Amoco and Conoco.

12 EXAMINER CATANACH: I believe that's all I
13 have. That's all the questions we have.

14 MR. CARR: We have nothing further, Mr.
15 Catanach.

16 EXAMINER CATANACH: Okay, there being nothing
17 further in this case, Case 10,593 will be taken under
18 advisement.

19 (Thereupon, these proceedings were concluded
20 at 8:55 a.m.)

21 * * *

22

23

24

25

1 CERTIFICATE OF REPORTER

2


3 STATE OF NEW MEXICO)
) ss.
 4 COUNTY OF SANTA FE)

5

6 I, Steven T. Brenner, Certified Court
 7 Reporter and Notary Public, HEREBY CERTIFY that the
 8 foregoing transcript of proceedings before the Oil
 9 Conservation Division was reported by me; that I
 10 transcribed my notes; and that the foregoing is a true
 11 and accurate record of the proceedings.

12 I FURTHER CERTIFY that I am not a relative or
 13 employee of any of the parties or attorneys involved in
 14 this matter and that I have no personal interest in the
 15 final disposition of this matter.


16 WITNESS MY HAND AND SEAL November 14, 1992.

17 
 18 STEVEN T. BRENNER
 19 CCR No. 7

20 My commission expires: October 14, 1994

21

22 I do hereby certify that the foregoing is
 23 a complete record of the proceedings in
 the Examiner hearing of Case No. 10593,
 24 heard by me on November 5 1992.

25 
 _____, Examiner
 Oil Conservation Division