

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

STATE OF NEW MEXICO
ENERGY, MINERALS AND NATURAL RESOURCES DEPARTMENT
OIL CONSERVATION DIVISION
CASE 10,618, 10,619

EXAMINER HEARING


IN THE MATTER OF:

Application of Siete Oil and Gas Company for
statutory unitization, Eddy County, New Mexico

Application of Siete Oil and Gas Company for
approval of a waterflood project, Eddy County, New
Mexico

TRANSCRIPT OF PROCEEDINGS

BEFORE: DAVID R. CATANACH, EXAMINER



STATE LAND OFFICE BUILDING

SANTA FE, NEW MEXICO

December 3rd, 1992

A P P E A R A N C E S

FOR THE DIVISION:

ROBERT G. STOVALL
Attorney at Law
Legal Counsel to the Division
State Land Office Building
Santa Fe, New Mexico 87504

FOR THE APPLICANT:

PADILLA & SNYDER
Attorneys at Law
By: ERNEST L. PADILLA
200 West Marcy, Suite 216
P.O. Box 2523
Santa Fe, New Mexico 87504-2523

FOR SANTA FE ENERGY OPERATING PARTNERS, L.P.
(Appearance entered - not present herein):

HINKLE, COX, EATON, COFFIELD & HENSLEY
Attorneys at Law
By: JAMES G. BRUCE
218 Montezuma
P.O. Box 2068
Santa Fe, New Mexico 87504-2068

* * *

	I N D E X	
		Page Number
1		
2		
3	Appearances	2
4	Exhibits	4
5	GENE SHUMATE	
6	Direct Examination by Mr. Padilla	7
7	Examination by Mr. Stovall	24
8	Examination by Examiner Catanach	25
9	Further Examination by Mr. Stovall	26
10	BRUCE USZYNSKI	
11	Direct Examination by Mr. Padilla	27
12	Examination by Examiner Catanach	42
13	ROBERT LEE	
14	Direct Examination by Mr. Padilla	46
15	Examination by Examiner Catanach	78
16	Examination by Mr. Stovall	85
17	Certificate of Reporter	104
18	* * *	
19		
20		
21		
22		
23		
24		
25		

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

E X H I B I T S

APPLICANT'S EXHIBITS:

Exhibit 1	8
Exhibit 2	15
Exhibit 3	15
Exhibit 4	15
Exhibit 5	20
Exhibit 6	21
Exhibit 7	22
Exhibit 8	22
Exhibit 9	23
Exhibit 10	23
Exhibit 11	23
Exhibit 12	17

* * *

1 WHEREUPON, the following proceedings were had
2 at 1:20 p.m.

3

4 EXAMINER CATANACH: At this time we'll call
5 Case 10,618.

6 MR. STOVALL: Application of Siete Oil and
7 Gas Company for statutory unitization, Eddy County, New
8 Mexico.

9 EXAMINER CATANACH: Are there appearances in
10 this case?

11 MR. PADILLA: Mr. Examiner, my name is Ernest
12 L. Padilla, Padilla & Snyder, Santa Fe, for the
13 Applicant in this case.

14 And I also request that the case for
15 waterflood, Case 10,619, also be called at this time.

16 EXAMINER CATANACH: At this time we'll call
17 Case 10,619.

18 MR. STOVALL: Application of Siete Oil and
19 Gas Company for approval of a waterflood project, Eddy
20 County, New Mexico.

21 MR. PADILLA: Mr. Examiner, we move that both
22 of these cases be consolidated for hearing and separate
23 orders be issued.

24 EXAMINER CATANACH: Okay, Mr. Padilla.

25 Are there any additional appearances in

1 either of these cases at this time?

2 Okay.

3 MR. PADILLA: Mr. Examiner, I believe Jim
4 Bruce filed an entry of appearance yesterday in this
5 case. He said he would not be here today but he did
6 file an entry of appearance.

7 MR. STOVALL: He did not file a pre-hearing
8 statement. That would have been -- It was just a
9 written --

10 EXAMINER CATANACH: Yeah, and I saw it --

11 MR. STOVALL: Probably in the case file.

12 EXAMINER CATANACH: Maybe, maybe not.

13 MR. PADILLA: I have a copy of it if you'd
14 like to see it.

15 EXAMINER CATANACH: Let the record reflect
16 that Mr. Jim Bruce of the Hinkle firm has entered an
17 appearance in this case on behalf of Santa Fe Energy
18 Operating Partners, L.P.

19 MR. PADILLA: Mr. Examiner, I have three
20 witnesses.

21 EXAMINER CATANACH: Will the three witnesses
22 please stand and be sworn in?

23 (Thereupon, the witnesses were sworn.)

24 MR. PADILLA: We'll call Gene Shumate at this
25 time.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

GENE SHUMATE,

the witness herein, after having been first duly sworn upon his oath, was examined and testified as follows:

DIRECT EXAMINATION

BY MR. PADILLA:

Q. Mr. Shumate, for the record please state your name.

A. Gene Shumate.

Q. Mr. Shumate, are you a petroleum landman?

A. Yes, sir.

Q. And have you previously testified before the New Mexico Oil Conservation Division and had your credentials accepted as a matter of record as a petroleum landman?

A. Yes, sir.

Q. Have you prepared or had compiled under your supervision certain land exhibits for introduction at this hearing today?

A. Yes, I have.

Q. Would you first tell the Examiner briefly what is it that you have compiled in terms of land exhibits?

A. For land exhibits today, we have put together the unit -- proposed unit agreement, proposed unit operating agreement, and various other documents as far

1 as mailings, et cetera.

2 MR. PADILLA: Mr. Examiner, we tender Mr.
3 Shumate as an expert petroleum landman.

4 EXAMINER CATANACH: Mr. Shumate is so
5 qualified.

6 Q. (By Mr. Padilla) Mr. Shumate, would you
7 briefly describe what Siete is seeking by its
8 Applications here today?

9 A. We're seeking approval for the Parkway-
10 Delaware waterflood located in Eddy County, New Mexico,
11 covering approximately 920 acres in portions of Section
12 26, 35 and 36, Township 19 South, Range 29 East, and
13 Section 2 of Township 20 South, Range 29 East, Eddy
14 County, New Mexico.

15 Q. Mr. Shumate, let's get right into the
16 exhibits and go into Exhibit Number 1 that has been
17 marked as an exhibit for Siete and have you tell the
18 Examiner what that is.

19 A. Exhibit 1 is our proposed unit agreement, the
20 unit operating agreement for the Parkway-Delaware
21 flood.

22 Q. Now, at the very top of that is a map. Is
23 that the map of the proposed unit?

24 A. Yes, sir.

25 Q. Is that also the map of the proposed

1 waterflood project?

2 A. Yes, sir, it is.

3 Q. And both have identical descriptions?

4 A. Yes.

5 Q. What follows that map?

6 A. Following it, the map, is a table that lists
7 each of the tracts, the legal descriptions for those
8 tracts, the federal or state lease number, record title
9 holder, the breakdown of the overriding royalty
10 interest and working interest by tract.

11 Q. Now, the map and this second series of pages
12 that are labeled Exhibit B, those are really Exhibit A
13 and Exhibit B to the unit agreement; is that correct?

14 A. Yes, sir.

15 Q. And that lists all the interest owners for
16 the working or royalty interests --

17 A. Yes, sir.

18 Q. -- and overrides?

19 A. Yes, sir.

20 Q. Okay. Let's go on to the third item in that
21 exhibit, and tell us what it contains.

22 A. The third item is the unit operating
23 agreement for the proposed Parkway-Delaware. It
24 provides for how operations and -- names the operator,
25 provides for the operations of the unit.

1 Q. Does that define the rights and duties of the
2 working interest owners in the proposed unit?

3 A. Yes, it does.

4 Q. Does that also identify how costs and
5 expenses are going to be shared amongst the working-
6 interest owners?

7 A. Yes.

8 Q. And does that have a procedure for voting in
9 terms of how -- what is going to be done as far as
10 operating the unit?

11 A. Yes, sir.

12 Q. Tell us how that currently is going to be
13 done in terms of voting and that sort of thing and
14 carrying out certain aspects of the unit and its
15 operations.

16 A. The unit agreement, as it stands right now,
17 as proposed, provides for 85-percent approval of the
18 parties for a new project.

19 That will be amended by the parties. We've
20 verbally agreed with the major working interest owners
21 to amend that portion of the agreement.

22 Q. The exhibit here calls for 85 percent?

23 A. Yes, sir.

24 Q. And you've agreed with everyone else to
25 change that to 65 percent?

1 A. To 65 percent.

2 Q. Does the unit operating agreement also
3 contain the customary COPAS that is contained in most
4 operating agreements?

5 A. Yes, sir, it does.

6 Q. And that's the standard COPAS that is used by
7 the oil and gas industry?

8 A. Yes, sir.

9 Q. What else does that -- the unit operating
10 agreement have in terms of attachments to it?

11 A. You've got your Exhibit A, which once again
12 is a breakdown of the working interest owners.

13 Exhibit A-1, which is tract descriptions.

14 Your Exhibit B is an outline of the unit
15 area.

16 Q. And that's the same thing as the first map;
17 is that correct?

18 A. Yes, sir, it is.

19 Q. And --

20 A. Your accounting procedures we've previously
21 discussed, and then your insurance provisions.

22 Q. Does this unit operating agreement contain a
23 provision for nonconsenting working interest owners?

24 A. Yes, it does.

25 Q. And what -- where is that provision

1 contained?

2 A. That would be Article 11.5.

3 Q. And what does that say?

4 A. It provides for a 200-percent penalty.

5 Q. And is that the maximum allowed by law?

6 A. Yes, sir.

7 Q. And when you say 200-percent penalty, you're
8 saying proportionate oil costs plus 200 percent?

9 A. Yes.

10 Q. Now, do you have anything further to add to
11 your testimony concerning the unit operating agreement?

12 A. No, sir.

13 Q. Let's go on now to the final portion of
14 Exhibit Number 1, which is the unit agreement, and have
15 you identify for the Examiner the various aspects of
16 that.

17 And in particular I'd like for you to tell
18 the Examiner where is contained the vertical limits of
19 the pool or of the unit. In other words, what
20 intervals are you going to unitize?

21 A. The unit agreement provides in Article 2 the
22 depth limitations for the proposed unit, identified on
23 the electric log of the Osage Federal Number 1, being
24 50 feet above 3914 feet and 50 feet below 4288 feet.

25 Q. Mr. Shumate, is that generally 50 feet above

1 the Parkway-Delaware Pool and 50 feet below the pool,
2 as far as you know?

3 A. Yes.

4 Q. Okay. Your geologic witness is going to
5 testify more concerning the type log and that sort of
6 thing; is that correct?

7 A. Yes, he will.

8 Q. Where is the tract participation for the unit
9 agreement or for operation of the unit found in this
10 unit agreement?

11 A. That would be covered under Article 6, 6.1 in
12 particular.

13 Q. Can you briefly tell the Examiner how tract
14 participation will occur, even though your engineer is
15 going to be more elaborate on that?

16 A. Tract participation, it was jointly done,
17 Meridian, Santa Fe, Siete, through Platt, Sparks, went
18 in and picked the different zones, came up with
19 parameters which each party could agree to, and that
20 basically was breaking out producing sands to come up
21 with the participation factors.

22 MR. STOVALL: Mr. Padilla, would you hold on
23 for a minute here? My exhibit seems to be somewhat out
24 of -- Do you have all your parts, Mr. Examiner?

25 EXAMINER CATANACH: I'm not sure.

1 MR. STOVALL: Because as I go through my
2 exhibit, I'm on -- I've got the unit agreement, I've
3 got the cover sheet --

4 THE WITNESS: Are you missing 3?

5 MR. STOVALL: Article 2, I've got the start
6 of Article 3, references exhibits, my next page, first
7 full -- first article that starts the last page is
8 Article 8.

9 MR. PADILLA: Mine is the same way. is
10 that --

11 THE WITNESS: Yeah, that's a good copy there.

12 MR. STOVALL: Maybe what we can do is
13 substitute, make sure we take these out and get them
14 out of the case file, and we'll use the accurate one
15 to --

16 Q. (By Mr. Padilla) So there are a number --

17 A. Excuse me.

18 Q. So there are a number of parameters that go
19 into tract participation; is that right?

20 A. Yes, there are.

21 Q. And that relates to geology and cumulative
22 production or that sort of thing in terms of how you
23 ultimately arrived at that, correct?

24 A. Yes, sir.

25 Q. Mr. Shumate, have you had any meetings with

1 the Bureau of Land Management and the New Mexico
2 Commissioner of Public Lands in terms of getting
3 approval for this unit agreement?

4 A. Yes, sir, we have.

5 Q. And what has been the result of those
6 meetings?

7 A. We have received preliminary approval from
8 both Bureau of Land Management and the State.

9 Q. And that's in the form of Exhibits 3 and 4;
10 is that correct?

11 A. Yes, sir.

12 Q. I've skipped 2 momentarily, Mr. Shumate.

13 At this time I'd like for you to tell the
14 Examiner what efforts you have made to obtain voluntary
15 approval of this unit.

16 A. We have sent out the proposed unit agreement
17 to all the royalty interest owners and working interest
18 owners within the proposed unit.

19 Q. And when did you start doing that in writing?

20 A. July of 1992.

21 Q. In July of 1992, did you send to all of the
22 working interest owners and royalty owners what has
23 been marked as Exhibit Number 2?

24 A. Yes, sir, we did.

25 Q. And can you tell the Examiner what type of

1 joinder in terms of voluntary joinder you've obtained
2 since that time, both the working interests and royalty
3 interests?

4 A. To date we've received 61-percent approval of
5 the working interest owners.

6 We have approval for the project of 83
7 percent.

8 Santa Fe has yet to sign the agreement.
9 We're still negotiating on some major -- minor items,
10 and we anticipate being able to obtain that approval.

11 Q. Is a representative of Santa Fe present here
12 today?

13 A. Yes, sir.

14 Q. And you've continued to speak with Santa Fe
15 in terms of working out the minor problems that you
16 speak of?

17 A. Yes, we do.

18 Q. Do you anticipate that within six months of
19 an order by the Oil Conservation Division, that you
20 will have at least 75 percent of the working interest
21 owners approve?

22 A. Yes, sir. I really feel like we'll be at
23 probably be at 95 percent approved.

24 Q. Within six months?

25 A. Within the six months.

1 Q. Are there going to be some other five percent
2 or so that are not going to approve? Is that what
3 you're essentially saying?

4 A. We anticipate that probably four or five
5 percent will not approve the project, for whatever
6 reason.

7 Q. How about the royalty owners?

8 A. To date we've received 85 percent approval of
9 the royalty owners within the proposed unit.

10 Q. Is there anywhere where you have a listing of
11 those who have approved and those who have not approved
12 the unit in terms of both royalty and working interest
13 owners?

14 A. Yes, sir, within the brochure here --

15 Q. Exhibit -- ?

16 A. Exhibit 22.

17 Q. Exhibit 12, right?

18 A. Exhibit 12.

19 Q. Okay.

20 A. Yes, sir.

21 Q. Would you point to the Examiner where in
22 Exhibit 12 you have that list?

23 A. It would be under the section of figures,
24 Figure Number 22.

25 Q. And what is that Figure 22?

1 A. It's an exhibit that lists all the working
2 interest owners within our proposed unit, a breakdown
3 by tract of their working interest.

4 On the right-hand side you'll see their total
5 percentage within the unit, and under the "Approved"
6 column where there are numbers indicated, those are the
7 parties that have approved to date.

8 Q. And if you add that column up, you come up to
9 61 percent?

10 A. Sixty-one percent.

11 Q. And if you threw in the Santa Fe Energy --

12 A. -- you get 83 percent.

13 Q. -- you'd be at 83 percent.

14 Is there a list for royalty owners?

15 A. Yes, the following page is a two-page
16 summary, identical as far as tract breakdown, which
17 lists the royalty owners within our proposed unit.

18 Q. And that also shows the royalty owners who
19 have approved and not approved the unit?

20 A. Yes, sir, it does.

21 Q. Okay. Can you tell the Examiner what type of
22 meetings you have had with -- or whether you've had any
23 meetings with the working interest owners for the
24 waterflood and for statutory unitization?

25 A. We have had meetings probably over the last

1 two years. Initial meetings were started in summer of
2 1990. Initially, they were geological meetings to
3 determine how they were going to come up with the
4 parameters to try to work on the unitization.

5 At a later date it was more of an engineering
6 type, along with geology.

7 Several meetings, until the final agreement
8 was put together to form the unit earlier this year,
9 and then the proposed agreements went out in July of
10 this year.

11 Q. Who have been the major players, as far as
12 working-interest owners are concerned?

13 A. The major participants in the unitization
14 meetings were Siete, Santa Fe and Meridian.

15 Other operators in the unit were invited to
16 participate. Due to their smaller interest, they
17 elected not to take a hands-on approach to the deal.
18 But they have been kept informed all along.

19 Q. Okay. Let me go back to Exhibit Number 2,
20 and I'd like for you to briefly tell the Examiner what
21 that exhibit contains.

22 A. Exhibit 2 is our Parkway-Delaware waterflood
23 proposal. It was sent to all the working interest
24 owners, and an identical copy was sent to all the
25 royalty owners, the only difference being that a

1 ratification was attached for them as to the unit.

2 It lists our proposed AFE, waterflood unit
3 parameters, phase 1 and phase 2 AFE proposals for the
4 unit.

5 Q. That also contains a tract participation
6 formula in Attachment Number 4; is that correct?

7 A. Yes, sir.

8 Q. And your engineer will speak to that in more
9 detail?

10 A. Yes, sir.

11 Q. Okay. What else is in there? Obviously the
12 AFE that's in here does not apply to royalty owners,
13 does it?

14 A. No, sir, it does not.

15 Q. Anything further on that exhibit?

16 A. No, sir.

17 Q. All right. Let's go to what we have marked
18 as Exhibit Number 5 and have you identify that, please.

19 A. Exhibit 5 is a letter from Meridian Oil
20 concerning our proposed Parkway-Delaware unit.

21 Q. What's the essence of that letter?

22 A. Essentially Meridian is approving our
23 proposed project, subject to minor modifications to the
24 unit operating agreement, unit agreement.

25 Q. And do you anticipate that those minor

1 changes will get worked out?

2 A. Yes, sir, we verbally have agreed to all of
3 their changes they've requested.

4 Q. Okay. How about Santa Fe Energy?

5 A. Santa Fe Energy has requested some items. I
6 would say that 90 percent of them we're in agreement
7 with.

8 There's a few small items we have yet to work
9 out. From my experience in working with Santa Fe in
10 the past, I feel like we'll come to an agreement.

11 Q. Okay. Let's move on to Exhibit Number 6 and
12 have you tell the Examiner what that is.

13 A. Exhibit Number 6 is a purchase and sale
14 agreement between Strata Production Company and Siete
15 to acquire their interests within the proposed unit,
16 which would be Tract 1.

17 Q. Tract 1 is right at the top of the map,
18 right?

19 A. Yes, sir.

20 Essentially, the agreement provides that all
21 working interest owners will be given the opportunity
22 to sell, and those who elect not to sell will ratify
23 the unit agreement.

24 There are two or three working interest
25 owners in the Strata well that are also partners in the

1 Siete wells, and we anticipate they'll ratify the unit
2 rather than selling.

3 Q. This exhibit is labeled "Draft" at the top.
4 Can you explain that?

5 A. Essentially, this was a proposal that we had
6 worked on, and it essentially outlined our agreement,
7 and so therefore we just executed it, and it became our
8 agreement.

9 Q. Okay. So you're in effect buying out Strata;
10 is that --

11 A. Yes, sir, we are.

12 Q. And how many interest owners does that
13 affect, approximately?

14 A. Approximately, I would say, 20 to 30 working
15 interest owners.

16 Q. Let's go on to Exhibit Number 7 and Exhibit
17 Number 8, and identify those for the Examiner, please.

18 A. Exhibit Number 7 is the application -- It's
19 the notification to all the working interest owners and
20 royalty owners of the Application for statutory
21 unitization.

22 Q. And those were sent out of my office; is that
23 correct?

24 A. Yes, sir, they were.

25 Q. And attached to that are the return receipts

1 of all those people that were sent this mailing, right?

2 A. Yes, sir.

3 Q. Both of the waterflood and the statutory
4 unitization, correct?

5 A. Yes, sir.

6 Q. Okay. Let's go to Exhibit Number 9 and have
7 you identify that, please.

8 A. Exhibit Number 9 is a list of the parties
9 where their return receipts -- where they're mailed as
10 not received. There's approximately seven parties
11 within the unit.

12 Q. What efforts are you trying to -- or what
13 efforts are you making to make sure that these people
14 are ultimately contacted?

15 A. We'll attempt to locate them, and also get
16 them a copy of the unit agreement.

17 Q. Do you think you may have a problem with
18 addresses or something of that nature?

19 A. Something like that, yes, sir.

20 Q. What are Exhibits 10 and 11?

21 A. Exhibit 10 is an affidavit prepared by your
22 office, or prepared by you, which states that all the
23 parties on the attached list were sent copies of the
24 proposed application for statutory unitization.

25 Q. And waterflood?

1 A. And waterflood, yes, sir.

2 Q. All right. Mr. Shumate, do you have anything
3 further to add to your testimony?

4 A. No, sir.

5 MR. PADILLA: Mr. Examiner, we tender
6 Exhibits 1 through 11 and tender Mr. Shumate.

7 EXAMINER CATANACH: Exhibits 1 through 11
8 will be admitted as evidence.

9 MR. STOVALL: Mr. Padilla, could we get
10 another copy of Exhibit 1 --

11 MR. PADILLA: Oh, certainly.

12 MR. STOVALL: -- that's been corrected?

13 MR. PADILLA: What we have are all bad
14 copies, so we'll prepare a good one for you.

15 MR. STOVALL: Okay.

16 MR. PADILLA: But you do have one with you.

17 MR. STOVALL: We do have the one, yeah.

18 Mr. Shumate, we're not through with you yet.

19 THE WITNESS: I'm sorry.

20 MR. STOVALL: I do have one question while
21 the Examiner is looking.

22 EXAMINATION

23 BY MR. STOVALL:

24 Q. Back on your Figure 22 -- Is it 22? Is that
25 correct?

1 A. Yes, sir.

2 Q. The royalty -- Now, it appears that the
3 working interest list is based upon 100-percent working
4 interest; is that correct?

5 A. Yes, sir.

6 Q. Now, it would appear to me that the royalty
7 tabulation is based upon the total -- upon the --
8 they're essentially really a net revenue, non-cost; is
9 that correct?

10 A. True.

11 Q. So to figure out that calculation, I'd have
12 to divide the 16.16 by the .19 to see where we --

13 A. Yes, sir.

14 Q. Okay, as long as I know how to do it.

15 EXAMINATION

16 BY EXAMINER CATANACH:

17 Q. Mr. Shumate, has the allocation formula been
18 agreed to by Siete, Santa Fe and Meridian?

19 A. Yes, sir.

20 Q. That's not one of the sticking points with
21 Santa Fe?

22 A. No, sir. Strictly provisions of the unit
23 operating agreement.

24 Q. Is there a reason for requesting unitization
25 outside of the pool boundaries? You said generally 50

1 feet below the pool.

2 MR. STOVALL: Vertically, beyond the pool
3 boundaries.

4 Q. (By Examiner Catanach) Yeah, vertically,
5 above and below the Parkway-Delaware Pool.

6 A. That covers the entire productive interval of
7 our Parkway-Delaware.

8 There are four other wells in the Parkway-
9 Delaware Pool. They're east.

10 One is operated by Santa Fe, being the
11 Parkway 36 Number 9, produces from the zone above what
12 we're unitizing, although it's still within the
13 Parkway-Delaware pool. It's about probably a half a
14 mile east of our boundary.

15 And there's an Eastland well in Section 31 of
16 19-30, and a Fortson well in Section 6 of Township 20
17 South, Range 30 East. But they produce from a Cherry
18 Canyon zone above our proposed unitized zone.

19 MR. PADILLA: Mr. Examiner, our geologist
20 will go into more detail on that.

21 EXAMINER CATANACH: Okay.

22 FURTHER EXAMINATION

23 BY MR. STOVALL:

24 Q. From a landman's perspective, would it be
25 safe to say your answer is that you want to make sure

1 that you get all the interval, and it's not uncommon to
2 go 50 feet or a hundred feet on either side of an
3 interval when you're dealing with something like this?

4 A. No, sir, I think we feel like by adding that
5 50 feet in, we have the total productive portion of the
6 field covered.

7 Q. Okay. But it's a geological consideration?

8 A. Yes, sir.

9 MR. STOVALL: Okay.

10 EXAMINER CATANACH: I don't have anything
11 further at this time.

12 Anything else?

13 MR. PADILLA: I have nothing else, Mr.
14 Examiner.

15 We'll call our next witness at this time,
16 Bruce Uszynski.

17 BRUCE USZYNSKI,
18 the witness herein, after having been first duly sworn
19 upon his oath, was examined and testified as follows:

20 DIRECT EXAMINATION

21 BY MR. PADILLA:

22 Q. Mr. Uszynski, would you please state your
23 name, please?

24 A. My name is Bruce J. Uszynski.

25 Q. Would you spell your last name, please?

1 A. U-s-z-y-n-s-k-i.

2 Q. Mr. Uszynski, have you previously testified
3 before the Oil Conservation Division and had your
4 credentials accepted as a matter of record?

5 A. No, I have not.

6 Q. Would you tell the Examiner what your
7 educational background in geology is?

8 A. I have a bachelor's degree in geology from
9 Rutgers University and a master's degree in geology
10 from the University of Arkansas.

11 Q. Mr. Uszynski, what is your experience in the
12 oil and gas industry?

13 A. I have a total of 13 years experience, nine
14 and a half years with Tenneco Oil and the remainder of
15 that has been with Siete Oil and Gas.

16 Q. Where has your experience been with Tenneco?

17 A. I spent all my time as a geologist working in
18 west Texas and southeast New Mexico, Permian Basin, and
19 San Antonio.

20 Q. And how long have you been working for Siete?

21 A. Since February of 1989.

22 Q. And where has your experience taken you with
23 regard to these applications today?

24 A. Primarily working for Siete, I've been
25 involved in working in the Delaware, in both Texas and

1 southeast New Mexico.

2 Q. Tell us, Mr. Uszynski, what studies you have
3 made in connection with preparation for this hearing
4 today.

5 A. In my capacity as a district geologist with
6 Siete, I've been involved with supervising the geologic
7 interpretation that was completed by Mr. Mike Clemenson
8 on behalf of Platt, Sparks Engineering Consultants.

9 Additionally, I've conducted many field
10 studies in southeast New Mexico throughout the entire
11 Delaware sand section.

12 Q. Have you prepared certain portions of Exhibit
13 12?

14 A. Yes, I have. I've prepared six exhibits,
15 including a type log, three cross-sections, two
16 structural maps.

17 MR. PADILLA: We tender Mr. Uszynski as an
18 expert petroleum geologist.

19 EXAMINER CATANACH: He is so qualified.

20 Q. (By Mr. Padilla) Mr. Uszynski, would you
21 briefly tell us where in this Exhibit Number 12 is
22 contained a geologic discussion or description of the
23 area of the waterflood?

24 A. Under the tab listed as "Discussion" there's
25 a brief history of the Delaware field, followed by a

1 geologic summary.

2 Q. Now, before that, you have a certain portion,
3 conclusions and recommendations.

4 A. Right, under the --

5 Q. Is that your portion, or is that -- Well, let
6 me ask you -- Let me go back to the summary.

7 In the summary portion of that are certain
8 geologic conclusions; is that correct?

9 A. Yes, sir.

10 Q. Would you tell us which of those summary
11 items are geologic type of summaries?

12 A. Numbers 1 and 2.

13 Q. And essentially what are they?

14 A. Basically, it summarizes the fact that the
15 proposed Parkway (Delaware) flood, discovered in 1988,
16 currently includes 22 producers and one shut-in well.
17 The limits of the field have been currently defined by
18 drilling.

19 It also gives a brief summary of the
20 description of the reservoir, that being that the
21 reservoir is found at an average depth of 4100 feet,
22 consists of fine-grained sandstone and shale, average
23 net pay thicknesses are 133 feet, average porosities
24 are 17 percent, productive limits of the trip are
25 controlled by porosity distribution and downdip water,

1 and the trap is a combination structural and
2 stratigraphic trap.

3 Q. In terms of your testimony, you're
4 essentially testifying concerning the waterflood aspect
5 of the --

6 A. Yes, sir, that's correct.

7 Q. -- the waterflood application, correct?

8 A. Yes.

9 Q. Now, earlier you had started telling the
10 Examiner about the portion -- the geologic description
11 found in the "Discussion" portion or under the
12 "Discussion" tab. Would you go into that, please?

13 A. Okay. First, let me give a brief summary of
14 the history of the field.

15 The Parkway field was found or discovered by
16 Santa Fe Energy with the drilling of their Number 1
17 Parkway 36 well in 1987.

18 In 1988, Siete Oil and Gas drilled the Osage
19 Federal Number 1 well and discovered the reservoirs
20 that we're currently considering to put under flood.

21 In addition to Siete, the field was developed
22 by Meridian, Santa Fe and Strata Production.

23 The field has cum'd 1.2 million barrels of
24 oil on primary. The remaining primary of 2.8 million
25 would make 2.4 BCF of gas and a little over 800,000

1 barrels of water.

2 Q. What kind of a recovery mechanism -- Or under
3 what kind of a recovery mechanism are you recovering
4 oil now?

5 A. The reservoir is a solution gas drive
6 reservoir.

7 Q. Okay. No gas cap?

8 A. No.

9 Q. This "Discussion" portion also has a
10 description of the geology --

11 A. Right.

12 Q. -- starting at the bottom of the second page.
13 I don't want you to read that, but simply brief it for
14 the Examiner, please.

15 A. The Delaware -- the reservoirs in question
16 are part of a sequence of Delaware sands. The sands
17 are generally fine-grained in nature, average
18 porosities again are 17 percent, average permeabilities
19 through the field are 3.2 millidarcies.

20 Q. Okay. Would it help at this time to jump
21 into your type log and cross-sections and have you
22 discuss --

23 A. I certainly think that would help.

24 Q. -- explain it --

25 A. Yeah.

1 Q. -- the geology, through explanation of those
2 exhibits?

3 A. Yes.

4 Q. Where do you want to start?

5 A. Let's begin with Exhibit 1.

6 Q. Which is Exhibit 1 of Exhibit 12; is that
7 correct?

8 A. Correct.

9 Q. These are the -- They're found in the
10 Examiner's packet?

11 A. That's right, at the end there's three clear
12 plastic folders containing the maps, and I've got them
13 in order.

14 Q. Okay. Let's go to Exhibit Number 1 of
15 Exhibit 12.

16 A. Okay. Exhibit Number 1 is a type log. It's
17 a log segment from the Osage Federal Number 1, drilled
18 by Siete Oil and Gas.

19 Within the reservoirs that we're proposing
20 for the flood we've subdivided the sand into three
21 distinct sands, the C, the B and the A sand.

22 It is primarily -- our initial waterflood
23 proposal is to begin flooding in the C sand, which is
24 the lower of the three sands that we've defined.

25 Q. Mr. Uszynski, how are the sands separated?

1 Is there a vertical separation between the sands?

2 A. There is. The sands are separated by shaly
3 dolomites ranging in thickness from 10 to 15 feet in
4 thickness, so --

5 Q. Would -- Okay, go ahead.

6 A. -- we feel that these act as barriers to
7 vertical migrations from one sand to the next.

8 Q. So when you say you're going to flood the C
9 sand first, that means that you can contain that flood
10 within the C sand, and I assume at a later time you're
11 going to flood the other two sands, correct?

12 A. That's correct.

13 Q. Are you done with Exhibit Number 1?

14 A. Yes, I am.

15 Q. Okay, let's go on to what we have marked as
16 -- Well, there's a C-C' cross-section. Is that Exhibit
17 Number 2?

18 A. This is Exhibit Number 2, yes.

19 Q. And you also have an Exhibit Number 3, which
20 is an F-F' cross-section; is that right?

21 A. Yes, sir.

22 Q. What type of cross-sections are these two
23 cross-sections?

24 A. These are structural cross-sections. Exhibit
25 2 is an east-west cross-section through the Parkway-

1 Delaware field.

2 The intent of these cross-sections is to,
3 number one, define more clearly the structural element
4 in the trap, that being an anticlinal feature.
5 Secondly is to show the continuity laterally of these
6 three sand zones from well to well.

7 Q. Do these cross-sections show that the
8 reservoir is homogeneous in nature?

9 A. They certainly do. As you go from well to
10 well, you can correlate the individual sands across the
11 field.

12 Referring to Exhibit 3, which is a north-
13 south field, you can correlate those sands in a north-
14 south direction as well.

15 Q. Mr. Uszynski, do you have other cross-
16 sections -- Well, let me ask the question this way:
17 These cross-sections, one is a C-C', the other one is
18 F-F'.

19 A. Yes.

20 Q. Do you have other cross-sections that are
21 part of your study?

22 A. Yes, we have six additional cross-sections
23 that comprise a north-south and east-west grid that
24 were compiled by Platt, Sparks Engineering.

25 We chose these two and excluded the others

1 because we felt it would be redundant to show all eight
2 of the cross-sections.

3 Q. Would the other cross-sections essentially
4 show the same thing?

5 A. Yes, they certainly will. Because of the
6 nature of the grid, all the wells tie together and
7 correlate in all directions.

8 Q. When you say "the grid", you're pointing over
9 on the left-hand side --

10 A. Right.

11 Q. -- of these cross-sections, correct?

12 A. Right. There's four north-south cross-
13 sections and four east-west cross-sections tying all
14 the wells that are within the proposed unit.

15 Q. Now, you've highlighted on that grid the unit
16 area in yellow; is that correct?

17 A. That's correct.

18 Q. Okay. Anything further on Exhibits 2 and 3
19 of Exhibit 12?

20 A. No.

21 Q. What do you want to go to now?

22 A. Let's go on to Exhibit 4 and 5.

23 Q. What are they?

24 A. Exhibit 4 -- These will be found in the
25 packet. Exhibit 4 is a structural cross-section

1 contoured on top of the C sand. And --

2 Q. Do you want us to hang these up, Mr. --

3 A. Yeah, I think that would be helpful.

4 Q. Okay. Mr. Uszynski, you've put up Exhibits 4
5 and 5 of Exhibit 12, up on the wall?

6 A. Right.

7 Q. Start out with Exhibit Number 4 and tell the
8 Examiner what that is.

9 A. Exhibit 4 is a structural contour map,
10 contoured on the top of the C sand. It further
11 displays the structural component of the trap, having
12 four-way dip closure in all directions.

13 Q. In terms of the contour lines, does that show
14 any permeability problems or barriers and that sort of
15 thing?

16 A. On the structure map that would not show any
17 permeability problems or barriers. All it shows you is
18 that your peripheral wells in the unit are downdip
19 structurally.

20 Q. In terms of water flooding, what does that
21 show?

22 A. In terms of water flooding, it would show
23 that your better production, because it is in part a
24 structural trap, your better flood capability will
25 probably be in the crest of the structure, highest part

1 of the structure.

2 Q. Now, does the Examiner's Exhibit 4 have the
3 unit boundary outlined?

4 A. It certainly does.

5 Q. Okay, move on to Exhibit Number 5 and tell
6 the Examiner what that is.

7 A. Exhibit 5 is a net pay isopach map of the
8 Delaware C sand.

9 Q. How is that relevant to today's hearing?

10 A. The parameters that were used to develop this
11 map, 14 percent porosity, water saturations of 55
12 percent, shale volume of 50 percent, contouring those
13 values, again as you approach the peripheral areas of
14 the field, your net pay volume on the edges of the
15 field is decreased, as indicated by the contour values
16 of the contours themselves.

17 Q. So actually, this exhibit goes more to tract
18 participation; is that correct?

19 A. That's correct.

20 Q. Okay, not so much waterflooding, but --

21 A. Right.

22 Q. -- tract participation?

23 A. Right, you're looking at -- This gives you a
24 better feel for reservoir quality in the wells within
25 the unit.

- 1 Q. Okay. Anything further on Exhibits 4 and 5?
- 2 A. No.
- 3 Q. You have already put Exhibit 6 up there, and
4 I'd like for you to tell the Examiner what that is.
- 5 A. Okay. Earlier Mr. Shumate had referred to
6 the Eastland wells to the east of our proposed unit.
- 7 I included this cross-section just to verify
8 the fact that we are in a separate reservoir than the
9 Eastland producing wells are. They're in a zone that
10 is stratigraphically higher in the section than what
11 we're proposing to flood here.
- 12 Q. Did this cross-section have anything to do
13 with determining the eastern boundary of the pool?
- 14 A. It certainly did. This is -- Based on these
15 correlations, and again the correlations included on
16 the other eight cross-sections, we found that the
17 limits of the pool that we're referring to went no
18 further than this easternmost boundary here.
- 19 Q. So essentially what you've done in defining
20 the limits of the pool is, you have found a portion of
21 the reservoirs -- of the pool --
- 22 A. Right.
- 23 Q. -- not so much of the reservoir, that is
24 susceptible of flooding; is that right?
- 25 A. That's correct.

1 Q. And the Eastland well would not be
2 susceptible --

3 A. That would not be susceptible to flooding,
4 no. It's a separate sand reservoir.

5 Q. Okay. Are there any other exceptions that
6 you know of with respect to the pool or surrounding
7 wells that would have -- that would show a difference
8 between what you're proposing to waterflood and -- that
9 may also -- and other lands that may also be in the
10 pool themselves?

11 A. The Santa Fe -- the discovery well for the
12 pool, the Santa Fe Parkway 36 Number 1, produces from a
13 zone stratigraphically higher than the A sand, and
14 therefore would not be included in the flood
15 boundaries, or within the flooding -- floodable
16 reservoir.

17 Q. And where is that well located?

18 A. That well is located right here in Section
19 36, 1980 from the north, 1980 from the west.

20 Q. Now, in terms of -- Have you included any
21 lands in the unit or in the waterflood project that are
22 not in the Parkway-Delaware pool?

23 A. No, sir.

24 Q. All of the lands that you've included are
25 within the current limits of -- horizontal limits of

1 the Parkway Delaware Pool?

2 A. To my knowledge, yes, they are.

3 Q. Do you have anything further to add to any of
4 the exhibits that you have spoken about?

5 A. No.

6 Q. Is there anything else in Exhibit Number 12
7 that you need to call to the Examiner's attention at
8 this time?

9 A. No, there is not.

10 MR. PADILLA: Mr. Examiner, we tender the
11 geologic portions of Exhibit Number 12, and we pass the
12 witness for cross-examination.

13 EXAMINER CATANACH: Okay.

14 Q. (By Mr. Padilla) Oh, before I go and do
15 that, I should ask him if in his opinion approval of
16 the waterflood project and the statutory unitization
17 would be in the best interests of conservation of oil
18 and gas and protection of correlative rights?

19 A. I think that's -- Yes.

20 Q. Can you tell the Examiner why that is true,
21 or why you make that opinion?

22 A. Based on our well-to-well correlation through
23 the field, we believe that everyone's rights as a
24 working interest partner will be protected because of
25 the continuity of these sands.

1 Q. Your average permeabilities and porosities,
2 is that across all three zones?

3 A. Yes, those are field-wide -- across all three
4 zones, yes, that's just an average number.

5 Permeability values in the C sand tend to be
6 better than they are in the B, at least in the B.

7 Q. Okay. You mentioned something about a Santa
8 Fe well that was producing outside of the Parkway-
9 Delaware Pool?

10 A. There is a Santa Fe well producing within the
11 pool which is the Number 1-36, the discovery well for
12 the pool, but it is producing from a different sand,
13 not one of the three sands that we're proposing to
14 flood here.

15 Q. Is that sand non-continuous over the unit?

16 A. We did not find it to be productive in any of
17 the other wells, and it doesn't appear to be as
18 continuous as these three sands.

19 Q. It is present, though?

20 A. It is present in some of the wells, but it is
21 tighter.

22 Q. I see. Tell me -- You explained pretty much
23 how you defined the eastern boundary of the unit.
24 Could you explain how you determined the rest of the
25 boundaries?

1 A. The western boundary was defined basically
2 the same way. Siete operates the wells to the west of
3 the proposed unit, and those are Bone Spring producers.
4 The sands in question are thinner and of poorer
5 reservoir quality to the east, and also -- excuse me,
6 to the west, and also structurally lower.

7 In terms of the northern boundary, if you'll
8 refer to Exhibit 3, the Strata Production well, as you
9 go to the north you are getting structurally lower. As
10 you can see, the C sand thins to the north, the A sand
11 is present but it is structurally lower, and the B sand
12 as well is present but looks to be tighter and more
13 poorly developed.

14 That defines our northern boundary of the
15 unit. Those sands were not developed of sufficient
16 reservoir quality in either the 3 or the 1 well here to
17 warrant inclusion in the unit.

18 In a sense, the porosity and permeability in
19 those two wells to provide proper reservoir-quality
20 rock were not present.

21 Q. Are those two wells that you've just
22 mentioned the only two wells that are -- that have been
23 excluded from the unit, that are producing from the
24 Parkway Delaware Pool?

25 A. To my knowledge they are.

1 Q. Do you feel like the boundaries of the pool
2 have adequately been defined by development?

3 A. Yes, I do.

4 Q. You don't think any additional drilling will
5 be undertaken outside the unit?

6 A. Not by any of the three partners here. And
7 based on, again, the structural component, I think any
8 additional drilling that would find these sands would
9 find them in a downdip and wet position, especially to
10 the south and to the east.

11 Q. What information have you utilized to come up
12 with the conclusion that these sands are vertically
13 isolated from one another?

14 A. During the initial development of the field
15 we found -- when the field was initially being
16 developed, we found that there were differences in the
17 pressures between the C's and B and A zone. That is
18 probably one of the things that led us to that
19 conclusion.

20 Secondly, again, we have found no reason
21 during the completion phase of these wells to suspect
22 that we've gone through these barriers during our
23 completions.

24 The barriers are laterally continuous, and
25 nowhere do we see within the boundaries of the pool

1 those barriers being absent.

2 EXAMINER CATANACH: I think that's all I have
3 of the witness at this time.

4 (Off the record)

5 MR. PADILLA: Nothing further.

6 EXAMINER CATANACH: The witness may be
7 excused.

8 ROBERT LEE,

9 the witness herein, after having been first duly sworn
10 upon his oath, was examined and testified as follows:

11 DIRECT EXAMINATION

12 BY MR. PADILLA:

13 Q. Mr. Lee, would you state your full name,
14 please?

15 A. Robert Lee.

16 Q. Are you a petroleum engineer?

17 A. Yes, I am. .

18 Q. Have you previously testified before the Oil
19 Conservation Division and had your credentials accepted
20 as a matter of record as a petroleum engineer?

21 A. Yes, I have.

22 Q. Have you compiled a portion of Exhibit 12 as
23 part of your testimony at this hearing today?

24 A. Yes, I have. I've either compiled it myself
25 or supervised the compilation of the data presented

1 here.

2 MR. PADILLA: Mr. Examiner, we tender Mr. Lee
3 as an expert petroleum engineer.

4 EXAMINER CATANACH: Mr. Lee is so qualified.

5 Q. (By Mr. Padilla) Mr. Lee, tell me what have
6 been your efforts with respect to the waterflood
7 project and statutory unitization?

8 A. Pretty much from the ground floor, whenever
9 Meridian, Santa Fe and Siete started to look at
10 unitizing and waterflooding the Parkway field, about
11 two years ago, we had several technical committee
12 meetings, decided upon what the tops of the different
13 sands would be for use of -- as far as like the
14 exhibits presented here today.

15 And we contracted a consulting firm in Austin
16 -- Platt, Sparks & Associates -- to do the bulk of the
17 analysis of the reservoir, of the three sands, and to
18 perform a reservoir simulation of the waterflood.

19 Q. And what was your role in all of this?

20 A. Well, I selected -- We as a committee
21 selected the consulting firm, quality control on the
22 data, supervised the consulting firm, checking up on,
23 at different phases of their analysis, what they had
24 done at that time, offering suggestions, criticisms,
25 getting the study to reflect what had actually gone on

1 in the field, as much as possible.

2 Q. In effect, you were supervising the --

3 A. Right.

4 Q. -- this consultant; is that correct, sir?

5 A. That's correct, we were supervising the
6 activity of the consultants.

7 Q. Where do you want to start in this Exhibit
8 12?

9 A. We can start here with the summary and just
10 work our way down through that.

11 Q. Okay, what portion of the summary relates to
12 your testimony here?

13 A. Probably picking up on about item 4. The
14 summary is just a brief statement of some of the items
15 covered in the discussion and throughout this exhibit.

16 Number 4 basically says that based upon the
17 waterflood model, we feel like we'll have a secondary/
18 primary ratio of 1.55 to 1. We anticipate the
19 secondary reserves to be about 6.4 million barrels or
20 about nine percent of the original oil in place.

21 And then Figure 26 in the very back -- it's
22 the last figure right in front of the plastic folders
23 -- shows you the production curve with the historical
24 primary production, the anticipated primary production,
25 and the incremental reserves that we anticipate from

1 waterflooding the C zone, and then later the A and the
2 B zone.

3 You'll notice two vertical lines there, one
4 in 1993 and one in about 1995. Those indicate that we
5 anticipate starting the waterflood in the C zone in
6 1993, and you can see the subsequent projected increase
7 in production reserves.

8 Then later -- we're anticipating about two
9 years, but we're going to be real flexible on that --
10 we will go in and open up the A and the B sands and
11 flood those zones also.

12 And this graph shows that the incremental
13 reserves we anticipate from the C zone is about -- a
14 little over 4.5 million barrels. The reserves from the
15 A and the B zone together will be about 1.8 million
16 barrels.

17 Basically, we feel like the C zone will have
18 the bulk of the waterflood reserves.

19 Q. Earlier, Mr. Uszynski indicated something
20 about commencing the project at this time and in this
21 stage of the primary production.

22 Does this Figure 26 tell you anything with
23 regard to timing in terms of starting the waterflood or
24 -- as opposed to, say, starting it in 1998?

25 A. There are several reasons to initiate the

1 waterflood now. Even though our primary rates are
2 still fairly high and we have not gotten down to that
3 very low producing rates, we feel that for several
4 reasons it's important to initiate the flood now.

5 One reason -- If you'll look at Figure 2,
6 which contains some fluid properties of the reservoir
7 crude, you can see there at the top we have a listing
8 of the oil properties. On the left-hand side we have
9 pressure, and then oil formation volume factor,
10 solution GOR, and viscosity.

11 If you look at the viscosities, as you reduce
12 the reservoir pressure, you're going to evolve more
13 free gas out of the crude, and the viscosity is going
14 to increase.

15 When that occurs, and then you come in and
16 put your waterflood in, with a higher viscosity you're
17 going to have a more unfavorable mobility ratio. The
18 water is going to tend to finger through the more
19 viscous oil than it would a lower-viscosity crude.

20 So if we were to wait until we were at the
21 very end of primary depletion, we would not recover as
22 much oil as we would if we start the flood now, and we
23 would be wasting oil.

24 Q. Are all your working interest partners in
25 concurrence with you on this aspect?

1 A. Yes, they are. Yes, they are.

2 Another reason to put the flood in now is
3 that if I can get these incremental barrels, you know,
4 today or in the next few years, they're worth a lot
5 more to me from a present-value standpoint than they
6 would be if I recover those reserves 10 or 15 years
7 down the road at the end of primary production.

8 Q. That's an economic aspect --

9 (Off the record)

10 MR. STOVALL: You may proceed.

11 Q. (By Mr. Padilla) That latter reason was an
12 economic aspect, correct?

13 A. That's correct.

14 Q. And the former reasoning has to do with
15 essentially waste?

16 A. That's right, and trying not to waste oil in
17 the reservoir, to maximize the production that we can
18 get out of it.

19 Q. Okay. Are you done with the summary section
20 here?

21 A. That pretty much wraps it up. The next page
22 just shows that the cost to implement this flood will
23 be about \$3.4 million.

24 And there's a slight correction in Number 6,
25 in the Summary. We anticipate this waterflood to

1 generate undiscounted net cash of a little over \$85
2 million, not \$85,000. There's three zeroes have been
3 left off of that figure.

4 And the discounted value is almost \$17
5 million, discounted at 15 percent, not the -- \$17
6 million, not the \$17,000 that's shown here on the
7 Exhibit. And there's a summary of the economics on
8 that.

9 Q. Let me see that. I -- The first correction
10 you want to make is, the number \$85,329 should have
11 three zeroes so that it would be \$85,329,000?

12 A. That's correct.

13 Q. And which is the second correction?

14 A. The second correction is the number
15 immediately following that, which is \$16,912. There
16 needs to be three zeroes after that, indicating nearly
17 \$17 million, not \$17,000.

18 MR. STOVALL: I assume your banker likes the
19 zeroes.

20 THE WITNESS: Our banker likes the zeroes
21 very much, although they're not worth anything by
22 themselves.

23 Q. (By Mr. Padilla) Okay, how about the
24 "Conclusions", the next tab?

25 A. Right, this is a list of our conclusions and

1 recommendations. These are based upon the Platt,
2 Sparks study that was performed.

3 We feel that there's going to be an increase
4 if the -- in reserves, if the field is waterflooded.
5 The estimated primary recovery is 4.1 million barrels,
6 which was shown on the Figure 26. A five-spot pattern
7 will be the most efficient and effective to maximize
8 our ultimate recovery here with this project.

9 Q. Do you have a map showing your injection
10 pattern?

11 A. Yes, we do.

12 Q. Where is that?

13 A. It's figure 17.

14 Q. Would you explain Figure 17 to the Examiner?

15 A. This is a map of the proposed unit
16 boundaries, the proposed wells that we are going to be
17 converting to injection and wells that we're going to
18 be drilling as new injection wells.

19 The wells that has the dot inside the
20 triangle, these indicate the conversions.

21 The solid black triangles indicate the new
22 injection wells to be drilled.

23 And it's basically going to give us -- We'll
24 be downspacing to 20 acres and be flooding with a 40-
25 acre pattern.

1 Q. How does someone receive -- Say a working
2 interest owner who currently owns a well here, how does
3 that person receive credit for a wellbore and that sort
4 of thing?

5 A. Okay, we --

6 Q. And how are you going to determine whether
7 that person gets credit or not?

8 A. Okay, the major working interest owners in
9 the field, which was Meridian, Santa Fe and Siete,
10 decided that -- we decided upon the unit parameters
11 that needed to be chosen and what percentage each one
12 of those parameters would carry weightwise in the unit.

13 And we will discuss that further back in the
14 unitization part or unit parameters part of this
15 exhibit.

16 Q. Okay, so I'm jumping ahead of you; is that --

17 A. A little bit.

18 Q. Okay. Anything else on the "Conclusion"
19 portion of this exhibit?

20 A. No, it's all pretty cut and dried and, you
21 know, has the -- It shows the original oil in place of
22 the C sand to be about 31 million barrels and the
23 original oil in place of the A and the B sand to be a
24 little over 11 million barrels and 28 million barrels,
25 respectively.

1 And as previously stated we should recover an
2 additional 1.8 million barrels from the A and B sand
3 when we get it under flood and that the solution gas --
4 It's a solution gas drive reservoir. That's the drive
5 mechanism for the reservoir.

6 Q. Where do you want to go next?

7 A. We can go on and hit the -- Bruce has pretty
8 much covered the "Discussion".

9 We can go into the "Reservoir Simulation"
10 now.

11 Q. Okay.

12 A. The -- Platt, Sparks took the log data that
13 we provided them and did a very in-depth study of the A
14 sand, the B sand and the C sand. We supervised that
15 work and, you know, checked up on it from time to time,
16 made sure that it was what we wanted.

17 When it came time to do the actual waterflood
18 simulation, we decided to only do a simulation model on
19 the C sand, and that's what is presented here in this
20 discussion. There was several reasons to do that.

21 One, the C sand was -- is the predominant
22 productive sand in the field. We were going to
23 waterflood it first to see how the project was going to
24 work, how successful it's really going to be.

25 And also to keep our costs down. If we would

1 have turned them loose on the A and B sand both, why,
2 the cost of the project would have, you know, gotten
3 pretty high.

4 So in order to keep our costs down a little
5 bit and to get the main part of the reservoir analyzed,
6 we only simulated the C sand.

7 And what we did was to --

8 Q. Let me ask you, do you anticipate that the
9 reservoir simulation for the A and B sands would be
10 similar to the C sand?

11 A. Right, based upon the well data they had
12 done, the in-depth log analysis, we felt like the A and
13 the B sand and the C sand were all similar enough that
14 the results from the simulation could be applied to the
15 A and the B, right.

16 Q. In terms of flooding the C sand first, will
17 that give you some insight as to what to expect in the
18 A and B sands when you ultimately flood those sands?

19 A. That's correct.

20 Q. So you'll be gaining actual experience for
21 the A and B sands from the C sand flood?

22 A. That's correct.

23 Q. Okay. What else is in here that you'd like
24 to point out to the Examiner?

25 A. This is basically a discussion of the -- how

1 the model was put together, how the grid pattern was
2 chosen. I have a map back here in the figures, showing
3 what grid was used, the wells -- you know, where the
4 wells were located within the grid, the parameters that
5 went into the initialization of the model, you know,
6 basically that in the C sand that had an original
7 pressure of 1858 p.s.i., had about 31 million barrels
8 of oil in place.

9 Then based upon the relative perm and
10 capillary pressure curves that we created, those were
11 plugged into the model and a history matching process
12 was began, trying to have the simulator match the
13 historical production of the field.

14 It goes through the discussion that we had to
15 play with our relative perm curves a little bit in
16 order to get the actual history match to line up with
17 actual production. It's typically normal on any type
18 of simulation you have to do.

19 But we got a very good history match, so then
20 we feel very good about the future predictive cases
21 that were ran. And Platt, Sparks ran several different
22 scenarios. The two that I talk about in here is the
23 history match, the primary production, and the case
24 which most closely reflects what our final pattern is
25 going to be.

1 The other models checked, you know,
2 peripheral waterflood, line drives with various
3 orientations, things of that nature, and the five-spot
4 infill drilling pattern proved to be the most
5 economically effective.

6 Q. Why?

7 A. Because with the five-spot infill drilling
8 pattern there, we recovered the maximum amount of oil,
9 more oil than compared to the peripheral flood or a
10 line drive, and -- you know, with 40-acre spacing.

11 Q. You were comparing different kinds of floods,
12 in other words?

13 A. Right, we were comparing different flood
14 scenarios, different patterns, and --

15 Q. And you got more bang for your money using
16 the five-spot pattern?

17 A. That's right, the 20-acre infill five-spot
18 flood pattern.

19 Q. Okay. Where do we go next?

20 A. We can go through the "Plan of Operation".

21 Q. Okay.

22 A. This is -- In this next section we're
23 basically saying that we intend to waterflood the
24 Delaware formation here in the Parkway field.

25 We're going to be getting our supply of water

1 from three different sources.

2 We're going to be using produced brine from
3 the Delaware formation there, actual wells within the
4 unit.

5 We have a salt-water disposal well within the
6 area called the Tuesday Federal where the brine water
7 is currently being disposed into. We're going to
8 basically turn that around, put a pump on that well,
9 and use the water that was put away, use that as the
10 source water.

11 And there are some shut-in wells in the area
12 that we anticipate going back into and recompleting in
13 some wet zones in order to use them as source wells,
14 use them as make-up water.

15 And we have done compatibility studies on all
16 of these waters. That was done by Martin Water Labs.
17 It's in the "C-108" discussion.

18 Q. Are you using any fresh water?

19 A. No, we are not.

20 Q. Why not?

21 A. The Delaware formation, we tend to believe,
22 has a problem with clays. They tend to be swelling
23 clays. If you put fresh water in there, you can swell
24 them shut and, you know, shut down your injectivity or
25 productivity of your wells.

1 You know, you could take the fresh water and
2 make it up with some brine and probably get it salty
3 enough, but we would rather not take that chance of not
4 getting it salty enough and messing up our formation.

5 Q. You have a discussion in here about the costs
6 of converting the wells and drilling new injection
7 wells and all that sort of thing that --

8 A. Right.

9 Q. -- are part of the project.

10 A. Uh-huh. That's going to be Figure 17 -- one
11 of our figures back here.

12 Okay, Figure 18 and 19 go over the
13 anticipated cost to convert our producing wells to
14 injection wells. There's going to be five producing
15 wells converted to injectors. We anticipate it's going
16 to cost \$30,000 each to do. That's detailed on Figure
17 18.

18 Figure 19 is sort of a full-blown cost
19 estimate, includes the facilities. We anticipate the
20 facilities to cost about \$230,000.

21 We're going to be drilling nine new injection
22 wells. That's where the bulk of the cost comes from in
23 the project. That accounts for about \$2.8 million our
24 total anticipated expenditures.

25 Like I said, the \$150,000 to convert the

1 wells.

2 And we've got three recompletions in there.
3 What those are, are wells that are currently, say,
4 producing out of the B zone or the A zone, which will
5 be -- those zones will be squeezed with cement, and
6 we'll perforate the C zone and inject in through the C
7 zone in those wells.

8 And then an additional \$120,000 for
9 waterflood and legal expenses.

10 Q. In terms of obtaining revenues or deducting
11 this figure, \$3.4 million, from the total revenues to
12 get at a profit picture, what number would you use to
13 subtract this \$3.4 million?

14 A. Well, let's see, the Figure 25 is an economic
15 analysis of the project, and rather than worrying about
16 what to subtract it from, I'll just probably refer you
17 to that.

18 Q. Okay.

19 A. This shows that the primary depletion of the
20 reservoir has a value discounted at 10 percent of about
21 \$27.5 million. And of course, you know, we have a line
22 here that shows total investment. There's no remaining
23 investment from a primary completion.

24 In the C zone what I'm showing here are
25 incremental reserves for those -- or incremental

1 economics for those waterflood reserves. It shows the
2 investment of about \$3.4 million, the additional
3 reserves. And it shows that the C zone has an
4 additional value discounted at ten percent of almost
5 \$19 million. So I'm spending a little over three and
6 getting nineteen back.

7 And then I also show the A and B zone
8 incremental waterflood reserves. That has an
9 additional cost of \$455,000. That's going to be just
10 recompleting the existing wells, maybe a little
11 facilities upgrade, no additional drilling.

12 Q. But that's not going to be part of the \$3.4
13 million?

14 A. That's right, that's not part of the \$3.4
15 million. That's an additional expense to be incurred
16 in 1995 or 1996, whenever we go to the A and B sands.

17 Q. The sum of this whole thing is that you're
18 going to make a profit; is that right?

19 A. That's correct.

20 Q. And where is that indicated on this Figure
21 25? You have profitability indicators, but where do I
22 see profit, or --

23 A. Probably the third one down, your before-tax
24 rate of return for the project will be 47 percent for
25 the C zone flood.

1 The total incremental for the C, A and B zone
2 will be about a 51-percent rate of return.

3 Q. Forty-seven is the rate-of-return figure?

4 A. Yes, it is, for the C zone.

5 Q. So what you're saying is that you're going to
6 receive 47 times your expenditure?

7 A. No.

8 Q. No?

9 A. No, what this is, it's a sort of a -- it's a
10 pseudo -- It's like an interest rate. If I -- It's
11 like putting \$3.4 million in the bank and getting a 47-
12 percent interest on the money.

13 Q. So you're going to make a profit, is the
14 bottom line?

15 A. That's correct.

16 Q. Okay. I think before we go on, I'd like for
17 you to go through this series of figures and make sure
18 that we've discussed each one of those in terms of...

19 Will you tell me if I'm getting ahead of you
20 at this point, before we get into the C-108?

21 A. Just a little bit. We went over the
22 unitization unit parameters discussion. That will
23 include --

24 Q. -- some --

25 A. -- a few more of the figures here.

1 Q. Okay, why don't you do that at this time?

2 A. Okay. The unit parameters section is
3 basically a discussion on the unit area and the
4 parameters that went into the waterflood.

5 There's going to be 11 different tracts in
6 the waterflood, and that was shown on the Exhibit A
7 that Mr. Shoemaker [sic] discussed earlier. These 11
8 tracts were broken out due to common working and
9 royalty interest owners.

10 There's a figure here, Exhibit B, in the
11 current exhibit we're looking at, that Gene has already
12 gone over. It's basically, you know, going over each
13 tract and who owns what, where it is.

14 The five parameters that Meridian, Santa Fe
15 and Siete agreed upon was recoverable oil reserves,
16 remaining oil reserves, usable wellbores, recoverable
17 gas reserves, and remaining gas reserves.

18 And once we kind of came up with -- these are
19 the five parameters that we're going to use, we felt
20 that it would be fair to weight those parameters
21 differently. In other words, oil has a heavier weight
22 than usable wellbores.

23 And the percentages that we attached to each
24 and agreed upon was that recoverable oil reserves would
25 comprise 40 percent of the unit or carry that much

1 weight.

2 Remaining oil reserves would comprise 35
3 percent of the tract participation formula.

4 Usable wellbores would be five percent,
5 And recoverable gas reserves and remaining
6 gas reserves would be ten percent each.

7 Since we were looking at unitizing three
8 different sands, we felt that it was also fair that
9 each sand should carry a different weight in the unit.
10 In other words, the C sand has much more recoverable
11 oil than the B sand or the A sand, and so people with a
12 lot of C sand on their acreage should -- are at a
13 higher percentage of the unit than the people that
14 maybe didn't have too much C sand.

15 We decided to allocate weighting factors to
16 the different sands, based upon the recoverable oil
17 reserves.

18 That's shown on the next page, showing that
19 the A sand carries 25.66 percent of the unit. The B
20 sand is 3.37 percent, and the C sand is 70.97 percent
21 of the unit.

22 And that was what went into the tract
23 participation factor formula. That is detailed in the
24 unit agreement. I believe it's figure 6. But it's
25 just the equation written all out with the different

1 sands and the percent of the recoverable sand times 40
2 percent for the A, B and the C sand, and all those
3 added up to derive the interest of the working interest
4 owners and royalty interest owners in each tract.

5 And the rest of the exhibit here -- or part
6 on the unit parameters is a discussion of how we
7 derived the recoverable oil reserves for each well and
8 each sand.

9 Q. Mr. Lee, in your opinion, is this a fair and
10 equitable method of --

11 A. Yes, it is.

12 Q. -- apportioning the oil and gas reserves to
13 each of the tracts?

14 A. Yes, it is.

15 Q. Are you done with the unitization portion of
16 this exhibit?

17 A. Yes, we are.

18 Q. Let's go now to the figures again --

19 A. Okay.

20 Q. -- and see if there's anything in here that
21 we have missed and that we have not discussed.

22 A. All right. Figure 1 is a kind of a big
23 cartoon map of the area to roughly acquaint you with
24 where it is, see where -- You know, just out east of
25 Carlsbad.

1 Figure 2 shows some --

2 Q. You've talked about this already?

3 A. We've talked about Figure 2.

4 Figure 3 is just a graphical presentation.

5 Figure 3 and 4 both are graphical presentations of the
6 data on Figure 2.

7 Figure 5 and 6 show the relative permeability
8 and capillary pressure data which went into the water
9 data model that was performed by Platt, Sparks.

10 Figure 7 shows some pressure data over time
11 that we had performed to come up with some of the
12 pressure history matching in the model.

13 Q. And this is what you talked about -- In other
14 words, matching the model with actual performance?

15 A. That's correct.

16 Q. Okay.

17 A. And Figure 8 is the same thing, only in the A
18 sand.

19 Figures 9 through 12 show the volumetric
20 reserves for each sand, which was calculated by Platt,
21 Sparks off of the well data that we had provided them.

22 Figure 13 is a grid that was used in the
23 model, shows the various cells and the location of the
24 wells within the cells.

25 Figure 14 is just more waterflood simulation,

1 input data. These are the input parameters that went
2 into the C sand.

3 Figure 15 shows a matched -- shows the match
4 that they were able to attain with the pressure data
5 that we showed -- that we actually measured, and then
6 what they camp up with in their simulation, comparing
7 actual pressures to simulated pressures.

8 Figure 16 shows the projected water injection
9 needs, showing by year the annual water and daily water
10 injection needs.

11 Figure 17 we have discussed.

12 Eighteen and 19 are costs.

13 Figure 20 is just a map that shows the
14 injection lines, where they're going to run. Threw
15 that in.

16 Figure 21 shows the five different parameters
17 that went into the tract participation formula for each
18 tract by each sand.

19 And then Figure 22 and Figure 23, which does
20 not have a number on it, was the working royalty
21 interest owners.

22 Figure 24 was a data sheet that we put
23 together sort of to help the Examiner get acquainted
24 with some of the parameters of the reservoir.

25 Figure 25 was the economics we discussed.

1 Figure 26 is a -- the graph of the
2 anticipated production with the waterflood.

3 Q. Do you want to get into the C-108 at this
4 time?

5 A. Yes.

6 Q. Some of this is going to be repetitive, Mr.
7 Lee, so --

8 A. Uh-huh.

9 Q. -- let's get -- Probably Roman numeral III of
10 the C-108 would be not repetitive, so let's be a little
11 bit more definitive in that respect in discussing the
12 well data.

13 Q. All right.

14 Q. Where is that well data contained?

15 A. The well data asked for in Number 3 starts on
16 the third page. What Number 3 asks for is a diagram
17 showing the current status and proposed status for the
18 injection wells with some tabular data for each well.
19 We have --

20 Q. So the first well is the Apache A-3, right?

21 A. That's correct, showing the current
22 configuration.

23 Q. And that's the first page, right?

24 A. That's correct.

25 Q. And the second page is the proposed

1 configuration?

2 A. That's correct.

3 Q. And the third page is the written --

4 A. Yeah, the tabular data.

5 Q. Tabular data.

6 A. Requested in number III.

7 Q. And that is contained in this thing for all
8 of the wells?

9 A. That's correct, for all of the five proposed
10 conversions.

11 And we also have at the very end of that
12 series a typical configuration for the nine wells to be
13 drilled, basically detailing where the packers will be
14 set, that we're going to use plastic-lined tubing, the
15 casing strings and cementing requirements, and once
16 again the tabular data.

17 Q. Okay.

18 A. Behind that we have the -- as required by
19 Roman numeral V, the map of the area with the half-
20 mile-radius circles drawn around the proposed injection
21 wells, showing area within two miles around the
22 proposed unit.

23 And the next page is just the unit boundaries
24 outlined on that.

25 After that, we get into the -- all the wells

1 that are within the area of review, showing their
2 status, names, the operators, where they're located,
3 what type of well they are, completion data, depth and
4 the casing programs that were used in drilling these
5 wells.

6 Q. Mr. Lee, do any of these wells shown on this
7 tabulation indicate that there may be some problems
8 with it from a standpoint of migration through the
9 wellbore of the injected water?

10 A. No.

11 Q. How about up or down, either way?

12 A. No, not up or down, either way.

13 Q. And you identified all these wells, and you
14 see no problem with any of them?

15 A. That's correct.

16 Q. They're properly cemented, in your opinion --

17 A. Yes.

18 Q. -- to prevent any type of migration?

19 A. Based on the data available, from what we've
20 looked at, why, everything does look like it's been
21 cemented correctly.

22 Q. Okay. Following that tabulation, you have
23 what looks like a schematic of the Petco State Com
24 Number 2. What is that?

25 A. As required on the C-108, any P-and-A'd wells

1 within the area of review need to have a diagram
2 showing where the plugs are set. That's what this is
3 for the Petco State Number 2, showing where all the
4 plugs are set, what the TD was.

5 Behind that we have the plugging report for
6 that well. There were three wells in that area that
7 were P-and-A'd. The next well was the 1-35 Federal
8 Walter well. Once again, a diagram with the plugs.

9 Q. In terms of the plugs themselves, say in the
10 1-35 Federal Walter, does that show where the injection
11 interval of your waterflood is going to occur?

12 A. Not per se.

13 Q. You just have to compare the depth? Is
14 that --

15 A. Right, right. For instance, you know, the
16 bottom plug is set at 4455. That probably would be
17 below our injected interval. The top -- or the plug
18 immediately above that is from 3223 to -93. That will
19 be above our injected interval. The casing was shot
20 off at 3293, so the interval that we'd be injecting
21 into is actually below where they shot the casing off.

22 Q. How about the well in front of that, the
23 Petco?

24 A. Well, the casing was shot off below the zone
25 we'll be injecting into. There's a plug set there.

1 Then there's a plug set at 3850 to 3750. That would be
2 above the zone we would be injecting into, and that
3 would isolate the zone.

4 Q. In your opinion, are these plugs sufficient
5 to isolate the zones from --

6 A. -- communication up and down that wellbore.

7 Q. -- communication, yes?

8 A. Yes, that's correct.

9 Q. Okay. How about the next well? You have a
10 third well in that series, right?

11 A. That's correct, the Lambie well.

12 You know, we have a plug set at 4200 to 4300.
13 That would probably be -- probably within the zone or
14 maybe a little bit below it.

15 But then we have another plug set at 3090 to
16 3190, which would be above the interval that we'd be
17 injecting into. So that should be sufficient and, you
18 know, between that and the surface, why, there's other
19 multiple plugs up and down the wellbore.

20 And then we have a plugging report for that
21 well also.

22 We have a scout ticket in here, Mr. Examiner,
23 for the Agave "IK" Number 2. If you'll notice, it says
24 it's an abandoned location. The reason we put that in
25 was that on the map showing our area of review in unit

1 letter A of Section 2 in 20-29, it looks like there's a
2 producing well there. That's an error on the map.
3 There's no well there.

4 I've been out and physically examined the
5 area. It's just a misprint on the map. They haven't
6 spotted that abandoned location.

7 Q. You're saying there's no well out there?

8 A. At that location, that's correct, on the --
9 the 2 IK in unit letter A in Section 2, there's no well
10 there.

11 And that's why in the tabular data, the
12 construction data, that well doesn't show up.

13 So if you would go -- look at that map and go
14 through that data it would look like I missed a well,
15 but I didn't.

16 Article VII is just on the injection data,
17 saying that we anticipate injecting at a rate of 500
18 barrels a day. Proposed pressures are going to be 700
19 p.s.i. The maximum injection pressure will be 800
20 p.s.i., and this abides by the .2-p.s.i.-per-foot
21 maximum injection pressure required by the OCD.

22 And if we need subsequent increases in
23 injection pressures, what we plan to do is to perform
24 step-rate tests and submit those to the Commission for
25 increase in injection pressures.

1 Q. Would you like to have administrative
2 authority or some kind of procedure by which you would
3 seek authority administratively without having to come
4 to a hearing in order to increase injection pressures?

5 A. Yes, we would.

6 Q. If your step-rate tests would indicate
7 that --

8 A. Bear it out, that's correct.

9 Q. You could make that increase?

10 A. That would be a good thing to have.

11 Q. Okay.

12 A. Also included in the C-108, Section VII, we
13 have performed chemical analysis of the injection
14 waters and the formation waters. That is attached as,
15 you know, the Martin Water Lab discussion. It
16 indicates the waters are compatible, there's no scaling
17 tendencies, no problems there.

18 The geologic data, you know, we can probably
19 skip through. Bruce has covered that in detail.

20 Item IX just -- is just saying that any wells
21 that we're going to drill will be stimulated similar to
22 the wells that have already been completed, probably
23 frac'd with about 40,000 gallons and 100,000 pounds of
24 sand. Nothing unique or different there. And that
25 we've also already filed all of the well logs

1 previously.

2 Q. Who is the surface owner for this area?

3 A. It is the State of New Mexico and the BLM.

4 Q. Earlier Mr. Shumate indicated that all the
5 operators within a half-mile radius of each of the
6 wells within the waterflood zone had been sent a
7 notice, as well as the surface owners, correct?

8 A. That's correct.

9 Q. And the surface owner, in this case being the
10 USGS -- or the BLM, I should say, and the Commissioner
11 of Public Lands, have already given preliminary
12 approval to this whole --

13 A. That's correct.

14 Q. What else is in this exhibit, C-109 -- 108, I
15 should say?

16 A. Item 10 also goes into what the production is
17 from the wells that will be converted. That's listed
18 there as a table.

19 Article XI, there's a question asked, is
20 there any fresh water in the area?

21 There is. A water analysis of that water is
22 included in the Martin Water Labs report. It's a
23 shallow zone about 150, 200 feet deep.

24 Q. Can you identify that well in the map?

25 A. That well -- okay, it's -- Let's see, yeah.

1 If you look at the map with the circles shown in the
2 area, showing the area of review, this well is just off
3 the location off the pad on the Osage 8 Bone Spring
4 well. It's located in Section 34. It would basically
5 be the well spotted here in the southwest quarter of
6 the northeast quarter on that map.

7 That's our Osage 8, and it was just a shallow
8 well that will be drilled to use as drilling -- get
9 some water for when we're drilling these wells out
10 there.

11 It's not really shown on the map per se by
12 itself. It's just at that Osage 8 location.

13 Q. Is there anything that you have examined that
14 would indicate that any of this fresh water would be
15 contaminated by your injection operations?

16 A. No, there's not.

17 Q. Why is that?

18 A. Because there's sufficient cement between the
19 zones that we're going to be injecting into and the
20 well at that depth.

21 In this area we are required to set four
22 strings of casing here, specifically to protect the
23 Capitan reef and fresh water in the area, so this is
24 well protected.

25 Q. And you're talking about the Rustler

1 formation water, essentially?

2 A. The Rustler formation and actually the four
3 strings program was instituted more to protect the
4 Capitan reef water there in the area.

5 Q. What else haven't we talked about on the 108
6 portion of your discussion?

7 A. That pretty much wraps it up.

8 Q. Mr. Lee, do you have anything further to add
9 to your testimony in terms of things that you may have
10 omitted from the Exhibit 108 or otherwise?

11 A. No, sir.

12 Q. Mr. Lee, in your opinion would approval of
13 this Application be in the best interests of
14 conservation of oil and gas and the prevention of --
15 protection of correlative rights, I should say?

16 A. Yes, it would.

17 MR. PADILLA: Mr. Examiner, we tender Exhibit
18 12 in its entirety at this time and pass Mr. Lee for
19 cross-examination.

20 EXAMINER CATANACH: Exhibit 12 will be
21 admitted as evidence.

22 EXAMINATION

23 BY EXAMINER CATANACH:

24 Q. Mr. Lee, let me make sure I understand the
25 procedure as you have it outlined. Is it your

1 intention to flood just the C zone at this time?

2 A. Yes, it is.

3 Q. And what will happen to the wells that are
4 producing from the A and the B zones?

5 A. We'll, you know, continue to produce them.
6 If they're not completed in the C zone, you know, we
7 will open the C zone up in those wells.

8 They're -- I have no, you know, concern of
9 cross-flow or anything like that. These wells are
10 predominantly on a -- being pumping units, you know,
11 you keep the C zone -- keep it pumped off, don't let
12 your fluid levels get high, and there's no way that
13 your C-zone oil will cross into your A or B zones. I
14 don't see an operational problem here by doing the C
15 zone by itself.

16 Q. So the producing wells will be essentially
17 commingled in all three zones?

18 A. That's correct.

19 Q. Some of them will?

20 A. Yes.

21 Q. The allocation formula that you have agreed
22 to will be utilized as soon as the flood initiates?

23 A. That's correct, as soon as we get approval
24 from you all and get the unit agreement signed and as
25 soon as they go into effect, the tract participation

1 formulas will allocate production based on those
2 parameters we discussed earlier.

3 Q. Will all of the producing wells in the unit
4 be opened up in the C zone?

5 A. Yes.

6 Q. And you mentioned something about squeezing
7 off the A and the B intervals. Is that planned in any
8 of the wells?

9 A. We have three -- not in any of the producing
10 wells. That's going to be done in three injection
11 wells that we're going to be converting. Currently
12 they're in either the A or the B sands. We're going to
13 squeeze those zones off and perforate the C sand and
14 flood only the C sand. Mainly doing that, you know,
15 keeps it cleaner.

16 If we want to go -- when we go back to the A
17 and the B sand, we'll just go back and re-frac those
18 zones. That way I don't have perforations open on the
19 back side of my packer.

20 Q. When will it be determined to initiate the
21 flood in the A and the B zones?

22 A. Once we see adequate response out of the C
23 zone to convince us that it's going to be a viable
24 project and that we have enough water to inject, make
25 sure all of our operational considerations are lined

1 up, taken care of and everything is running good, we'll
2 go ahead and open up the A and the B.

3 Right now we're anticipating that about two
4 years down the road, two or three.

5 Q. Once the A and the B zone flood is initiated,
6 do you have any proposal to regulate the volumes that
7 go into each of the zones through the injection wells?

8 A. No, and that's really kind of one of the
9 considerations, to hit the C zone first.

10 That will -- That could possibly get to be a
11 problem down the road, as to keep the water equally
12 distributed amongst the three zones.

13 But we don't plan to run two strings of
14 injection tubing or inject down the back side or
15 anything like that at this time.

16 Q. Do you know what the current average
17 production is in each of the zones, fieldwide?

18 A. Not right off the top of my head. That was
19 estimated in the Platt, Sparks report.

20 Of course, there's several -- Some of these
21 wells now that are opened in all three zones, you know,
22 it's commingled. So it's very difficult to really
23 assign, you know, this reserves come out of the A, the
24 B and the C.

25 Platt, Sparks attempted to do that, based

1 upon the well log parameters, what the porosity,
2 permeability looked like in each zone, and they went
3 back and sort of allocated out production and current
4 rates.

5 But no, right off the top of my head I don't
6 know what the production is from each zone.

7 Q. Would you say that production from each zone
8 is above marginal production or --

9 A. Yes.

10 Q. In all three zones?

11 A. Yeah.

12 Q. Your estimated ultimate recovery of 6.7
13 million barrels -- is that right?

14 A. Waterflood reserves, yes.

15 Q. Right, secondary reserves.

16 A. Uh-huh.

17 Q. 6.3. That includes all three zones?

18 A. That's correct. The table on Figure 26 shows
19 that the C zone incremental reserves is 4.5 million
20 barrels, and the incremental A and B zone reserves is a
21 little over 1.8 million barrels.

22 Q. Okay, was the ratio the same ratio used for
23 all three zones?

24 A. That's correct. What we did was look at the
25 C zone recoverable reserves, primary reserves, which

1 were calculated by Platt, Sparks.

2 Then we took the incremental waterflood
3 reserves as calculated by Platt, Sparks' model and got
4 a ratio, secondary/primary ratio, the 1.55.

5 Then we applied that to the recoverable
6 reserves from the A and the B zone, and that's where I
7 come up with the 1.8 million barrels to be recovered
8 from the A and B zones.

9 Q. Do you have an opinion as to whether
10 initiating the flood at this point in time, in the life
11 of the field, is beneficial in terms of increasing the
12 ultimate recovery?

13 A. Yes, I do. Yes, I believe that it will. And
14 as we addressed earlier, if you wait until your field
15 has just totally depleted down to virtually nothing --
16 you know, all your free gas is coming out, your
17 viscosity of your oil has increased. It's sort of like
18 -- It becomes much thicker and the water will have a
19 tendency to finger through it more.

20 Q. Is there a method by which you could quantify
21 the benefit?

22 A. We haven't done it here, but you can
23 calculate what the mobility ratio would be now,
24 compared to what the mobility ratio would be at
25 depletion, and what it would show is that your mobility

1 ratio now will be better, closer to one, and you'll get
2 a much better areal sweep.

3 Q. Referring to your figure 17, injection
4 pattern --

5 A. Yeah.

6 Q. -- is there a reason why the eastern portion
7 of the unit does not contain injection wells between
8 the producing wells?

9 A. Yeah, as Bruce showed on the structure map,
10 as you tend to get downstructure, the wells become much
11 poorer in quality. Eventually there may be some
12 injection wells put on the east side of the unit.

13 Once we determine, say, exactly how good
14 these zones will flood up here in the better part of
15 the reservoir, once that's ascertained, looking at the
16 production on these wells, we'll be able to get a
17 better handle on whether it will be economically
18 feasible to go in and waterflood that portion of the
19 field.

20 Q. At this point in time, without the addition
21 of injection wells, do you think the well numbers 1 and
22 4 would receive any benefit from injection?

23 A. No. But we're including them in the unit
24 because they do have, you know, C-zone, A-zone, B-zone
25 reserves there, and so that at a later time we don't

1 have to go in and expand the unit. We tried to wrap
2 everything up that we deemed to be productive or to
3 have some recoverable reserves now, and throw them all
4 in now, rather than expand the unit at a later date.

5 Q. Mr. Lee, you said -- You mentioned something
6 briefly about the Capitan reef. Where does that occur
7 in this area, at what depth?

8 A. I'm not sure exactly. I think it's 1500 to
9 3000, somewhere in that range. I think it's around
10 1500 feet.

11 Q. And that generally -- The reef is generally
12 behind pipe in all these wells?

13 A. Right. Not generally, it is.

14 Q. It is?

15 A. Yeah.

16 Q. Does that string of casing, does that require
17 to be circulated?

18 A. Uh-huh.

19 MR. PADILLA: Yes.

20 THE WITNESS: Yes. Good kick, Ernie.

21 EXAMINER CATANACH: Why don't you go ahead
22 and I'll work on this.

23 EXAMINATION

24 BY MR. STOVALL:

25 Q. I assume, Mr. Lee -- Your stating of the case

1 says you're looking for the EOR tax credits, you don't
2 mind taking advantage of a 50-percent tax-rate
3 reduction; is that right?

4 A. No, sir. We don't mind that at all.

5 Q. You're not looking for it, or you're -- or
6 no, don't mind?

7 A. No, we don't mind. Yes, we want it.

8 Q. Okay. Would have simplified my job if you
9 had said no, you don't want it.

10 Now, you understand, I assume, that as far as
11 the approval of a project, it's the normal approval
12 which you've already gone through requesting the
13 approval for the waterflood?

14 A. Uh-huh.

15 Q. But there are some additional things that
16 we're going to have to do as far as administration of
17 those things that are necessary for you to obtain the
18 credit.

19 A. Okay.

20 MR. STOVALL: Kick him, Ernie, and get a
21 "yes".

22 THE WITNESS: Yes, yes.

23 MR. STOVALL: Actually, I think Steve can
24 take an "uh-huh" down, but...

25 Q. (By Mr. Stovall) First is the definition of

1 the project area. And you've kind of presented a
2 unique situation.

3 Let's start first with the horizontal extent
4 of the area.

5 A. Okay.

6 Q. And Figure 20 looks like the easiest thing to
7 work from for me.

8 Is it safe to assume that you are proposing
9 as the qualifying area for the EOR tax credit that it
10 be the entire waterflood project area horizontally?

11 A. Yes, that is correct.

12 Q. Including those wells 1 and 4 which you say
13 are not going to get any benefit?

14 A. That is correct. Under the current pattern,
15 they will not get any benefit.

16 Later on, once, you know, when we get, say,
17 good response up here, the flood would be expanded from
18 injection wells drilled down there. At that time they
19 would see some waterflood benefit.

20 Q. Well, you've kind of used a buzz word there
21 that says, gee, maybe they're not in the project now
22 for the tax credit purposes, because you've talked
23 about expanding the project, if you will, into those --
24 into that pattern.

25 I guess the converse side is, you understand

1 that when we go to approve -- before you can actually
2 get the benefit of the credit, you've got to get a
3 positive production response.

4 Are you familiar with the Enhanced Oil
5 Recovery Tax Bill?

6 A. I'm familiar with -- Yes, in Texas. I'm
7 assuming that what we see in New Mexico is the same as
8 what we have --

9 Q. No, it is not --

10 A. Okay.

11 Q. -- and I will tell you why it is not, is
12 because in Texas, as I understand the Texas
13 legislation, you get the tax credit on -- or the tax
14 rate reduction, whatever it is -- on the incremental
15 recovery. I believe that is correct.

16 A. That's correct.

17 Q. In New Mexico, you will get the reduced tax
18 rate on all of the production from the project area,
19 after there is a positive production response.

20 Do you understand the distinction?

21 A. Yes, I do.

22 Q. Okay. And this is getting into the other
23 area that I need to get into. Let's start out -- In
24 fact, let me go straight to that line of questioning,
25 is -- See, I told you I've studied some engineering

1 stuff.

2 A. Yes, you have.

3 Q. There are several steps in the process, and
4 let's go through those.

5 The first step, of course, is this one and
6 that is getting the project approved. And assuming we
7 approve the project as a waterflood project, that is
8 the initial threshold qualification.

9 A. Okay.

10 Q. In order to actually receive the tax credits
11 you will have to obtain a positive production response
12 within five years of the date we certify the project to
13 Taxation and Revenue as being qualified for the
14 project.

15 A. Okay.

16 MR. STOVALL: And I assume Mr. -- I'm sorry,
17 I've forgotten your name, but you're --

18 MR. SHUMATE: Shumate.

19 MR. STOVALL: You're the number-one man at
20 Siete, right? Did I see your name as president of
21 Siete?

22 MR. SHUMATE: Yes.

23 MR. STOVALL: So you're listening to this
24 too, I assume --

25 MR. SHUMATE: Oh, yes.

1 MR. STOVALL: -- with great interest.

2 Q. (By Mr. Stovall) The process which we are
3 proposing, and using in a couple of cases, is, we
4 assume you do not want to certify the project as of the
5 time of the approval, because from the time you approve
6 it there's a time lag to install the facilities and
7 complete the conversions and drill the injectors.

8 A. What's that time lag?

9 Q. Whatever it takes you to do it.

10 A. Okay.

11 Q. I mean, there's a physical time that --

12 A. Right.

13 Q. -- you're required to take to -- The five-
14 year time to get a positive production response is
15 dated not from the date of approval of the project but
16 rather from the date of our certification to Taxation
17 and Revenue, and for your benefit we are assuming that
18 you would not want to certification to occur until all
19 construction and preliminary work has been done, but
20 before injection of any water has commenced.

21 Do you follow me?

22 A. Yes, I do. So I can build my facilities, but
23 I can't inject water until you give me approval of the
24 certification?

25 Q. Well, it's kind of backwards, you've got it

1 kind of backwards.

2 If you want certification now, we'll give it
3 to you. But what that does is, it takes you away from
4 you the time to get a positive production response that
5 you require to build your facilities.

6 Let me ask you, how long do you think it will
7 take from the time you get this Order approved and your
8 unit approved and effective until you would actually be
9 ready to start injection?

10 A. Three to six months.

11 Q. Okay. Well, that would be three to six
12 months that would be, in effect, lost in an attempt to
13 get that production response.

14 So we would assume --

15 A. Five years.

16 Q. -- that you would not want to ask for that
17 certification until your facilities are in place and
18 you are actually physically ready to begin injection --

19 A. Okay.

20 Q. -- so that you obtain the maximum benefit of
21 the five-year period.

22 A. Right, I agree with that, okay.

23 Q. Okay. So at such time after approval and
24 after you have completed construction and got your unit
25 all in place, but before such time as you are ready --

1 and you make the determination when you're ready to
2 inject water -- you need to contact the Division and
3 request that we certify the project to Taxation and
4 Revenue.

5 A. Okay.

6 Q. Now, the next step, what we'll need to do --
7 and this is where we get back more into the engineering
8 side of it -- is, at that time we'll need to determine
9 a baseline production level for your project area,
10 because in order to receive the tax credit, you are
11 within that five-year period that I talked about going
12 to have to show a positive production response, which
13 means you've got to know how to -- against what do you
14 need to measure that --

15 A. Uh-huh.

16 Q. -- in order to determine your positive
17 production response?

18 A. Okay.

19 Q. Your Figure -- What is it? Your last figure,
20 I think?

21 A. Twenty-six, I believe.

22 Q. Yeah. In other words, you appear to be
23 showing, if I'm looking at this correctly, your
24 bottom --

25 A. Yeah, the --

1 Q. The first curve on the left is your C zone;
2 is that correct? Is that your C zone primary reserves,
3 or is that...

4 A. Yeah, it's basically the field reserves, the
5 field production --

6 Q. Okay.

7 A. -- coming down, and then the C zone kicks in,
8 and it has some additional incremental production, say
9 in 1993, is the first year in which we see a production
10 increase from the flood.

11 Q. As a result of the flood, right. That would
12 be the time at which your tax credit would become
13 effective.

14 A. Okay.

15 Q. But now, the question I'm asking you now is,
16 in order to establish that baseline response, is this a
17 number that we should use? Is this the line we should
18 use for your...

19 I mean, it's going to have to be a field-wide
20 baseline -- I'm referring to baseline, initial, you
21 know, decline curve, established decline curve for the
22 field, prior to secondary recovery.

23 And I guess the question is, we may or may
24 not accept this as that number. We may ask you to
25 provide additional information.

1 A. I'd rather provide additional information
2 later, and at that time we can get together with our
3 engineering committee and, you know, agree upon,
4 amongst the three major working interest owners, what
5 that baseline should be, or what we extrapolate the
6 future production to be.

7 Q. Yeah. Well, it's a historical baseline,
8 really, is what it is. And then, yes, of course your
9 extrapolation. And it is a project-area-wide --
10 Whatever project we certify to Taxation and Revenue --

11 A. Uh-huh.

12 Q. -- is -- you've got to include all the
13 historical production and the --

14 A. Okay.

15 Q. -- established decline curve for that entire
16 project area.

17 A. Okay.

18 Q. Which now leads us back to your project area.
19 Go back to Figure 20.

20 A. Uh-huh, okay.

21 Q. That would mean your baseline -- Your
22 baseline production would be based upon every producing
23 well included within the project area --

24 A. That's correct.

25 Q. -- prior to conversion and injection --

1 A. Correct.

2 Q. -- which would include wells 1 and 4.

3 A. That's correct.

4 Q. So that would be the number then established.

5 So then if they're included and they don't
6 receive a response, there is some potential that could
7 adversely affect your positive production response,
8 because you are having to, if you will, carry some
9 wells that aren't receiving it.

10 And it may not be a factor in this case.

11 A. It's probably not. The production from those
12 two wells are fairly nominal anyhow.

13 Q. Okay. So you understand what we're going to
14 have to do at that point.

15 Again, after you have established your
16 positive production response, once you get your curve
17 up, moving up again, you're going to have to come back
18 to us and request that we certify to Taxation and
19 Revenue a positive production response.

20 A. I understand, okay.

21 Q. So we have to notify Taxation and Revenue
22 twice: once, to certify the approval of the project --
23 that's when you're ready to start flooding --

24 A. Uh-huh.

25 Q. -- and the second time, to certify a positive

1 production response, and that will probably require a
2 hearing --

3 A. Okay.

4 Q. -- at that time. Okay?

5 MR. PADILLA: To certify and to establish a
6 baseline production level --

7 MR. STOVALL: But that shouldn't require a
8 hearing unless there are some questions.

9 MR. PADILLA: Let me ask, what would require
10 a hearing now?

11 MR. STOVALL: The positive production
12 response certification.

13 MR. PADILLA: Okay.

14 MR. STOVALL: I think we are taking the
15 position at this time, particularly until we have some
16 history on this, that we're going to ask you to come in
17 and demonstrate at hearing that there has truly been a
18 positive production response and not just, say, a burp
19 in production caused by the better maintenance that
20 establishing waterflood does.

21 You know, there's some prudent operation
22 things that you go out and do before you do a
23 waterflood that --

24 THE WITNESS: Right.

25 MR. STOVALL: -- will sometimes burp the

1 production up a little bit, but not be a true response.

2 THE WITNESS: Uh-huh.

3 EXAMINER CATANACH: What makes this even more
4 complicated is the fact that it's phased program,
5 vertically phased --

6 MR. STOVALL: I was just about to get at that
7 part too.

8 EXAMINER CATANACH: -- which we haven't run
9 across before, and I'm a little concerned that you're
10 going to initiate flooding operations in the A and B
11 after you have a response in the C.

12 THE WITNESS: Yes.

13 EXAMINER CATANACH: Theoretically, after you
14 get your response in the C, you will qualify for the
15 tax rate, but you will be getting the benefit in all
16 three zones, even though you have not flooded the A and
17 the B.

18 I'm a little bit concerned as to how we're
19 going to handle that.

20 MR. STOVALL: The converse of that is that if
21 we use the total production from the field, which
22 includes the A, B and C, and you flood the C, you may
23 get a response in the C, but not a total response for
24 the field.

25 So I think when the -- because you have

1 created a unique situation because you are phasing
2 vertically rather than horizontally -- and I wouldn't
3 discourage -- I still want to encourage you to use
4 sound engineering to accomplish the result.

5 But the question we may want to look at is,
6 do we approve a zone C waterflood and then come back
7 and approve -- and use the zone C production if you can
8 adequately establish the zone C baseline production and
9 the zone C response? But you're going to have to --
10 There's going to have to be some isolation of the --

11 MR. PADILLA: -- A and B.

12 MR. STOVALL: -- of the production so that
13 you now what's C and what's A and B.

14 So by approving this waterflood at this time,
15 we are not precluded from dealing with that, by
16 approving it under the rules of the Division with
17 respect to the waterflood project.

18 But in terms of the certification and
19 establishment of your baselines and qualifying for the
20 credits, you're going to have to want to look at it
21 from that standpoint.

22 It may be that you can get enough production
23 response out of the C that even though you're not yet
24 injecting into the A and B, you've got a positive
25 production response for the field, which would justify

1 the qualification --

2 THE WITNESS: Uh-huh.

3 MR. STOVALL: -- still. I mean, that's --

4 THE WITNESS: Okay.

5 MR. STOVALL: And we'll have to have some
6 internal discussions because Dave looked at it from one
7 way and I've looked at it from the other.

8 He's looking at it from the Division
9 standpoint: If you're not injecting in the A and B,
10 should you get credit for it?

11 I'm saying if you're not injecting in the A
12 and B, is that going to handicap you? Or if you're
13 successful in boosting production sufficiently from the
14 C, does that mean that you ought to get credit even for
15 A and B oil?

16 So I think that's --

17 MR. PADILLA: It seems like, to me, like you
18 probably should get credit for it, based on what you're
19 saying, if you get that boost.

20 MR. STOVALL: I think we need to have some
21 discussion internally about that. But I think you are
22 going to have to have some discussion with us at a
23 future time, and we can do it informally.

24 THE WITNESS: Okay, that would be good.

25 MR. STOVALL: It does not have to be in a

1 hearing context.

2 THE WITNESS: And at that time I can get with
3 my esteemed colleagues from Meridian and Santa Fe and
4 see if they've run into anything like this, and --

5 MR. STOVALL: Well, they haven't, because
6 yours is the first case that's --

7 THE WITNESS: Oh.

8 MR. STOVALL: -- I guess, that's come before
9 us.

10 THE WITNESS: Well --

11 MR. STOVALL: You've got more experience than
12 they do already.

13 And I think that addresses some of the issues
14 that somehow we knew that the earlier ones were going
15 to be the tough ones.

16 And somehow industry has worked to make the
17 early tough ones tougher, coming up with interesting
18 situations.

19 EXAMINER CATANACH: And appear on my docket.

20 MR. STOVALL: And they appear on your docket.

21 That's because you're the waterflood expert, Mr.

22 Catanach.

23 So far you've gotten them all, haven't you?

24 EXAMINER CATANACH: Yeah.

25 MR. STOVALL: Well, think about that and come

1 back --

2 THE WITNESS: Okay, we will.

3 MR. STOVALL: -- because we're going to have
4 to deal with it. And familiarize yourself with the New
5 Mexico Act because it is different from the Texas Act.

6 THE WITNESS: All right.

7 MR. STOVALL: There is some initial modeling.
8 But, as I say, it's -- We are more critical of it,
9 because it's not just giving you credit on incremental
10 production.

11 Qualifying for the tax credit gives you
12 your -- The tax reduced rate qualifies all production
13 from the project for the reduced rate, so we are taking
14 a more critical eye as to obtaining that positive
15 production response.

16 THE WITNESS: I understand, okay.

17 MR. STOVALL: And I think that's the extent
18 of the engineering preparation I've conducted, so...

19 THE WITNESS: A fine job.

20 MR. STOVALL: I have no further questions or
21 comments, as the case may be.

22 EXAMINER CATANACH: I have nothing further of
23 the witness.

24 MR. PADILLA: We have nothing further, and
25 I'm sure we'll be back to have some discussions with

1 you concerning the EOR aspect of this.

2 MR. STOVALL: That is going to be primarily
3 an engineering discussion with probably yourself coming
4 in, and Mr. Van Ryan and Catanach and myself, so...

5 EXAMINER CATANACH: There being nothing
6 further, Case 10,618 and 10,619 will be taken under
7 advisement.

8 MR. PADILLA: Mr. Catanach, I have a third
9 one of these booklets for you, and I'm not sure that
10 you want it.

11 MR. STOVALL: Steve, would you like it?

12 COURT REPORTER: I could sure use it.

13 MR. STOVALL: Why don't you give it to him?

14 EXAMINER CATANACH: Yeah.

15 MR. STOVALL: All right?

16 COURT REPORTER: Would you like me to give it
17 back to you?

18 MR. PADILLA: No, I have an extra copy for
19 you, not of this one, but you can have that.

20 I have nothing further.

21 MR. STOVALL: Okay, you're going to submit
22 the -- another copy of the --

23 MR. PADILLA: Correct, the --

24 MR. STOVALL: Make sure you get Steve one
25 too.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. PADILLA: -- Exhibit Number 1.

EXAMINER CATANACH: Okay. This hearing is
adjourned.

(Thereupon, these proceedings were concluded
at 3:43 p.m.)

* * *

I do hereby certify that the foregoing is
a complete record of the proceedings in
the Examiner hearing of Case No. 10618 10619
heard by me on December 3 1992.

David R. Catnach, Examiner
Oil Conservation Division

1 CERTIFICATE OF REPORTER

2
3 STATE OF NEW MEXICO)
4 COUNTY OF SANTA FE) ss.

5
6 I, Steven T. Brenner, Certified Court
7 Reporter and Notary Public, HEREBY CERTIFY that the
8 foregoing transcript of proceedings before the Oil
9 Conservation Division was reported by me; that I
10 transcribed my notes; and that the foregoing is a true
11 and accurate record of the proceedings.

12 I FURTHER CERTIFY that I am not a relative or
13 employee of any of the parties or attorneys involved in
14 this matter and that I have no personal interest in the
15 final disposition of this matter.

16 WITNESS MY HAND AND SEAL December 29th, 1992.

17
18 

19 STEVEN T. BRENNER
20 CCR No. 7

21 My commission expires: October 14, 1994
22
23
24
25